

1 STATE OF NEW MEXICO
2 ENERGY AND MINERALS DEPARTMENT
3 OIL CONSERVATION DIVISION
4 STATE LAND OFFICE BLDG.
5 SANTA FE, NEW MEXICO
6 15 February 1984

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Jerome P. McHugh for CASE
10 downhole commingling, Rio Arriba 8041
11 County, New Mexico.

12 BEFORE: Richard L. Stamets, Examiner

13 TRANSCRIPT OF HEARING

14 A P P E A R A N C E S

15 For the Oil Conservation
16 Division:

17 W. Perry Pearce, Esq.
18 Legal Counsel to the Division
19 State Land Office Bldg.
20 Santa Fe, New Mexico 87501

21 For the Applicant:

22 Tommy Roberts, Esq.
23 Dugan Production Company
24 P. O. Box 208
25 Farmington, New Mexico 87401

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

2

I N D E X

JOHN ROE

Direct Examination by Mr. Roberts	3
Cross Examination by Mr. Stamets	

E X H I B I T S

Applicant Exhibit One, Plat	4
Applicant Exhibit Two, Plat	5
Applicant Exhibit Three, Log	7
Applicant Exhibit Four, Log	8
Applicant Exhibit Five, Daily Reports	9
Applicant Exhibit Six, Information	11
Applicant Exhibit Seven, Production Curve	14
Applicant Exhibit Eight, Tabulation	15
Applicant Exhibit Nine, Tabulation	17

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STAMETS: We'll call next Case 8041.

MR. PEARCE: That case is on the application of Jerome P. McHugh for downhole commingling, Rio Arriba County, New Mexico.

MR. ROBERTS: My name is Tommy Roberts, on behalf of the applicant, Jerome P. McHugh.

I have one witness to be sworn.

MR. PEARCE: Are there other appearances in this matter?

(Witness sworn.)

JOHN ROE,
being called as a witness and being duly sworn upon his oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. ROBERTS:

Q Would you state your name, please?

A My name is John Roe.

Q And your place of residence and your occupation?

A I live in Farmington, New Mexico. I'm a petroleum engineer employed by Dugan Production and we're representing Jerome P. McHugh.

1
2 Q Have you testified on previous occasions
3 before the New Mexico Oil Conservation Division?

4 A Yes, I have.

5 Q And are you familiar with the application
6 in this case?

7 A Yes, I am.

8 MR. ROBERTS: Mr. Examiner, are
9 Mr. Roe's qualifications as an expert in the field of petro-
10 leum engineering a matter of record and acceptable?

11 MR. STAMETS: Yes.

12 Q Mr. Roe, would you briefly state the pur-
13 pose of this application?

14 A We are making application to the Oil Con-
15 servation Division to commingle within the wellbore produc-
16 tion from 320-acre spaced Gavilan Mancos and 320-acre Basin
17 Dakota. This would be commingled downhole within the well-
18 bore of the Native Son No. 2, which is operated by Jerome P.
19 McHugh.

20 This well is located in Unit M of Section
21 27, Township 25 North, Range 2 West, and the production unit
22 for both horizons is comprised of the south half of Section
23 27.

24 Q Mr. Roe, would you refer to your Exhibit
25 Number One and identify that exhibit?

A Okay. Exhibit Number One is a plat on
which we've indicated the various leases within the prora-
tion unit for the Native Son No. 2, and as I indicated, that

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

was the south half of Section 27 and in addition we've indicated the ownership of the immediately adjacent offsetting leases.

As a matter of interest, Jerome P. McHugh and Dugan Production jointly own approximately 40 percent of the acreage that does offset this proration unit.

Q Is this well located at a standard location?

A Yes, it is.

MR. ROBERTS: Mr. Examiner, for the record at this point I would like to point out that we have received waivers of objection to our request for administrative approval of this matter from all of the offset operators listed here except Northwest Pipeline Corporation.

Q Mr. Roe, would you now refer to what's been marked as Exhibit Number Two and identify that exhibit and explain its significance?

A Yes. Exhibit Number Two is intended to show the general area of the Native Son No. 2, the wells that are completed in the Gallup or Dakota and also the wells that are currently commingled within the Gallup and Dakota.

Indicated in the light blue dots would be the Gallup or Mancos production that is current. The light -- the green dots indicate wells that are currently producing from the Dakota. Indicated in the purple dots would be wells that are currently commingled, both zones, Gallup and Dakota, within the wellbore.

1
2 I have indicated outlined in orange the
3 boundary of the West Lindrith Gallup Dakota, which is lo-
4 cated approximately 8-1/2 miles to the west of the Native
5 Son No. 2, and outlined in red would be the field boundaries
6 of the Ojito Gallup Dakota Field, which is approximately 8
7 miles to the northwest.

8 Also, I'd like to -- indicated in the red
9 circles would be wells that have some production history
10 that we've utilized to draw an analogy to, and this is a
11 fairly recently developed area, very little production
12 exists from the immediate vicinity and we've had to go re-
13 mote from where we're at to develop any production charac-
14 teristics.

15 The wells that I've used for analogy I've
16 indicated with a red circle.

17 Q Mr. Roe, are you able to draw any conclu-
18 sions with regard to your application in this case from the
19 data that's reflected on this exhibit, or is it merely an
20 informational type exhibit?

21 A Well, it basically is intended for just a
22 general idea of the area we're dealing with; however, from
23 the exhibit it can be seen that within the immediate vicin-
24 ity that we're calling the Gavilan Mancos Basin Dakota Pool,
25 and the Native Son No. 2 is located within, there's eleven
wells. Of these eleven wells five of them have previously
been authorized to commingle production within the wellbore,
as we're requesting for the Native Son No. 2.

1
2 Two of these have recently been before
3 the Commission to request permission to commingle. That
4 would be the Gavilan I and I-E, located in the north half of
5 Section 26, and I am not aware that they have been granted
6 permission to commingle downhole but they were heard.

7 Of the eleven, two of the wells were not
8 drilled, or have not been completed in the Dakota, and one
9 of the wells has been drilled and the intentions are to com-
10 plete in the Gallup Dakota, but as yet have not done so.

11 So the majority of the wells in the imme-
12 diate vicinity are commingled as we're asking for Native Son
13 No. 2 and commingling is a common occurrence in the West
14 Lindrith Gallup Dakota and all these are Gallup Dakota.

15 Q Would you refer to Exhibit Number Three
16 and identify it?

17 A Exhibit Number Three is a reproduction of
18 the open hole induction electric log that was recorded
19 during the drilling process. It was logged on October 31st,
20 '83.

21 Exhibit Three is a copy of this log over
22 the Mancos interval. We've indicated the perforations, the
23 top shot being at 6802 and the bottom perforation, 7485.

24 We have completed a 683-foot gross inter-
25 val and within this 683-foot gross interval we feel we've --
or attempted to develop 33 separate intervals. Detailed
analysis of the logs indicates there's 58 feet of pay within
this interval, of which 25 feet of it would have reservoir

1
2 characteristics that I would expect it to produce the major-
3 ity of the production.

4 33 feet would have enough potential that
5 we felt it was worth perforating but it's either too shaley
6 or a very thin zone and probably will not significantly con-
7 tribute to reserves.

8 We do feel that we have completed all of
9 the potential that exists within the Mancos interval.

10 Q Refer to Exhibit Number Four and identify
11 that exhibit.

12 A Okay. Exhibit Number Four is a copy of
13 the induction electric log, the same log that was presented
14 on our Exhibit Three but only over the Dakota interval.
15 We've indicated the top of the Dakota at 7825. Our
16 perforations are indicated on the depth channel of the log,
17 the top shot being at 7886 and the bottom at 7977.

18 We've perforated an overall interval of
19 91 feet. Within this 91-foot interval we feel we've
20 developed seven separate and distinct intervals within the
21 Dakota. The Dakota is not well developed at this location.
22 Detailed log analysis would indicate fifteen feet of total
23 pay. Of the fifteen feet, four feet with an average
24 porosity of 8-1/4 percent would likely be fairly productive
25 and contribute a most -- majority of the production that
will come from the Dakota.

There's an additional eleven feet that we
feel is productive but not -- to a lesser degree.

1
2 Q Is it your opinion that you have perforated all of the potentially productive intervals within the
3 Dakota section?

4 A Yes, we have. There is a little interval
5 there right at 8040 that in other wells has been of some in-
6 terest to us, but each time we've perforated this zone it's
7 proven to be water productive.

8 So we feel we've perforated and stimu-
9 lated all intervals that exhibit potential within the Dako-
10 ta.

11 Q Refer to Exhibit Number Five and identify
12 it and briefly summarize its contents.

13 A Okay, Exhibit Number Five is a copy of
14 our daily drilling -- of our daily reports during the drill-
15 ing and completion process of this well.

16 To just highlight briefly, the well was
17 spudded on October 8th, 1983. 9-5/8ths casing was cemented
18 at 224 feet with 135 sacks of cement.

19 During the drilling process there were
20 several intervals in the Mancos, beginning on October 21st,
21 that we lost circulation. The exact volumes of mud that
22 were lost are indicated on the daily reports.

23 We had a severe lost circulation at one
24 point in the well. This interval is indicated on Exhibit
25 Number Three. We were able to resume drilling and TD'ed the
well. We cemented 4-1/2 inch, 11.6 pound casing at TD of
8133. We cemented this casing in three stages with a total

1 of 2743 cubic feet of cement.

2 We began our completion efforts on Novem-
3 ber 11th and involved perforating the Dakota and a lower
4 portion of the Mancos. We fracture stimulated both inter-
5 vals using a total of 60,000 gallons of jelled water and
6 67,500 pounds of 20/40 sand.

7 We then perforated the main Mancos inter-
8 val, which would be 6802 to 7087 and we fracture stimulated
9 this interval with a total of 70,000 gallons of water,
10 89,500 pounds of 20/40 sand.

11 We began testing of the well on November
12 14th with a swab unit and during the first day of swabbing
13 we started picking up a fairly good gas show, which would
14 indicate the well was going to be better than normal. Nor-
15 mally we don't start seeing hydrocarbons until the third or
16 fourth day.

17 The well actually kicked off and flowed
18 on the fourth day and we were able to file a potential test
19 on November 18th, reflecting a daily rate of 233 barrels a
20 day from the Mancos and 440 Mcf a day, and from the Dakota
21 58 barrels a day, barrels of oil a day, and 223 Mcf of gas a
22 day.

23 Since we filed a potential on the well we
24 have, under a temporary testing allowable, we've flow tested
25 the well intermittently, attempting to clean the well up
from the frac load plus get a better idea of what kind of
artificial lift equipment is going to be necessary. The

1
2 well will not flow up the tubing. It will flow up the
3 casing. We're reluctant to flow it up the casing because
4 there is a paraffin deposition that occurs from both the
5 Mancos and the Dakota oils.

6 We anticipate having to install artifi-
7 cial lift equipment and currently the well is being inter-
8 mittently produced for evaluation purposes. We have very
9 little storage on lease. It's a small location and we're in
10 close proximity to a residence and so we're not even going
11 to leave the well flowing up the casing for any length of
12 time, just because of limited storage and we don't want to
13 flow it up the casing.

14 Q Okay, Mr. Roe, would you refer to Exhibit
15 Number Six, please, and identify that exhibit?

16 A Okay. Exhibit Number Six is a presenta-
17 tion of what went into my calculation of the estimate of ul-
18 timate recoveries from this well.

19 As I indicated, our initial potential was
20 a total of 291 barrels a day; 233 barrels a day from the
21 Mancos and 58 from the Dakota.

22 Utilizing some data from other wells in
23 the area, which were presented on Exhibit Number Two, we de-
24 veloped some factors that --historically stabilized first
25 month's production would -- would reflect a value that would
be approximately 42 percent of the reported initial poten-
tial.

Utilizing our 291 barrels a day, 42 per-

1 cent of this would be a value of 3700 barrels a month.

2 Also utilizing other wells we developed
3 an anticipated production decline that would be 40 percent
4 for the first 3-1/2 years and then stabilize at 9 percent.
5 Utilizing this trend of production, which is derived using
6 data from six other wells, ultimately we would expect re-
7 coveries from this well would be 147,400 barrels of oil.

8 This is definitely one of the better
9 wells in the general area. It is a real surprise to us.

10 At any rate, that's much better than we
11 anticipated.

12 On the second page, well, on the first
13 page, bottom part under Item B, we've detailed our efforts
14 to allocate the reserves between the Dakota and the Mancos.
15 We've made a volumetric calculation for the Dakota interval,
16 primarily because we feels that volumetrics give a fairly
17 representative number in the Dakota.

18 The Mancos being fractured as it was and
19 probably more severely fractured in this well than any other
20 well we've drilled, as evidenced by the lost circulation
21 that we had when we drilled it, we've determined the Mancos
22 reserves by subtracting that that would be allocated to the
23 Dakota from our anticipated ultimate recovery, utilizing our
24 decline trend that was established from six other wells.

25 This would indicate that ultimate recov-
eries from the Mancos would be 127,900 barrels of oil, and
on the bottom part of the second page of Exhibit Number Six

1
2 I've summarized the reserves that are presented on Exhibit
3 Number Six and indicated what percent would be attributable
4 to each zone.

5 Of the total 147,400 barrels 87 percent
6 of that would be coming from the Mancos and 13 percent would
7 be attributable to the Dakota.

8 Utilizing data from the six wells that
9 I've mentioned previously, plus the GOR data of wells in the
10 immediate vicinity, we've established our ultimate gas re-
11 serves, 1304.6 million to the Mancos and 68.2 million for
12 the Dakota.

13 Utilizing those reserves we allocated 95
14 percent of total production to the Mancos and 5 percent of
15 the total gas to the Dakota. These percentages are the al-
16 location factors that would propose to allocate production
17 of the commingled stream.

18 Q Are these allocation percentages consis-
19 tent with other wells in the area which have been authorized
20 for downhole commingling?

21 A Yes, they are. We'll have on our final
22 exhibit, I have a summary of those.

23 Also attached, the latter two pages of
24 Exhibit Number Six, is a presentation of the actual log
25 analysis that I've utilized -- that I derived the reservoir
parameters from, that went into the volumetric calculations.

Q Mr. Roe, in Exhibit Six you have set
forth some -- some predictions or some estimates of produc-

1
2 tive potential from this well. Would you expect this pro-
3 ductive performance of the well that you predict to differ
4 if you were required to complete and produce each zone
5 separately?

6 A The actual projection I wouldn't expect
7 to be a whole lot different, as far as the 40 percent de-
8 cline and the 9 percent stable production; however, our ul-
9 timate recoveries would be smaller by the amount of produc-
10 tion that we have estimated to be attributable to the Dakota
11 for the reason that with the 4-1/2 inch, 11.6 pound casing
12 and the need to artificially lift each zone, or rod pump each
13 well, we do not believe that dual completion is feasible, so
14 my forecast would not change but it would be a total -- ul-
15 timate recovery would be smaller.

16 Q Please refer to Exhibit Number Seven and
17 identify that exhibit and explain its significance to this
18 application.

19 A Okay. Exhibit Seven is, on the produc-
20 tion rate/time curve 22, reflecting 22 months of production
21 from the Gavilan No. 1, which is a well operated by North-
22 west Exploration in the northeast quarter of Section 26, 25
23 North, 2 West. This is a well approximately 1.7 miles to
24 the northeast of the Native Son. We've indicated the pro-
25 duction performance to date, and as you can see, the first
22 months the production has continued to improve. It's
currently averaging right at 100 barrels a day.

I have also, on this production plot, in-

1
2 dicated our predicted future production for the Native Son
3 No. 2, and as I've indicated, I'm utilizing a 40 percent an-
4 nual decline rate for the first 3-1/2 years and then a stab-
5 ilized decline rate of 9 percent, which is some factors that
6 I arrived at utilizing production data from other wells in
7 the general area that have an adequate length of time on
8 production to determine these factors.

9 The six wells that I used to get these
10 factors are presented on the last three pages of -- that are
11 attached to Exhibit Number Seven.

12 Q Please refer to Exhibit Number Eight, Mr.
13 Roe, identify that exhibit.

14 A Okay. Exhibit Number Eight is a tabula-
15 tion of the production and some of the completion data for
16 all eleven wells that have been completed in the immediate
17 area of the Gavilan Mancos Basin Dakota Pool that we're --
18 that the Native Son No. 2 is located.

19 I've indicated on the tabulation the pro-
20 duction casing of the eleven wells that have been cased,
21 none of them have been completed utilizing 4-1/2 inch cas-
22 ing. Our well, as I've indicated earlier, was spudded on
23 October 8th, 1983. It was the tenth well to be drilled.
24 There is one well that's been drilled but not completed
25 since the Native Son No. 2 and there is also one well that's
currently at TD and logging.

I've also indicated in the righthand por-
tion of the tabulation the initial potentials that have been

1
2 reported on the wells that have reported IP's, and based
3 upon initial potential, it appears the Native Son No. 2 is
4 -- will by far be the most productive well in the general
5 area.

6 Q At the time the Native Son No. 2 Well was
7 spudded, what type of production history did you have from
8 other wells in the area?

9 A At the time the Native Son No. 2 was
10 spudded the only well that had any sustained production at
11 all was the Gavilan No. 1, which that production history is
12 presented on Exhibit Number Seven.

13 Jerome P. McHugh had completed and had a
14 very minor amount of production from the six wells we have
15 previously operated; however, the six wells that we operate,
16 none of them would flow naturally and all required artifi-
17 cial lift. Rod pumps were installed in the early part of
18 November in all six wells. And so at the time we spudded
19 the Native Son, we basically had the reported IP's and a
20 very minor amount of production. It required swabbing to
21 refer to it. We did not expect a well of the quality of the
22 Native Son No. 2.

23 Q I note from the data contained in this
24 exhibit that it's common procedure to set 4-1/2 inch casing
25 in this type of well. Do you concur that that's standard,
prudent operating procedure in this area?

A Yes, as I've indicated, of the eleven
wells presented, nine of them were completed utilizing 4-1/2

1
2 casing. We're in an area that -- that there's many drilling
3 problems. We're looking at fairly expensive wells. 4-1/2
4 casing is one of the methods that we've been using to con-
5 trol our cost.

6 Q Mr. Roe, I don't believe you mentioned
7 the second page of the attachment to this Exhibit Number
8 Eight. Would you explain the reason for its inclusion with
9 this exhibit?

10 A Okay. It is attached as a matter of re-
11 ference. It shows the relative position of the Native Son
12 No. 2. It's a plat, a map of the general area, a little
13 larger scale than that that was presented in the Exhibit
14 Number Two. The intention here was to show the location of
15 the Native Son No. 2 with respect to the offsetting wells.

16 We have both Gallup and Dakota completed
17 in the ET No. 1, which is located to the northwest approxi-
18 mately one mile.

19 We have Gallup and Dakota in the Janet
20 No. 2 to the north and also in the Janet No. 1 to the north-
21 east within the same section as the Native Son No. 2.

22 Gallup Dakota is also completed in both
23 of the Northwest Exploration wells, located in the north
24 half of Section 26 and also Gallup and Dakota is being pro-
25 duced to the south in the Mother Lode and the Rightway.

Q Let's move on to your Exhibit Number
Nine. Identify that exhibit, please.

A Okay. Exhibit Number Nine is included

1
2 for reference purposes. We've indicated for the five wells
3 that Jerome P. McHugh has previously received permission to
4 commingle production from the Gallup and -- or Mancos and
5 Dakota, we've indicated allocation factors that were author-
6 ized, the order numbers that those factors were authorized,
7 and also we've indicated the proposed allocation factors for
8 the Native Son No. 2.

9 Q Mr. Roe, is ownership of the Mancos and
10 Dakota zones common?

11 A Yes, the ownership is. The production
12 units, by virtue of a recently issued Mancos, Gavilan Mancos
13 Pool, which will be effective March 1st of 1984, both units
14 are spaced on 320 and all ownership is common.

15 Q And to your knowledge there's no vertical
16 separation or segregation of ownership?

17 A As our records, that is correct, accord-
18 ing to our best information.

19 Q Mr. Roe, do you have measured bottom hole
20 pressure figures for either zone?

21 A We have not measured bottom hole pressure
22 in either zone in the Native Son No. 2; however, we do have
23 measured bottom hole pressure recorded with the pressure
24 build-up in the Gavilan No. 1, which is located to the
25 northeast of the Native Son No. 2, approximately 1.7 miles
to the northeast. The data was -- utilizing the data that
was a bottom hole pressure build-up in both zones, working
that up, utilizing acceptable methods for analyzing pressure

1
2 build-up, we've established that the bottom hole pressure in
3 the Native Son No. 2 is 1690 psi at a mid-perf datum of
4 7144.

5 Also the pressure in the Dakota would be
6 2674 psi at a mid-perf datum of 7932.

7 The pressures that were recorded in the
8 Gavilan No. 1 have been found to be fairly representative of
9 pressures in other wells that we've completed and we have no
10 reason to think they would be different in the Native Son
11 No. 2.

12 Q In your opinion is there any danger of
13 cross flow between the zones due to pressure -- to this
14 pressure disparity?

15 A I believe that cross flow will be no
16 problem. There is a pressure gradient difference between
17 the two zones; however, the pressure difference is within
18 that permitted by State law, State rules.

19 Q Would you expect the fluids to be pro-
20 duced from each zone to be compatible with one another?

21 A Yes. The oil and gas is similar in qual-
22 ities in both zones and we have no information that would
23 suggest there's a problem in commingling.

24 Q And are we dealing with fluid sensitive
25 sands in these formations which may be subject to damage
from water or other produced liquids?

A No. Both zones were stimulated with
water based fluids.

1
2 Q Mr. Roe, for a minute here I would like
3 to have you address the economics of the Dakota formation.

4 First of all, based upon your estimate of
5 reserves which you've attributed to the Dakota formation,
6 could you -- could you discuss economics of Dakota formation
7 completions in those terms basis?

8 A Yes. The Dakota formation with -- making
9 reference to Exhibit Number Six, we feel ultimately will re-
10 sult in recovering 19,500 barrels of oil and 68.2 million
11 cubic feet of gas.

12 This is a volume of oil that is definite-
13 ly commercial to recover, if you don't have to spend a lot
14 of money to get to it. The average well cost, if we were
15 required to drill only for Dakota production, is \$625,000
16 for wells in this area, and they've ranged from a low of
17 about \$450,000 to a high of \$1.2 million.

18 The Dakota does not have the potential
19 that would encourage anybody to drill a well for Dakota
20 only. The Dakota, our anticipation based upon our initial
21 potential of 58 barrels a day, if our 42 percent factor
22 holds, which we have every reason to believe it will, we
23 would expect early rates in the Dakota to be 24 barrels a
24 day and decline at a rate of 40 percent per year.

25 So we don't believe that the Dakota war-
rants development on its own. The only way that the Dakota
reserves will ever be realized is either commingled with the
Mancos or produced at a later date at some time in the fu-

1
2 ture if the wellbore is still usable.

3 Q Would you address the question of the
4 feasibility of dually completing the well inside 4-1/2 inch
5 casing?

6 A Okay. With the 4-1/2 inch casing and the
7 need to rod pump or artificially lift both zones, we just
8 don't believe that it's feasible. The largest string of
9 tubing that would fit inside the 11.6 pound 4-1/2 is two
10 strings of inch and a quarter interval joint tubing, and
11 there is no way we could artificially lift either zone effi-
12 ciently and there is a substantial amount of gas associated
13 with both zones, neither one of which would be an effective
14 rod pump operation below a packer.

15 In addition to that, there's no wellhead
16 equipment available to accept two strings of tubing on 4-1/2
17 casing.

18 Q What would be your recommendation to the
19 applicant in this case in terms of operating procedure in
20 the event this application is not granted?

21 A Well, we -- we firmly believe that the
22 Mancos is the primary objective in this area and so should
23 we not be allowed to commingle production of the Dakota with
24 the Mancos, we would have to temporarily abandon the Dakota
25 below some sort of a temporary plug. That production would
be delayed until some point that the Mancos was depleted and
we could go back to the Dakota and commingle it -- or not
commingle it. We would have to complete it, abandon the

1 Mancos and then re-enter the Dakota.

2
3 So if we're not allowed to commingle the
4 production, we're basically in a position that we'd have to
5 postpone the production of Dakota reserves and that may
6 never occur.

7 Q Mr. Roe, in your opinion will the com-
8 mingling of production in the wellbore of this well result
9 in the production of additional hydrocarbons, be in the best
10 interest of conservation, the protection of correlative
11 rights, and the prevention of waste?

12 A Yes, it will.

13 Q Were Exhibits One through Nine either
14 prepared by you or at your direction and under your supervi-
15 sion?

16 A Yes, they were.

17 MR. ROBERTS: Move the admis-
18 sion of Exhibits One through Nine and we have no further
19 questions.

20 MR. STAMETS: These exhibits
21 will be admitted.

22 CROSS EXAMINATION

23 BY MR. STAMETS:

24 Q Mr. Roe, are any of the Dakota wells in
25 this area gas wells?

A The testing that we've had to date would
suggest that the Dakota is primarily oil in the wellbores

1 that we've potentialled it.

2 Q Have you approached the District Office
3 to see about establishing a Mancos-Dakota oil pool in this
4 area?

5 A We -- that was addressed at the hearing
6 that we had to establish the temporary pool rules for the
7 Mancos. At the same hearing Northwest Pipeline basically
8 made that proposal that a Mancos-Dakota Pool be established.

9 We are not opposed to that and we do see
10 a need to have the two pools commingled. In our special
11 pool rules we requested permission to have an administrative
12 procedure to commingle both zones.

13 Now we did not support the establishing
14 the single pool that would be commingled Mancos-Dakota.
15 There were several reasons we didn't but we were in favor of
16 having provision for administrative commingling and that was
17 not addressed in the actual order that was issued.

18 In speaking with Mr. Chavez, he felt that
19 the reason it wasn't necessary to address any special provi-
20 sions for commingling, was that the State rules properly
21 handled that, and this would be an example where the State
22 rules don't properly handle it for administrative proce-
23 dures.

24 We have the combined rate that exceeds
25 that that's permissible under the State rules. That would
be 50 barrels a day.

So I, dependent upon how the performance

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

of the wells were early in the life, this is a fractured reservoir, I have a big concern that we're looking at some fairly steep declines early in the life once the well to well interference starts occurring and I feel reasonably certain that it will occur.

And so dependent upon how the future drilling looks, I think it would be our plan to come back to the Commission and ask for some provisions for administrative procedures. We did -- have previously submitted an application on this well for an administrative handling of this, which was denied. It's my understanding because of the rates between the two wells were too low.

Q What would your extra cost be if you had to set a bridge plug between the Mancos and Dakota at this time and produce the Mancos as a single until the rate declines substantially below 233 barrels a day?

A The extra cost probably would be in the range of, for setting the plug and going back and getting the plug out, I would say we'd be looking at \$10-to-20,000 total.

Now, the problem that I would foresee in that would first off once the pressure had declined, in other words, we're on the verge of being outside the allowable pressure difference between the two zones, so at a point that we allowed additional pressure depletion in the Mancos to occur, there would be a greater pressure difference between the two zones. At that point we probably would

1
2 not be able to use a conventional drilling to get the bridge
3 plug out. We'd have to be careful what kind of a plug we
4 put in there, because we would run the risk of doing damage
5 to the Mancos trying to circulate and drill after some pres-
6 sure depletion has occurred in the Mancos and we fracture
7 stimulate the Mancos. I wouldn't expect that we could cir-
8 culate, so anything we drilled up would be lost in the Man-
9 cos.

10 MR. STAMETS: Are there other
11 questions of the witness? He may be excused.

12 Anything further in this case?

13 The case will be taken under
14 advisement.

15 (Hearing concluded.)
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8041 heard by me on 2-7-84 1984

Richard L. Kern, Examiner
Oil Conservation Division

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25