

1 STATE OF NEW MEXICO  
2 ENERGY AND MINERALS DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4 STATE LAND OFFICE BLDG:  
5 SANTA FE, NEW MEXICO  
6 18 January 1984.

7 EXAMINER HEARING

8 IN THE MATTER OF:

9 Application of Getty Oil Company  
10 for downhole commingling, Eddy  
11 County, New Mexico.

CASE  
8043

12  
13 BEFORE: Michael E. Stogner, Examiner  
14

15 TRANSCRIPT OF HEARING

16  
17 A P P E A R A N C E S  
18

19  
20 For the Oil Conservation  
21 Division:

W. Perry Pearce, Esq.  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

22 For the Applicant:

23 William F. Carr, Esq.  
24 CAMPBELL, BYRD, & BLACK P.A.  
Jefferson Place  
25 Santa Fe, New Mexico 87501

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2

I N D E X

DENNIS B. WEHMEYER

Direct Examination by Mr. Carr	3
Cross Examination by Mr. Stogner	12

E X H I B I T S

Getty Exhibit One, Letter	4
Getty Exhibit Two, Plat	5
Getty Exhibit Three, Well History	7
Getty Exhibit Four, C-116	8
Getty Exhibit Five, Decline Curves	8
Getty Exhibit Six, Pressure Data	9
Getty Exhibit Seven, Economics	10

1  
2 MR. STOGNER: We'll call next  
3 Case Number 8043.

4 MR. PEARCE: That case is on  
5 the application of Getty Oil Company for downhole comming-  
6 ling, Eddy County, New Mexico.

7 MR. CARR: May it please the  
8 Examiner, my name is William F. Carr, with the law firm  
9 Campbell, Byrd, & Black, P. A., of Santa Fe, appearing on  
10 behalf Getty.

11 I have one witness who needs to  
12 be sworn.

13 MR. PEARCE: Are there other  
14 appearances in this matter?

15 (Witness sworn.)

16 DENNIS B. WEHMEYER,  
17 being called as a witness and being duly sworn upon his  
18 oath, testified as follows, to-wit:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q Will you state your full name and place  
22 of residence?

23 A Dennis B. Wehmeyer. I reside in Hobbs,  
24 New Mexico.

25 Q Mr. Wehmeyer, by whom are you employed

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

and in what capacity?

A I'm employed by Getty Oil Company as an Advanced Production Engineer.

Q Have you previously testified before this Commission or one of its examiners?

A No, I have not.

Q Would you review for Mr. Stogner your educational background and your work experience?

A I graduated from the University of Missouri at Rolla in May, 1975.

Was employed by Getty Oil Company in June, 1975, in Drumright, Oklahoma. I worked there for approximately three years. Transferred to Crane, Texas. I worked there for approximately three years. In April of 1981 I was transferred to Hobbs, New Mexico, where I presently work.

Q Are you familiar with the application filed in this case on behalf of Getty?

A Yes, I am.

Q Are you familiar with the subject well?

A Yes, I am.

MR. CARR: Are the witness' qualifications acceptable?

MR. STOGNER: They are.

Q Would you briefly state what Getty seeks to accomplish with this application?

A We propose to downhole commingle the

1  
2 Grayburg Jackson and the Fren Seven Rivers zones on Getty's  
3 Skelly Unit Well No. 11.

4 Q Have you prepared or has there been pre-  
5 pared under your direction certain exhibits for introduction  
6 in this case?

7 A Yes.

8 Q Would you please refer to what has been  
9 marked for identification as Exhibit Number One and explain  
10 what this is?

11 A Exhibit Number One is a letter to the  
12 Bureau of Land Management requesting downhole commingling on  
13 our Skelly Unit Well No. 11. This was submitted on Septem-  
14 ber 9th, 1983, and was approved by the BLM on September  
15 19th, 1983.

16 Q Would you now refer to Exhibit Number  
17 Two, identify this, and explain what it shows?

18 A Exhibit Number Two is the location plat  
19 of the Skelly Unit. The arrow indicates Well No. 11 in the  
20 unit.

21 Q And this well is offset in all directions  
22 by other unit wells?

23 A Yes, we are offset at least three loca-  
24 tions from the unit -- any lease line.

25 Q And this is on a Federal lease.

A Yes, it is.

Q Is the ownership common in each of the  
zones which you propose to downhole commingle?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A Yes, it is.

Q Would you now refer to Exhibit Number Three and review this?

A Exhibit Number Three is the well history of Well No. 11.

This well was originally completed in 1954 to a TD of 11,963 in the Pennsylvanian.

The well was then produced until 1958 when we treated the Pennsylvanian with 1000 gallons of mud acid. Production before was 17 Mcf a day and after. 339 Mcf per day. The zone was shut in due to a greater deliverability in the Pennsylvanian from an offset well.

In 1960, June of 1960 we plugged back in the Pennsylvanian and perforated the Upper Penn at 11,810 to 822. This zone was treated with 500 gallons of mud acid with no shows; was retreated with 1000 gallons of 15 percent NE acid, with a slight show of gas. This zone was then plugged back with a CIBP at 7330.

The Abo was perforated at 7234 to 7252. This zone was treated with 500 gallons of 7-1/2 percent acid, swabbed dry, retreated again with 500 gallons of 15 percent acid with a slight show of gas. Some more Abo was perforated at 7277 to 7293. These zones were acidized with 2000 gallons of 15 percent acid, had no shows, and the well was shut-in then.

In November of 1962 the 5-1/2 inch casing was cut off at 4825 and pulled. CIBP was set at 7200.

1  
2 Cement plugs were set. The Grayburg-San Andres was then  
3 perforated at 3358 to 3493, selectively. This zone was then  
4 treated with 40,000 gallons of oil, 40,000 pounds 20/40  
5 sand. It flowed 118 barrels of oil and 510 Mcf.

6 The Seven Rivers was then perforated at  
7 2217 to 2330, selectively. It was treated with 20,000 gal-  
8 lons of oil, 40,000 pounds of 20/40 sand, and 500 gallons of  
9 15 percent acid. Installed pumping equipment in this zone  
10 and pumped 120 barrels of oil, 15 barrels of water, and 106  
11 Mcf a day.

12 In May, 1980, the Fren Seven Rivers was  
13 acidized with 5000 gallons 15 percent acid. It then pumped  
14 23 oil, 9 water, 9 Mcf per day.

15 And in December, 1982, the Fren Seven  
16 Rivers was again acidized with 6000 gallons of 15 percent  
17 NEFE acid. The well then pumped 78 barrels of oil and 158  
18 barrels of water.

19 Q Attached to this well history are a  
20 couple of diagrammatic sketches. Would you review those for  
21 the Examiner?

22 A The first one is the present completion  
23 of Well No. 11. This indicates we have a dual string of 2-  
24 3/8ths tubing with a Model D packer separating the two  
25 zones. The Model D is set at 3050 feet.

Q And the next page?

A The next page is the proposed completion  
on the well. We propose to pull out the Model D packer and

1  
2 downhole commingle and run one string of 2-3/8ths tubing  
3 down to 3250.

4 Q Would you now refer to Exhibit Number  
5 Four and identify this and explain what it shows?

6 A Exhibit Number Four is the New Mexico Oil  
7 Conservation Division gas/oil ratio test. The first one is  
8 the test on the Grayburg Jackson. This was conducted on  
9 January 12th, 1984. The test on it was 8 barrels of oil, 30  
10 barrels of water, and 7 Mcf per day, with a gas/oil ratio of  
11 875.

12 The second one is the gas/oil ratio Com-  
13 mission test, C-116, on the Fren Seven Rivers. This test  
14 was conducted on January 13th, 1984. The well tested 30  
15 barrels of oil, 16 barrels of water, 5 Mcf, for a gas/oil  
16 ratio of 167.

17 Q Will you now review Exhibit Five?

18 A Exhibit Five is the production decline  
19 curves on both zones.

20 The first one is the Grayburg Jackson.  
21 The black line indicates oil production in barrels per day.  
22 The blue line indicates water production in barrels per day,  
23 and the red line indicates the gas production in Mcf per  
24 day.

25 The upper curves indicate the gas/oil  
ratio and the water/oil ratio.

Q Are the zones being artificially lifted  
or are they flowing?

1  
2 A Both zones are being artificially lifted  
3 with rod pump.

4 Q Do you have anything else on Exhibit Num-  
5 ber Five?

6 A No, I don't.

7 Q Will you now refer to Exhibit Number Six  
8 and review this for Mr. Stogner?

9 A Exhibit Number Six is the bottom hole  
10 pressure test conducted on both zones.

11 The first one is the Grayburg Jackson,  
12 which indicates an extrapolated bottom hole pressure to the  
13 mid-point of the perfs of 1,271 psig.

14 The second one is the bottom hole pres-  
15 sure test on the Fren Seven Rivers zone, the mid-point, to  
16 the mid-point of the perfs. This indicates a bottom hole  
17 pressure of 814 psig.

18 Also attached are the New Mexico Reser-  
19 voir Pressure Reports, the C-124's for both zones.

20 Q Will these pressure differentials result  
21 in the migration of hydrocarbons between the commingled  
22 zones?

23 A No, they will not.

24 Q Have you taken the production data and  
25 calculated an average rate of production from each of the  
zones?

A No, we have not. We have proposed, or  
submitted an intent to acidize the Seven Rivers zone, and we

1  
2 propose to perform our work before we commingle, test the  
3 well, and then get with Mr. Clements in the Artesia office  
4 to set an allowable for each zone, or the percentages.

5 Q And so you would work the allocation to  
6 the various zones out after you've completed your testing?

7 A That's correct.

8 Q Have -- are the liquids that will be pro-  
9 duced, or the fluids that would be produced from each of the  
10 zones compatible?

11 A Yes, they are.

12 Q And how do you know that?

13 A We are presently commingling both zones  
14 on surface, water and oil, for the past nine or ten years,  
15 and we have not had any problems with commingling.

16 Q Are the reservoir characteristics of  
17 these pools such that underground waste will not be caused  
18 by the proposed downhole commingling?

19 A That is correct.

20 Q In your opinion will granting the appli-  
21 cation result in the increased recovery of hydrocarbons?

22 A Yes, it will.

23 Q Will economic savings result from this  
24 proposed downhole commingling?

25 A Yes, it will. Referring to our Exhibit  
Number Seven, this is our estimated yearly operating  
expenses.

First we have before down -- before com-

1  
2 mingling.

3 The Fren Seven Rivers is estimated to  
4 cost \$10,730 per year.

5 The Grayburg Jackson, \$9,970 per year.

6 Total operating expense of \$19,700 per  
7 year.

8 After commingling the estimated operating  
9 cost is \$16,090, which represents a savings of \$3610 per  
10 year.

11 Q And will this savings result in a longer  
12 economic life for the Skelly Unit Well No. 11?

13 A Yes, it will.

14 Q And will that in turn result in greater  
15 ultimate recovery from the well?

16 A Yes, it will.

17 Q In your opinion will granting this appli-  
18 cation be in the best interest of conservation, the preven-  
19 tion of waste, and the protection of correlative rights?

20 A Yes, it will.

21 Q Were Exhibits One through Seven prepared  
22 by you or under your direction?

23 A Yes, they were.

24 MR. CARR: At this time, Mr.  
25 Stogner, we would offer into evidence Getty Exhibits One  
through Seven.

MR. STOGNER: Exhibits One  
through Seven will be admitted into evidence.

1  
2 MR. CARR: That concludes our  
3 direct examination.

4  
5 CROSS EXAMINATION

6 BY MR. STOGNER:

7 Q Mr. Wehmeyer, on your map, I believe  
8 that's Exhibit Two, are there any other downhole commingled  
9 producing wells in this area?

10 A No, there is not.

11 Q Are there any dually completed wells of  
12 this type in this area?

13 A This is the only well in the area.

14 Q Are there several injection wells that  
15 are dually --

16 A Yes, there are several injection wells  
17 that are dually completed. They are segregated with  
18 packers.

19 Q Do you know what the Oil Conservation  
20 Division order approving the dual completion in this well  
21 was, by chance?

22 A I do not have it with me.

23 MR. CARR: We can provide that  
24 after the hearing.

25 MR. STOGNER: Would you please?  
Thank you.

Q Looking here I notice that for the depth

1  
2 bracket that the two zones commingled exceed the limit of 20  
3 barrels of oil per day specified in the general rules and  
4 regulations, Rule 303, of our -- of our rules. I just  
5 wanted to put that on record.

6 Now both zones are presently being arti-  
7 ficially lifted.

8 A That is correct, yes.

9 Q When were they put on artificial lift?

10 A Shortly after completion.

11 Q So they've been on pump for a long time.

12 A Quite awhile.

13 MR. STOGNER: I have no further  
14 questions of Mr. Wehmeyer.

15 Are there any other further  
16 questions of this witness? If not, he may be excused.

17 Does anybody have -- does any-  
18 body else have anything in Case Number 8043 this morning?

19 If not, this case will be taken  
20 under advisement.

21 (Hearing concluded.)  
22  
23  
24  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 8043 heard by me on January 18 1984  
Michael E. Sloper, Examiner  
Oil Conservation Division