

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

CASE NO. 14160

APPLICANT OF KERNS PETROLEUM, INC., FOR
POOL CREATION, A DISCOVERY ALLOWABLE,
AND SPECIAL POOL RULES, LEA COUNTY,
NEW MEXICO

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Legal Examiner
WILLIAM V. JONES, Technical Examiner
TERRY WARNELL, Technical Examiner

August 7, 2008

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID K. BROOKS, Legal Examiner, WILLIAM V. JONES, Technical Examiner, and TERRY WARNELL, Technical Examiner, on Thursday, August 7, 2008, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: JOYCE D. CALVERT, P-03
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, New Mexico 87102

INDEX

Examiner Hearing
CASE NO. 14160

PAGE

APPEARANCES

3

APPLICANT'S WITNESSES:

KERRY A. JOHNSTON

DIRECT EXAMINATION BY MR. BRUCE

4

EXAMINATION BY MR. JONES

10

EXAMINATION BY MR. BROOKS

14

BRYAN L. WILLIAMS

DIRECT EXAMINATION BY MR. BRUCE

16

EXAMINATION BY MR. JONES

26

EXAMINATION BY MR. WARNELL

28

APPLICANT'S EXHIBITS 1, 2, 4 and 5

10

APPLICANT'S EXHIBITS 3 and 6

25

REPORTER'S CERTIFICATE

33

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT:

James G. Bruce, Esq.
ATTORNEY AT LAW
P.O. Box 1056
Santa Fe, New Mexico 87504

1 MR. JONES: Okay. Let's call Case 14160, Application
2 of Kerns Petroleum Incorporated for Pool Creation, a Discovery
3 Allowable, and Special Pool Rules, Lea County, New Mexico.

4 Call for appearances.

5 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
6 representing the applicant. I have two witnesses.

7 MR. JONES: Any other appearances? Will the
8 witnesses please stand and state your names to be sworn?

9 [Witnesses sworn.]

10 KERRY A. JOHNSTON

11 after having been first duly sworn under oath,
12 was questioned and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Would you please state your name and city of
16 residence for the record.

17 A. Kerry Johnston, San Antonio, Texas.

18 Q. Who do you work for and in what capacity?

19 A. I work for Kerns Petroleum, Inc. I'm vice
20 president.

21 Q. Have you previously testified before the
22 Division?

23 A. No.

24 Q. Would you please summarize your educational and
25 employment background?

1 A. I have a Bachelor's in geological engineering
2 from the University of Minnesota, and a Master's in business
3 administration from St. Thomas University. I've worked in the
4 oil and gas business for about 26 years. I worked nine years
5 for Apache Corporation. I did not work for Texaco -- various
6 capacities, business administration and some technical.

7 Q. And what is your job at current? You said vice
8 president, but what type of matters do you handle?

9 A. We're a rather small company, so, really, we
10 cover various functions, largely the business end. We cover
11 gas marketing, oil marketing, regulatory, some technical
12 functions -- we wear a lot of hats. It's not a Texaco. We
13 wear hats.

14 Q. And you are familiar, certainly, with the land
15 matters involved in this application?

16 A. Yes.

17 Q. Okay. What precipitated this application,
18 Mr. Johnston?

19 A. Kerns drilled the Eumont State Well #1 in the NE
20 of the NW of Section 36, Township 21 South, Range 35 East and
21 completed it as an oil well in the Seven Rivers formation. The
22 well is capable of producing more than 300 barrels a day.

23 Q. In which pool did the Division's Hobbs office
24 place the well?

25 A. It's classified as an oil well in the Jalmat gas

1 pool.

2 Q. What are Exhibits 1 and 2?

3 A. Exhibits 1 and 2 are the acreage descriptions for
4 the Jalmat gas pool and the Eumont gas pool. The NE -- excuse
5 me -- the NW of Section 36 adjoins both of these pools.

6 Q. And so that's the reason that the Hobbs office
7 placed it in the Jalmat gas pool?

8 A. That's correct. The closest wells to our
9 location are in the Jalmat pool.

10 Q. What rules would apply to an oil well in either
11 the Jalmat or the Eumont pools?

12 A. The well spacing is 40 acres with wells to be
13 located no closer than 330 feet to a quarter/quarter section
14 line. Depth bracket allowable is 80 barrels of oil per day for
15 this depth, for the producing gas/oil ratio limit of 2000 to 1.

16 Q. Does Kerns believe it has discovered a separate
17 source of supply, separate from the Jalmat gas pool and the
18 Eumont gas pool?

19 A. Yes, we do.

20 Q. And if you would refer to Exhibit 3, what is that
21 based on, Mr. Johnston?

22 A. Exhibit 3, we'll kind of walk us through what we
23 have in the way of technical and land data describing this
24 discovery. The pages labeled here -- look at page 2 -- and it
25 just shows you generally where this prospect is located

1 regionally within the flank of the Delaware Basin.

2 And if we move ahead to page 6, we've got a
3 cross-section line in here. We have the time structure on the
4 top of the Seven Rivers with the cross-section lines with the
5 next exhibit. With the -- in yellow, it is outlining a lease
6 that we have in the 160 acres in the NW of 36. And, as you can
7 see here from the structure map of the Seven Rivers, the time
8 structure map, the structure that is considered to be
9 produceable rests entirely within the NW of 36.

10 Q. So there's a distinct structural feature?

11 A. There's a distinct structural feature. We have
12 four-way closure in here, and we have contours at two
13 milliseconds. We've got about 45 to 60 feet of structure
14 closure in here, all contained within Section 36 on our lease.

15 I should point out that we have one typo, and we can
16 provide an update to this 6 and 7. It lists the Reaho State #1
17 on this, and it's actually the Atlantic State #1.

18 Q. Atlantic?

19 A. Atlantic State #1, that's correct. This exhibit
20 on this page 6 and on page 7, it is the Atlantic State instead
21 of the Reaho.

22 Q. What specifically does Kerns request in this
23 case?

24 A. We request the creation of the West Eumont Yates
25 Seven Rivers pool covering the NW/4 of Section 36, special pool

1 rules and regulations providing for a depth bracket allowable
2 of 350 barrels of oil per day and discovery allowable pool
3 rules to be made effective retroactive to the date of first
4 production from the Eumont State #1.

5 Q. And what is the Exhibit 4?

6 A. Exhibit 4 is a form C-109 prepared for this well.

7 Q. Okay. And that's the Division form for
8 application for creation of new pool and a discovery allowable?

9 A. That's correct.

10 Q. And did you search the records to determine
11 operators of wells within a mile of your Eumont State #1 well?

12 A. Yes, we did.

13 Q. And are those reflected on page 2 of Exhibit 4?

14 A. That is correct.

15 Q. And was notice of this application given to those
16 operators?

17 A. Yes, it was.

18 Q. And are your notice letters and the certified
19 cards submitted as Exhibit 5?

20 A. That is correct.

21 Q. Have you heard from any of those offsets?

22 A. No, we haven't.

23 Q. And I think you mentioned -- and Kerns does have
24 an engineer to testify on this matter, do you not?

25 A. Bryan is an engineer.

1 Q. But in as far as production surrounding this
2 well, what type of production is there in the Eumont-Jalmat gas
3 pools?

4 A. This location is on the -- really on the slope.
5 Most of the production is up on the shelf margin. So as we
6 step off here, we're not really seeing anything to the north
7 and the west to the south of us. And this one structure that
8 we have is the zoning we see in this immediate area in the
9 Seven Rivers.

10 The other wells that have produced, both from the
11 Yates and from the Seven Rivers to the northeast, east and
12 southeast, the immediate offset wells are perhaps 30,000 to
13 40,000-barrel wells. As you get further up on the shelf there,
14 they get better, but in the immediate area right at the top of
15 the slope, they're not that good. We have a very distinctly
16 different well there.

17 Q. Of these offset producing wells, what type of
18 current producing rates do they have?

19 A. We have a well within one mile that is making
20 about eight barrels a day. Other wells may be three barrels a
21 day. The very closest well is 40 MCF a month. So they're
22 pretty well depleted.

23 Q. Very marginal production.

24 A. Right.

25 Q. Were Exhibits 1 through 4 and 5 prepared by you

1 or under your supervision or compiled from company business
2 records?

3 A. Yes, they were.

4 Q. In your opinion, is the granting of this
5 application in the interests of conservation and the prevention
6 of waste?

7 A. Yes, we believe so.

8 MR. BRUCE: Mr. Examiner, I move the admission of
9 Exhibits 1, 2, 4 and 5.

10 MR. JONES: Exhibit 1, 2, 4 and 5 will be admitted.

11 [Applicant's Exhibits 1, 2, 4 and 5 admitted into
12 evidence.]

13 MR. JONES: So 3 is coming, I take it?

14 MR. BRUCE: Yes.

15 MR. JONES: Thank you.

16 EXAMINATION

17 BY MR. JONES:

18 Q. Okay. Mr. Johnston, the people in Hobbs, were
19 you personally talking to Paul Kautz?

20 A. Yes, I did. When we drilled this, I talked with
21 Paul and said we were planning on submitting the completion
22 reports. And I said I wanted to verify which pool is
23 appropriate for this, given the circumstances. And at the
24 time, he looked at the nearby wells in 36 and said, "You should
25 place it in the Jalmat pool." So we filed our completion

1 report accordingly.

2 Q. And obviously, it's not gas you got here.

3 A. That's correct.

4 Q. The gravity of the oil, is that on here
5 somewhere?

6 A. Gravity of the oil is not -- Bryan will speak to
7 the engineering and production components. He has that data.

8 Q. You're covering geology, too, though, right?

9 A. That is correct.

10 Q. Okay.

11 A. The gravity in the 31 degree range.

12 Q. Okay. And the structure you said was only in the
13 Seven Rivers. Is that also the structure in the Yates?

14 A. The Yates parallels very closely the structure
15 here. We're not seeing the Yates structure outside of the NW
16 of 36.

17 Q. What kind of Seven Rivers is it? Is it dolomite
18 or sand or what? I'm not real familiar with this.

19 A. It's Permian. I can't honestly tell you the
20 composition per se. I'm not the primary geologist on this or
21 the geophysicist on this. But it's carbonate with some pretty
22 good porosity, and that's why we're looking for good results
23 here.

24 Q. Is the reef right below that Seven Rivers?

25 A. I'm sorry?

1 Q. The Capitan Reef, right below that Seven Rivers
2 formation there?

3 A. I can't speak to that. We've got the Yates above
4 us, and we've got the Queen below us, but I'm not sure --

5 Q. You got the Queen below you?

6 A. Yeah. We drilled this through the Queen to take
7 a look at the Queen, and there was nothing there.

8 Q. Okay. So you don't worry about --

9 A. Right.

10 Q. Not that there would be -- the completion? I
11 guess that's the engineer's --

12 A. Yeah. I'd just as soon refer that to Bryan.

13 Q. Okay. But the structure -- you say you only want
14 a 40-acre pool. You're starting out, of course, but you think
15 it could grow to the west and maybe north; is that it?

16 A. You have the one seismic shot in here. That's
17 what we see as the entire limit of this reservoir. And we're
18 looking at, given our location -- we have, you know, some
19 possibilities of drilling to the north and to the south on this
20 feature. But outside of this 160, we don't see anything
21 pertinent to this feature.

22 Q. Nothing to the west?

23 A. Nothing to the west. Nothing down slope, no.

24 Q. And the setbacks, you don't propose any special
25 setbacks?

1 A. We, at this point in time, we have a total of
2 five additional locations permitted. Those permits were taken
3 before we had this particular upper Seven Rivers zone
4 perforated. We're seeing a deeper possibility, and Bryan will
5 discuss that part of it further. But, you know, this is
6 something that we're obviously wanting to focus on, this
7 particular horizon, given the results that we've had.

8 Q. This is not your primary horizon?

9 A. We want to take a look at this Queen -- I mean,
10 this is all a buildup through a system that we were seeing some
11 structure in the Queen, you know, obvious structure here in the
12 Seven Rivers, and obvious structure in the Yates. And we
13 wanted to take a look at all of them. If we didn't find
14 anything in the Queen, we don't need to test the Yates at this
15 point in time because we've got the Seven Rivers that is
16 productive.

17 Q. You won't be perforating the Yates?

18 A. Before this well was abandoned, we may. But at
19 this point in time, that's going to be up to our grandchildren.

20 Q. You think it'll last? Good.

21 A. We can all hope.

22 Q. But you want the pool to be called Yates Seven
23 Rivers. You don't want it just to be the Seven Rivers pool?

24 A. Because we just aren't sure at this point in time
25 if the Yates is productive since we have not tested it.

1 Q. Okay. But it would be an oil pool. What would
2 be the GOR limit on this? Just the statewide 2,000?

3 MR. BRUCE: Statewide.

4 Q. (By Mr. Jones): I mean, 100,000 GOR and
5 statewide rules. Okay. The discovery allowable, you want it
6 retroactive to the date of first production? How long ago was
7 that?

8 A. We filed the completion report effective May 16.
9 That was the first day when we actually had some oil going to
10 the tank.

11 Q. And how is it doing?

12 A. It's doing well. It's a nice well. This is the
13 first well that Kerns Petroleum has drilled in this state
14 and --

15 Q. You're starting off right.

16 A. We're happy.

17 Q. Okay. I probably should ask a lot more
18 questions, but I don't have any right now.

19 MR. WARNELL: I have no questions.

20 EXAMINATION

21 BY MR. BROOKS:

22 Q. What spacing unit are you proposing? You're
23 still going to leave it 40 acres?

24 A. Yes.

25 Q. That makes it a lot easier. I see you gave

1 notice to several people, all of whom as far as I know, are
2 operators. How were the people that were notified selected?
3 What was the criteria --

4 A. I went to the OCD online, identified all well
5 bores within two miles, and wanted to check on the status.
6 Those wells that were plugged, I pulled plugging reports and
7 checked those off the list, but basically went through
8 well-by-well through all the OCD records to identify all
9 potential wells and operators and then identified those that
10 were active within the mile distance and included them on the
11 list. And that's the list I have here.

12 Q. Would that be within one mile of the outer
13 boundaries of the proposed new pool?

14 A. That's correct.

15 Q. As well as --

16 A. That's correct.

17 Q. Is Kerns the only operator in the proposed pool?

18 A. That is correct.

19 MR. BROOKS: Okay. That's all I have.

20 MR. JONES: Okay.

21 MR. BROOKS: I just wanted to be sure all those
22 issues were covered. I'll head out.

23 BRYAN L. WILLIAMS

24 after having been first duly sworn under oath,

25 was questioned and testified as follows:

1 DIRECT EXAMINATION

2 BY MR. BRUCE:

3 Q. Would you please state your name for the record.

4 A. Bryan L. Williams, San Antonio, Texas.

5 Q. And who do you work for?

6 A. Kerns Petroleum.

7 Q. What's your job with Kerns?

8 A. I am operations manager. And, like I said, we're
9 a small shop, so I'm basically doing all the engineering as
10 well as the operations.

11 Q. By education and trade, are you an engineer?

12 A. Yes. I have a BS in petroleum engineering from
13 Texas A&M and have worked several years in management.14 Q. And have you previously testified before the
15 Division?

16 A. Yes, I have.

17 Q. And were your credentials as an expert petroleum
18 engineer accepted as a matter of record?

19 A. Yes, they were.

20 Q. And are you familiar with the engineering matters
21 related to this application?

22 A. Yes, I am.

23 MR. BRUCE: Mr. Examiner, I tender the witness as an
24 expert petroleum engineer.

25 MR. JONES: Mr. Williams?

1 THE WITNESS: Yes. Bryan Williams.

2 MR. JONES: Mr. Williams is qualified as an expert in
3 petroleum engineering.

4 Q. (By Mr. Bruce): Mr. Williams, let's run through
5 Exhibit 3, and the pages are numbered. And I think Mr.
6 Johnston went through the first several pages. Maybe start off
7 with Exhibit 5 just so you can maybe describe a little bit more
8 how you are on the fringe of those pools.

9 A. All right. This is a plat showing all of the
10 wells in the Jalmat and Eumont pool and we are, as you see the
11 yellow highlighted area on page 5 basically showing that we are
12 on the western edge of a productive interval, and there's
13 nothing, as Mr. Johnston pointed out, to the west of us.

14 Q. And again, Exhibit 6, do you agree that this is a
15 separate small reservoir?

16 A. Yes. This was identified and developed off of
17 3-D that identifies it as a separate reservoir.

18 Q. And what does Exhibit 7 reflect insofar as the
19 relationship to the other wells in this area?

20 A. Exhibit 7?

21 Q. Page 7. I'm sorry.

22 A. Page 7 is a cross section that basically shows
23 the structural high on our well with the low in between our
24 well and the main reservoir to the east separating the two.

25 Q. You appear to be significantly lower than the

1 offsetting wells; is that correct? In the Seven Rivers?

2 A. No. Our Seven Rivers is higher than the
3 offsetting, yes.

4 Q. I'm sorry.

5 A. Because they are low, and that's why it's
6 non-productive.

7 Q. Let's move on to Exhibit -- excuse me -- page 8
8 and discuss the matters, maybe just briefly set forth the
9 matters you're going to discuss in your testimony today.

10 A. Okay. I'm going to talk about the avoidance of
11 reservoir waste; that our request for an increase allowable is
12 not going to cause reservoir waste; it should not cause
13 reservoir damage; and, will help in economic development of the
14 reserves.

15 Q. What does page 9 show?

16 A. Page 9 is a little bit more localized production
17 plot or showing area production. Those are cum productions of
18 the wells in the Seven Rivers Yates pools to the east of us.
19 As Kerry was pointing out, they currently produce marginal
20 rates at best.

21 Q. Let's move on a couple of pages to page 13.

22 A. Okay.

23 Q. And maybe while you're discussing production, you
24 can again discuss the drilling and completion of the well and
25 testify as to what happened when you perforated this well and

1 commenced production.

2 A. We drilled the well -- as I said, we went through
3 the Queen, so we TD'd about 5,000. When we were drilling at
4 4100 we lost all circulation. We attempted to pump to LCM
5 plugs and was unable to get circulation. When we pulled the
6 logs on it, we basically found a cavern where there was no
7 contact with the logs at about 4100. It was about a 12-foot
8 interval. And above that, we had very good porosity
9 development of the Seven Rivers formation.

10 When we initially completed the well back in
11 December, we completed in the lower section where we lost
12 all -- at 4100, roughly 4100 -- where we lost all returns. We
13 lost roughly 20,000 barrels of water in it, so we spent some
14 time pumping off making sure that we were pumping off -- or
15 making sure that it wasn't -- we were hoping that it wasn't
16 formation water. It took us a while to finally realize that
17 was formation water. So we gave up.

18 Instead of being at the bottom of the porosity
19 development on the neutron density logs, we were now at the top
20 of it. It's probably about -- I don't remember the numbers --
21 maybe 100 foot above where we were. But it is, we feel,
22 consistent with porosity development, that it is the same
23 connected reservoir.

24 This test is -- when we first got it on production,
25 we had a test unit out there, a third party tester out there

1 doing the hourly rates. Because when we first perforated it,
2 we saw signs that it was going to be producing a well rate, so
3 we wanted to try to understand maybe the size of the reservoir,
4 you know, to see if there was any changes from hour to hour,
5 etc., etc. Changing the choke from a 20 to an 18, just trying
6 to watch some performances.

7 We spent probably seven days with an hourly tester to
8 a point, and then we just turned it to production and left the
9 choke still so we can continue to monitor how it's performing.

10 Q. What does page 14 reflect?

11 A. Page 14? I'm sorry. Some of the additional
12 tests -- just the daily, at the end of the day, rate that we
13 realized during the testing period.

14 Q. And based on your tests, do you believe it's
15 capable of producing in excess of 350 barrels a day?

16 A. Absolutely. It is showing that it did.

17 Q. And as a result, that is the allowable you are
18 requesting at this time?

19 A. Yes, sir.

20 Q. What does page 15 show?

21 A. Page 15 is the initial hourly test that we were
22 talking about showing that the GOR that we were measuring with
23 the oil rates at the various hours. And, as you know, it kind
24 of fluctuates when you go hourly like that. It's a little
25 sporadic, but it shows a 200 to 300 type GOR, very low GOR.

1 Q. Very low.

2 A. Very low.

3 Q. And based on this testing, the GOR was very flat,
4 too; is that correct?

5 A. Correct.

6 Q. You have a note over here. The reservoir appears
7 to be a water drive?

8 A. That's what we believe: one, with the low GOR;
9 and, two, with the water that we produced from that lower
10 interval. I mean, it's definitely -- we were unable --
11 whenever we were pumping it, the fluid basically stayed
12 consistent until we pumped it down to maybe 100 foot whenever
13 we were pumping it. So it's a rather strong water inflow.

14 Q. Would you move on to page 16 and discuss why you
15 do not think that increasing the oil allowable in this
16 reservoir would damage the reservoir?

17 A. Okay. Whenever we were still in the lower
18 initial completion interval, we did get an initial fluid level
19 on our completion around 600 feet. With the water gradient, we
20 estimate what the static bottom hole pressure should be for the
21 reservoir. And then now once we have flowing the upper
22 interval, which we again believe is all connected, it's basic
23 tubing performance curves of, -- you know, it's oil with three
24 barrels of water a day and minor gas.

25 So we're able to estimate what a flowing bottom hole

1 pressure is. And basically with that drawdown, you know, we
2 are, I think, about a little above 40 percent drawdown and feel
3 that's a safe, productive position.

4 Q. What does page 17 show?

5 A. Page 17 shows the seismic structure off of the
6 seismic end, and it also shows some additional development
7 wells that we had permitted, as Kerry mentioned. Some of
8 these -- there is a lower anomaly that we see that we'd like to
9 test. Unfortunately, the lower anomaly -- the optimal location
10 for it -- is not the same as if we're in this reservoir, as
11 probably mostly always is the case. But we would like to be
12 able to test the lower position and have a chance of a bailout
13 back into this reservoir if the lower anomaly is not here.

14 With that said, too, there is additional pay in not
15 only the Yates. There's additional Seven Rivers in what we
16 believe is separated Seven Rivers in this same well bore that
17 we have. So, I mean, there's additional pay and additional
18 development potential.

19 Q. And the perforated interval in this well is
20 again?

21 A. It's 3815 to 3835.

22 Q. So a relatively small interval is perforated at
23 this time?

24 A. Correct.

25 MR. JOHNSTON: Excuse me. No. The perforations are

1 3962 to 3968. I think you were looking at tops or something.

2 THE WITNESS: Okay.

3 MR. JOHNSTON: Yeah. You're just looking at the top
4 of the zone, not the --

5 MR. BRUCE: And that is reflected on Exhibit 4,
6 Mr. Examiner.

7 THE WITNESS: Sorry about that.

8 Q. (By Mr. Bruce): So that's even a smaller
9 perforation?

10 A. Yes. It is a very small perforated interval.
11 And part of our problem with this is that whenever we lost
12 circulation, we did a DV tool to get cement to surface. But
13 for probably about 100 foot of these zones, we don't have
14 cement across it. But right above the DV tool is where we are
15 currently completed at. So that's --

16 Q. And once again, and Mr. Johnston referred that
17 there are several other wells that you had permitted prior to
18 completing the well in this zone --

19 A. Okay.

20 Q. -- other than the Yates Seven Rivers, what other
21 zones do you think might still be productive on your lease?

22 A. I believe the Yates that he's talking, but that's
23 tied into this.

24 Q. Part of this?

25 A. And again, I don't know if we want to name the

1 lower interval that we'll be targeting, because we're not for
2 sure the extent of that.

3 Q. Okay. Would you move on to page 18.

4 A. Okay.

5 Q. And maybe just summarize the reasons why you
6 think the application should be granted?

7 A. You know, one of the issues is to ensure that the
8 change does not impair or cause a detriment of correlative
9 rights of others. And with our structure being wholly -- as we
10 identified on structure, and as the well -- as it was drilled
11 and came in and confirmed, the well appears to be wholly
12 confined within our 160 acres that we have and that we are
13 asking to be in this pool.

14 We don't believe there will be waste. The energy
15 drive appears to be water drive, low GOR. We don't believe
16 that increasing this will cause any waste, any issues of waste.
17 And we also don't believe that the reservoir will be damaged by
18 producing at the higher rate.

19 Q. And insofar as offset leaseholds, page 11 of
20 Exhibit 3 does contain information on the State of New Mexico
21 leases offsetting this; does it not?

22 A. Yes, it does.

23 Q. Okay. Let's move on to your Exhibit 6.

24 A. Okay.

25 Q. Just overall, what does this exhibit contain?

1 A. It's some of the detail engineering support for
2 some of the numbers that we talked about previously, some of
3 the fluid levels, the fluid content analysis, etc., just trying
4 to give the detail, if necessary.

5 Q. Am I reading this right? Your total well costs
6 were 700,000?

7 A. No. This isn't --

8 Q. Yeah.

9 A. There's additional costs there. And trust me,
10 more than reports and actual invoices are different. And you
11 know which one is higher.

12 Q. I just looked at that, and it seemed awfully low,
13 Mr. Williams.

14 A. Yeah.

15 Q. Were Exhibits 3 and 6 prepared by you or
16 under your supervision?

17 A. Yes.

18 Q. And in your opinion, is the granting of this
19 application in the interest of conservation and the prevention
20 of waste?

21 A. Yes.

22 MR. BRUCE: Mr. Examiner, I move the admission of
23 Exhibits 3 and 6.

24 MR. JONES: Exhibits 3 and 6 will be admitted.

25 [Applicant's Exhibits 3 and 6 admitted into

1 evidence.]

2 MR. BRUCE: I have no further questions of the
3 witness.

4 MR. JONES: Okay. You're not asking for the whole
5 160 proration, are you?

6 MR. BRUCE: The spacing remains at 40 acres.

7 MR. JONES: Okay.

8 EXAMINATION

9 BY MR. JONES:

10 Q. Probably you don't do anything to -- you really
11 don't think choking the well back a little bit will extend the
12 life of it?

13 A. Yes. I don't see it extending the life of the
14 reservoir by choking it back. And thus, I don't --

15 Q. In other words, a little 6-foot section that
16 you've got perforated, you don't think -- it's not like there
17 could be some fingering through of a little gas zone or
18 something that would -- or a water zone -- that would harm you
19 if you produce at a higher rate like this?

20 A. In particular, they were only in the top 6-foot
21 section. We do not feel that that would be the case. And that's
22 where our 350 productivity came from.

23 Q. Okay.

24 A. So if we went and opened the entire 100 feet of
25 this 125, then you would probably have the potential of

1 channeling from the lower water drive, etc.

2 Q. Okay.

3 A. But that rate will be well above -- we
4 anticipate -- well above 350.

5 Q. And you guys are the only ones that own any of
6 the -- any other parts of this structure; is that correct?

7 A. Yes, sir.

8 Q. So you will know how to complete any of the other
9 wells to try to prevent --

10 A. We hope so. Yes.

11 Q. -- watering out --

12 A. Yes.

13 Q. -- in a hurry?

14 A. Yes.

15 Q. But if it was somebody else that had part of this
16 structure, the game would be different, would it?

17 A. To where both of you are going after 350 no
18 matter what could be the potential.

19 Q. Yeah. And also they would have to -- see, once
20 you see something else on our logs, when you run the other
21 wells, are you going to drill down to that six-foot zone and
22 stop and do a drill stem test?

23 A. No. Remember, that was a second Seven Rivers
24 below it.

25 Q. The cavern below it?

1 Would that be the #2?

2 A. The #2, targeting this interval, would be the #2,
3 correct.

4 Q. That's going to be the next well drilled?

5 A. Yes.

6 Q. And that lower position you're referring to, is
7 that the Seven Rivers, the lower Seven Rivers, or is that --

8 A. I'm sorry, the #2 well?

9 Q. Well, on this well here, you mentioned something
10 about there's a lower position that you want to look at on the
11 other wells.

12 A. Right. We would still drill down to it so we can
13 see it.

14 Q. What is that lower position?

15 A. We believe it's still Seven Rivers.

16 Q. Okay.

17 A. We believe is an isolated --

18 Q. It's the lower Seven Rivers that shows up here on
19 the cross section on page 7 of Exhibit 3?

20 A. Yeah. You should be able to see -- well, it's
21 kind of a hard to see on this, but you should be able -- you'd
22 have to go on a regular log to show the separate interval of
23 the second -- but our second well will still target, and we
24 will complete in the same interval, the #2 well on here.

25 Q. Okay.

1 A. But we still want to drill down. I mean, since
2 we're drilling, we want to drill down and be able see it and
3 potentially later on -- and then that will help us understand.
4 Maybe one of these days we twin it to accelerate reserves, etc.
5 at that point.

6 Q. Would you test that lower zone first, though, and
7 then come up and complete the pool?

8 A. It's very likely. A potential, but --

9 Q. On that page 7 on Exhibit 3, your log that you're
10 showing there. What is that?

11 A. It's just a --

12 Q. Is that --

13 A. I wish I knew for sure.

14 MR. JOHNSTON: If you want a copy of the full log
15 here.

16 THE WITNESS: It's the beautiful new process logs
17 that have lots of colors that you have to dig out every time to
18 understand.

19 MR. JOHNSTON: We've submitted this log along with a
20 completion report to the OCD.

21 MR. JONES: While he's digging that up, are you
22 asking for the pool boundaries to be frozen as far as any
23 undesignated -- no undesignated area around it?

24 MR. BRUCE: I wasn't -- I mean, you know, if somebody
25 locates a similar feature on theirs within a mile, I would

1 think that they should be entitled to it also.

2 MR. JONES: Okay.

3 THE WITNESS: This is not the color log that we have
4 on here. This color log will have the typical resistivity,
5 typical neutron density, which are what these logs are, as well
6 as some other process data. I believe part of this is -- and
7 you'll see the blue versus the yellow streak.

8 Q. (By Mr. Warnell): Is that permeability?

9 A. No. That's a lithology -- I think it's called a
10 CMR, but I don't want to speak on that for sure. But what it
11 tries to do is say this is sand, this is dolomite, etc., and
12 it's a Schlumberger tool.

13 Q. So that's a Schlumberger product we're looking at
14 here?

15 A. Yes, the color.

16 Q. That's their computer process?

17 A. Right.

18 MR. WARNELL: I don't have any other questions.

19 MR. JONES: Is that CMR an open hole?

20 THE WITNESS: Yes.

21 MR. JONES: I guess I could ask Terry here about
22 that. But that Atlantic State #1, it is a higher structure; is
23 that correct?

24 A. Correct.

25 Q. But it didn't contain -- it hasn't been tested to

1 contain this same high productivity Seven Rivers zone?

2 A. I didn't put the perforations to that well. I
3 don't have the perforations on each one of the wells.

4 Q. It's a ways away anyway.

5 A. Right.

6 Q. Okay.

7 MR. JONES: I think that's it. There's quite a bit
8 you're asking for in this case. But I think we've got a lot of
9 questions answered. It's uncontested, so if we have more,
10 we'll go through Mr. Bruce.

11 MR. BRUCE: That's all I have in this case,
12 Mr. Examiner.

13 MR. JONES: Okay. We'll take Case No. 14160 under
14 advisement. And that being the last case of the day in the
15 docket, we are adjourned.

16 [Hearing concluded.]

17 * * *

18
19
20
21
22
23
24
25

1

2 **REPORTER'S CERTIFICATE**

3

4 I, JOYCE D. CALVERT, Provisional Court Reporter for
5 the State of New Mexico, do hereby certify that I reported the
6 foregoing proceedings in stenographic shorthand and that the
7 foregoing pages are a true and correct transcript of those
8 proceedings and was reduced to printed form under my direct
9 supervision.

10 I FURTHER CERTIFY that I am neither employed by nor
11 related to any of the parties or attorneys in this case and
12 that I have no interest in the final disposition of this
13 proceeding.

14 DATED this 7th of August, 2008.

15

16

17

18

19

20

21 
22 JOYCE D. CALVERT
23 New Mexico P-03
24 License Expires: 7/31/09
25


1 STATE OF NEW MEXICO)
2 COUNTY OF BERNALILLO)

3
4 I, JOYCE D. CALVERT, a New Mexico Provisional
5 Reporter, working under the direction and direct supervision of
6 Paul Baca, New Mexico CCR License Number 112, hereby certify
7 that I reported the attached proceedings; that pages numbered
8 1-32 inclusive, are a true and correct transcript of my
9 stenographic notes. On the date I reported these proceedings,
10 I was the holder of Provisional License Number P-03.

11 Dated at Albuquerque, New Mexico, 7th day of
12 August, 2008.

13
14 
15 _____

16 Joyce D. Calvert
17 Provisional License #P-03
18 License Expires: 7/31/09

19
20 
21 _____

22 Paul Baca, RPR
23 Certified Court Reporter #112
24 License Expires: 12/31/08
25