

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

CASE NO. 14161

AMENDED APPLICATION OF TARGA MIDSTREAM
SERVICES, LP, FOR APPROVAL OF AN ACID
GAS INJECTION WELL, LEA COUNTY,
NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Legal Examiner
WILLIAM V. JONES, Technical Examiner
TERRY WARNELL, Technical Examiner

August 7, 2008

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico
Oil Conservation Division, DAVID K. BROOKS, Legal Examiner,
WILLIAM V. JONES, Technical Examiner, and TERRY WARNELL,
Technical Examiner, on Thursday, August 7, 2008, at the
New Mexico Energy, Minerals and Natural Resources Department,
1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: JOYCE D. CALVERT, P-03
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, New Mexico 87102

INDEX

Examiner Hearing
CASE NO. 14161

PAGE

APPEARANCES

3

APPLICANT'S WITNESSES:

MICHAEL PIERCE

DIRECT EXAMINATION BY MR. HALL

5

CROSS-EXAMINATION BY MR. BRUCE

26

EXAMINATION BY MR. JONES

34

TODD YOUNG

DIRECT EXAMINATION BY MR. HALL

42

CROSS-EXAMINATION BY MR. BRUCE

50

EXAMINATION BY MR. JONES

51

EXAMINATION BY MR. WARNELL

54

EXAMINATION BY MR. BROOKS

55

RE-CROSS-EXAMINATION BY MR. BRUCE

58

APPLICANT'S EXHIBITS 1 through 4

26

APPLICANT'S EXHIBIT 5

49

REPORTER'S CERTIFICATE

63

A P P E A R A N C E S

FOR THE APPLICANT:

J. Scott Hall, Esq.
MONTGOMERY & ANDREWS LAW FIRM
325 Paseo De Peralta
Santa Fe, New Mexico 87501

ALSO PRESENT (FOR MOMENTUM OPERATING COMPANY, INC.):

James G. Bruce, Esq.
ATTORNEY AT LAW
P.O. Box 1056
Santa Fe, New Mexico 87504

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. JONES: At this time, let's call Case No. 14161,
2 Amended Application of Targa Midstream Services, LP, for
3 Approval of an Acid Gas Injection Well in Lea County,
4 New Mexico.

5 Call for appearances.

6 MR. HALL: Mr. Examiner, Scott Hall, Montgomery &
7 Andrews Law Firm, Santa Fe, on behalf of the applicant. And I
8 have four witnesses to be sworn. It's presently my intent to
9 call only two of them, but we'll go ahead and have all four
10 sworn in the event there's any questions that need to be
11 addressed.

12 MR. JONES: Any other appearances?

13 MR. BRUCE: Mr. Examiner, Jim Bruce, representing
14 Momentum Operating Company, Inc. I do not have any witnesses.

15 MR. JONES: Will all four witnesses, potential
16 witnesses, please stand to be sworn? And please state your
17 names.

18 MR. WRANGHAM: My name is Calvin Wrangham.

19 MR. WHITE: Clark White.

20 MR. PIERCE: Mike Pierce.

21 MR. YOUNG: Todd Young.

22 MR. JONES: Mr. Bruce, is Momentum --

23 MR. BRUCE: We are not. Momentum is the offset
24 operator, and we're just here seeking information. We have no
25 opinion either way on this case.

1 MR. JONES: Do you intend to cross-examine the
2 witnesses?

3 MR. BRUCE: I would like to ask some questions,
4 depending on what is said.

5 MR. HALL: At this time, Mr. Examiner, we would call
6 Michael Pierce to the witness stand.

7 MICHAEL PIERCE

8 after having been first duly sworn under oath,
9 was questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. HALL:

12 Q. For the record, please state your name.

13 A. Michael L. Pierce.

14 Q. Mr. Pierce, where do you live?

15 A. Albuquerque, New Mexico.

16 Q. And how are you employed?

17 A. I'm self-employed. I own Peak Consulting
18 Services.

19 Q. What do you do for Peak?

20 A. I'm the owner.

21 Q. What are your qualifications?

22 A. I'm a petroleum geologist. I've been practicing
23 for 27 years. I just moved to Albuquerque from Hobbs, where I
24 lived for 27 years.

25 Q. And you're authorized to speak for the applicant

1 Targa Midstream Services in this case?

2 A. I am.

3 Q. You previously testified before the Division and
4 had your credentials as a geologist accepted as a matter of
5 record, correct?

6 A. I have.

7 Q. Could you give this Examiner a brief summary of
8 your educational background and work experience.

9 A. I got my Bachelor's degree from the University of
10 New Mexico in Albuquerque in 1979, and in 1981 I moved to Hobbs
11 as a petroleum geologist, and I worked there in various
12 positions. I became a consultant in '86 like a lot of other
13 people did and have been a consultant ever since, working
14 primarily in the Permian Basin in Southeast New Mexico and West
15 Texas.

16 Q. And Mr. Pierce, are you familiar with the lands
17 that are the subject of this application?

18 A. I am.

19 Q. And you're familiar with what Targa seeks by this
20 application?

21 A. I am.

22 MR. HALL: Mr. Examiner, we offer Mr. Pierce as an
23 expert petroleum geologist.

24 MR. BRUCE: No objection.

25 MR. JONES: Mr. Pierce is so qualified as an expert

1 in petroleum geology.

2 Q. (By Mr. Hall): Mr. Pierce, if you would, briefly
3 explain to the Hearing Examiner what it is Targa Midstream
4 Services is seeking by this application.

5 A. We are seeking to put in, install and drill, an
6 acid gas injection well on the premises of the Monument plant
7 southwest of Monument in Section 36, 19, 36. The legal
8 description is 662 feet from the south line and 2513 from the
9 east line. We propose to inject acid gas composed of H₂S and
10 CO₂ and produced water through a closed system into the
11 Devonian and Fusselman formations through open hole at a depth
12 of approximately 8350 to 9200 feet.

13 We anticipate -- the Devonian will take fluid on a
14 vacuum, but to keep the acid gas in solution, we are going to
15 have an injection pressure of approximately 1125 pounds to
16 1150 pounds to keep acid gas in solution. The average daily
17 rates are going to be about 3500 barrels to 5,000 barrels,
18 maximum.

19 MR. HALL: I might address the request for relief
20 briefly, Mr. Examiner. On the application, it stated that
21 there would be injection at a pressure of zero PSI, and as was
22 explained, in order to keep those injection materials in a
23 liquid phase, they'll need to be injected at pressure
24 equivalent or less than the fractured radiant pressure. So I
25 view that as a material change from the relief that's requested

1 on the face of the application. What I intend to do is file an
2 amended application to make that request clear, re-advertise
3 and re-notice this case. And then at the close of evidence
4 today, I'll ask that the case be continued until the September
5 18th docket and see if, on the basis of that amended
6 application and new notification, it's necessary to reconvene
7 for further testimony.

8 But I'd like to go ahead and present the witnesses
9 here today if the Division approves.

10 MR. JONES: What do you think about that?

11 MR. BROOKS: I think if you want to do it -- of
12 course, if a protest occurs, it might be necessary to
13 re-present the evidence in order to enable opposing parties to
14 cross-examine. But if there's no protest, I don't see a
15 problem.

16 MR. BRUCE: I have no objection to what Mr. Hall
17 requests.

18 MR. HALL: Good.

19 Q. (By Mr. Hall): Mr. Pierce, did Targa request you
20 to evaluate the feasibility of installing an acid gas injection
21 well at its Monument plant?

22 A. Yes, they did. They asked me to look at a couple
23 of different proposals. There's a -- right north of the
24 Monument plant, there's a DLD, SWD well that was drilled a
25 number of years back. They asked me to evaluate this well --

1 the potential of converting their existing disposal well --
2 San Andres disposal well, also at the plant -- into an AGI
3 well, and then, third, the possibility of doing a Devonian AGI
4 well.

5 We ruled out the first, the existing SWD well at the
6 DLD plant, for a couple of reasons. It looked like it would
7 not take the amount of fluid that we needed to dispose of. And
8 also, it presented a problem having to build a pipeline across
9 property that we don't own. So we moved to the San Andres AGI
10 because that facility was in place, and it would have been
11 relatively easy to make the changes we needed and do it very
12 quickly. But that presents some problems also by the number of
13 penetrations into the San Andres. And we usually receive some
14 opposition from that, so we've decided to drop that one and go
15 on to the Devonian application. That's where we are now.

16 Q. This is a new drill; is that right?

17 A. Yeah. This well will be a new drill, and it will
18 be within the boundaries of the plant also.

19 Q. In the course of your work, did you prepare an
20 administrative application on the Division C-108 form?

21 A. I did.

22 Q. And is that Exhibit No. 1?

23 A. It is.

24 Q. Let's look at that, if you would. On the first
25 page of this C-108 application, let's note one thing. Who is

1 the operator shown on there?

2 A. Oh, Targa Resources LLC, and it is Targa
3 Midstream.

4 Q. Okay. And Targa Midstream is the entity that
5 will be responsible for regulatory compliance and operations
6 for this well?

7 A. That's correct.

8 Q. And the hearing application is filed in the name
9 of Targa Midstream Services, correct?

10 A. That's correct.

11 Q. And Targa Midstream has the bond and an OGRID
12 with the Division?

13 A. That's correct.

14 Q. Okay. Who are the owners of the project?

15 A. Versado has the surface ownership, and Versado is
16 owned by joint venture between Targa and Chevron.

17 Q. So those three, Versado, Targa and Chevron --

18 A. Correct.

19 Q. -- are joint ventures for this?

20 A. Right.

21 Q. Let's look at Tab H and locate this well. What
22 is under Tab H of Exhibit 1?

23 A. It's a C-102.

24 Q. Okay.

25 A. And this shows the proposed location for the

1 Monument AGI No. 1 well.

2 Q. If you look at the subsequent pages under the
3 C-102 form, are you provided with an area locator map and a
4 Topo map for the vicinity of the well?

5 A. Right. And then just the detail of location and
6 that.

7 Q. So we can see where we are?

8 A. Yeah.

9 Q. Who is the owner of the surface where the
10 facility will be installed?

11 A. Versado.

12 Q. Okay. Explain to the Hearing Examiner briefly
13 why Targa needs this facility?

14 A. Targa needs this facility to dispose of acid gas
15 that's produced or that is a byproduct of the natural gas
16 processing and the produced water that comes in to the plant
17 along with the natural gas.

18 Q. And it's from the Monument plant?

19 A. At the Monument plant, that's correct.

20 Q. Okay. Let's explain how you identified the
21 injection interval for this well.

22 A. There's a number of wells in the area, 12 to be
23 precise, that penetrated the Devonian Fusselman in this
24 interval. And the Devonian and Fusselman intervals exhibit
25 sufficient porosity that we think that we can dispose of the

1 amount of the liquid we need to dispose of to make this project
2 successful.

3 Q. Okay. Turn to Tab A in your Exhibit 1. Let's
4 talk about your well bore schematic.

5 A. Okay.

6 Q. And at the same time you might also wish to refer
7 to Exhibit No. 2, which is another well bore schematic.

8 A. Oh. Which one did you want? Yeah. I've got
9 that one.

10 Q. In Tab A.

11 A. Okay. Tab A. I got you. Okay. This is the
12 proposed well bore schematic, the detail on how we want to
13 build this well. We plan to set 13 3/8 casing in the anhydrite
14 approximately 1,050 feet and cement to surface.

15 Intermediate, we plan to set 9 5/8-inch casing,
16 approximately 9,000 -- excuse me -- 5,000 feet to cover the
17 production interval in the San Andres from the north Monument
18 Grayburg-San Andres and cement that also to surface. We plan
19 to set 7-inch casing in the top of the Devonian at
20 approximately 8350 and cement that also to surface. We will be
21 using H₂S/CO₂-resistant cement on the long string, and the
22 casing also will be corrosion-resistant casing.

23 Q. And the differences between the schematic and
24 under Tab A and then Exhibit 2, on Exhibit 2 you show is tubing
25 string, right?

1 A. Right. We didn't quite have the detail when I
2 submitted the C-108. The tubing we plan on running is going to
3 be 3 1/2 inch, internally coated with Duoline 20. The packer
4 will CRA trimmed, corrosion-resistant alloy. And it'll have
5 the subsurface safety valve, also CRA trimmed.

6 Q. And there is a narrative which is page 2 of
7 Exhibit 2, which sets out what you said. These are the details
8 for your casing program.

9 A. Right. And the packer will also be CRA trimmed,
10 and we will set that approximately 50 feet above the shoe.

11 Q. All right. This will be an open hole completion?

12 A. Yes, open hole completion, from the top of the
13 Devonian to the base of the Fusselman.

14 Q. And again, what are the materials to be used for
15 the tubing? Are they corrosion-resistant?

16 A. Yes. The tubing will be J55 internally coated,
17 Duoline 20.

18 Q. Okay. And what are the average and maximum daily
19 injection volumes and rates you anticipate for this well?

20 A. The average will be about 3500 barrels a day with
21 a maximum of 5,000 barrels a day. And we got this number by
22 what we see currently coming into the plant.

23 Q. Is this system a closed system, and by that I
24 mean is it available for use by third parties?

25 A. It's a closed system, and only the plant will

1 have use of this system.

2 Q. Okay. Let's talk about the Devonian and
3 Fusselman formations. If you could, give the Hearing Examiner
4 a geologic analysis of those two formations.

5 A. Okay. The Devonian and Fusselman are primarily
6 composed of dolomite, limestone and minor chert. The well will
7 sit on the west flank of the NW/SE Trinity anticline. This
8 anticline is fairly well developed or controlled. We have a
9 number of wells, 12 wells to be exact, that were drilled
10 between 1948 and 1961 looking for McKee gas. And so we have a
11 pretty good idea of what the structure looks like.

12 In the process of drilling for the deeper gas,
13 multiple DSTs were run on the Devonian looking for oil and gas.
14 And these DSTs yielded only water. Most of these DSTs -- or
15 all the data I got on these -- I got from OCD files. So those
16 are available. And DSTs are a very reliable method of looking
17 at the Devonian and Fusselman formations.

18 Q. What is the vertical extent of the injection
19 formation?

20 A. Approximately 900 feet.

21 Q. Okay.

22 A. From the top of the Devonian to the base of the
23 Fusselman.

24 Q. And where did you pick the top of Devonian?

25 A. It's going to be approximately 8300 feet.

1 Q. Okay. And the base of the Fusselman is?

2 A. 9250.

3 Q. Okay. Let's look at your well log and structure
4 map, Exhibits 3 and 4. Let's talk about the well log first.
5 Identify the well for this log.

6 A. This is the Amerada Petroleum State F well. It
7 is located one location to the west of the proposed location.
8 This well is in Unit N, and our proposed location is in Unit
9 letter O of Section 36.

10 And this is just -- I put this in just to show the
11 section and what we're looking at. You can see the Devonian
12 overlaid by the Woodford shale. The Fusselman is kind of a
13 fuzzy pick, the Montoya is a little better, and then the
14 Simpson and McKee. And McKee is the deep gas zone I've
15 referenced already that a number of wells produced from. And
16 currently there's only two wells producing from the McKee right
17 now. The other wells have been plugged back or plugged.

18 Q. So this log is typical of the logs you've seen
19 for your study area?

20 A. Like I said, most of these wells were drilled in
21 the late '40s to the early '60s. And about half of them of the
22 gamma ray/neutron. The others have IES logs, old induction
23 logs, one sonic log. So this is the material we have to work
24 with to calculate the porosity and get an indication of the
25 prime.

1 Q. In your view, was the data sufficient to allow
2 you to re-evaluate the porosity sufficiently?

3 A. Yes. You know, it's hard to put an exact number,
4 you know, say this is exactly 22 percent on the neutron log,
5 but these are good indications of porosity. And so, yeah, it's
6 not too far a stretch.

7 Q. Okay. Let's look at Exhibit 4, your structure
8 map, and discuss that for the Hearing Examiner.

9 A. Okay. There was -- I think there was 12 data
10 points on there, and the orange dot, or the pink dot, will be
11 the proposed location. It's pretty well developed structure
12 and not a lot of guesswork in there. We've got good control
13 around the well, proposed well location. And like I said,
14 there was a number of DSTs on these prior wells that tested the
15 Devonian and yielded to be -- or determined it to be
16 unproductive.

17 Q. And your mapping the top of the Devonian stretch?

18 A. Yes. This is the top of the Devonian.

19 Q. Now, overall throughout your study area, did you
20 determine that the permeability and porosity in the reservoir
21 is adequate for the project?

22 A. Yeah. You can't get permeability off well logs,
23 but historically the Devonian and Fusselman have been excellent
24 intervals to dispose water into. They very typically take
25 water on a vacuum, and very large amounts of water on a vacuum,

1 very strong disposal wells. And the logs are sufficient to
2 determine porosity, if porosity is present or not.

3 Q. Based on your study, are you satisfied that the
4 injection fluids will remain contained within the injection
5 interval?

6 A. Yeah, I am. The Devonian is overlaid by the
7 Woodford shale, and it ranges from 50 to 100-feet thick in the
8 area. And that's going to serve as an excellent cap to prevent
9 the upward migration of any injector fluids. The Woodford
10 shale is present in all the wells in the study area, so it's
11 laterally extensive. So I don't see a mechanism for a cause to
12 let fluids migrate up the hole.

13 Q. All right. Are the Devonian and Fusselman
14 productive of oil and gas in this area at all?

15 A. They are not productive in oil and gas at all. I
16 think the nearest production is about ten miles away from the
17 Devonian.

18 Q. Okay. Let's refer back to the C-108 exhibit,
19 Exhibit 1, and look at Tab B. If you would discuss for the
20 Hearing Examiner the area of review for your hydrogeologic and
21 geologic analysis shown on those exhibits?

22 A. Okay. Just the various areas of review?

23 Q. The first sheet is a two-mile area.

24 A. Okay. The two-mile area of review. And then the
25 half-mile area of review, and then a one-mile area of review.

1 Q. Okay. And within the area of review, did you
2 determine the existence of any other production from other
3 formations?

4 A. Yeah. There's production from a number of
5 formations below us, I mean, above us: the Yates, 27-3500
6 feet; the Grayburg-San Andres, approximately 35-3900 feet; we
7 have the Paddock at 5600; the Tubb at 6700 feet; and, the Abo
8 from approximately 7100 feet. And below us we have the McKee
9 at 9500 feet.

10 Q. And if we would turn to Tab C, which is more of
11 the C-108 form at Part III, 5 -- so it would be the second page
12 under Tab C, numbered paragraph 5 there -- what does that show
13 us?

14 A. That shows the formations that produced and the
15 depths they produced from in the area of review.

16 Q. Okay. And if we turn to Tab E, is this a list of
17 wells in one mile area of review?

18 A. Yes. These are all the wells that penetrated the
19 Devonian in the area of review. And each is listed by API
20 number, well name, operator, section, township and range, unit,
21 footage, total depth, the current perforations, where they're
22 at, you know, what they're producing from now, and the pool,
23 and whether or not they've been plugged and abandoned.

24 Q. Okay. And for all those wells, let's look at
25 Tab F. You have well bore schematics. Is that for all the

1 wells within the area of review?

2 A. These are all the wells that are listed in the
3 previous page there.

4 Q. And including the new AGI No. 1 well?

5 A. That's correct.

6 Q. On top?

7 A. That's correct.

8 Q. Now, what was the source of data for these well
9 bore schematics?

10 A. OCD files, OCD records.

11 Q. Was the data that you utilized from the OCD's
12 records sufficient to permit you to determine the casing depths
13 and accurately calculate cement tops and bottoms in each of the
14 wells?

15 A. Yes, they were.

16 Q. Okay. Was there any evidence of casing leaks in
17 any of the wells?

18 A. One of the wells, the Union Texas well, it had
19 some casing leaks and that was essentially due to cement not
20 being brought up high enough on the long string, at 56-5700
21 feet. And this well was plugged -- or the casing leaks were
22 fixed, but the well was plugged a number of years ago.

23 Q. So that's the Union Texas Britt A?

24 A. Yes. And they had casing leaks, and they were --
25 and the leaks were essentially due to the casing not being

1 brought up high enough on the long string. And this well was
2 subsequently plugged. It was P&A'd in '78.

3 Q. This well is no longer an issue --

4 A. No, it's not.

5 Q. -- in terms of providing a conduit for fluids?

6 A. No. Absolutely not.

7 Q. Okay. Are you satisfied that the conditions of
8 the wells in the area of review are such that none of them will
9 act as a conduit for fluids from the injection interval to
10 fresh water supplies?

11 A. Yeah. I'm satisfied that they won't act as a
12 conduit for fresh water supplies.

13 Q. Would you identify all of the fresh water
14 aquifers within the area of review?

15 A. The Ogallala is not present at the plant site or
16 even within a mile of the plant site. The only aquifer we have
17 is in the alluvium from a depth of about ten feet to
18 fifty feet. And all the fresh water that people use at the
19 various plants and the one residence that's located in the area
20 of review is piped in from up north of the plants. There's a
21 fairly documented area that the water is -- this surface water,
22 or this alluvial water, is fairly well contaminated, so nobody
23 uses it to drink.

24 Q. Are there any known sources of fresh water below
25 the injection zone?

1 A. No known sources.

2 Q. Okay. Now, have you examined the available
3 geologic and engineering data for evidence of open faults or
4 other hydrologic connection between the disposal zone in any
5 source of underground drinking water?

6 A. I have. I've looked at that. I don't see any
7 sources or any paths to do that.

8 Q. Okay. Now, let me ask you: Are there any fresh
9 water wells producing within the one-mile area of review?

10 A. There is one windmill that was not present three
11 months ago. It's evidently an old well that within the last
12 month or six weeks someone has put a windmill, but it -- the
13 time I was out there, it was not producing.

14 Q. Now, the Division requests that it be provided
15 with water samples from two or more fresh water wells within
16 the area of review. They simply weren't available, were they?

17 A. They were not available.

18 Q. Let's look under Tab B again. The area of review
19 maps and the last page of those exhibits under Tab B is an
20 aerial photograph?

21 A. That's correct. This just shows the various
22 things in relation to the Monument plant where the well will be
23 located, the existing saltwater disposal well at the plant
24 right now, and then an occupied residence there to the south
25 and the El Paso plant.

1 Q. Do you know what the source of drinking water is
2 for the residence?

3 A. Yeah. They get their fresh water -- it's off the
4 pipe going to the El Paso plant.

5 Q. Okay. Let's turn to Tab G. Let me ask you: In
6 the course of evaluating the porosity of the injection
7 interval, did you determine the aerial extent of the pour space
8 that would be occupied by the injection fluids?

9 A. I did.

10 Q. Okay. Let's go over your calculations under
11 Tab G. What is does this show?

12 A. These are -- I did a radius projection for the
13 given amounts of the fluids we want to inject. The first three
14 gallons per barrel, these are constants, gallons per cubic feet
15 and gallons -- or a cubic feet per barrel. The low barrels per
16 day is 3500 barrels, high barrels is 5,000 barrels a day. Low
17 cubic feet -- simply divide the 3500 for low by the 5.6 cubic
18 feet per barrel. And then the high also do the same way. Acre
19 foot is a constant, 43,560. The net porosity is a number I
20 got -- 300 net porosity feet times .06 percent, 6 percent
21 porosity was the cut off.

22 The wells I examined in the area of review are the 12
23 wells. There were six wells that I could readily get porosity
24 off of, gamma ray/neutron logs. Those six wells averaged
25 slightly over 460 feet net porosity over 6 percent. What I

1 did, to be conservative, I took the porosity -- I cut off the
2 porosity at 300 feet -- and partly, I did that just to account
3 for the variances in the logs not being calibrated and partly I
4 wanted to show a radius of injection. Had I used 450 feet, my
5 radius of injection would have been very small and unrealistic.
6 So I used the 300 as a cutoff, and I believe that's a
7 conservative number.

8 With that, I calculated the volume per acre. And
9 that's at 784,000. And the next number is low rate days per
10 acre. How many days, essentially, it would take to fill up an
11 acre based on the 6 percent, and that's 1,256 days to fill up
12 an acre producing at the low rate.

13 Then the next column is low rate per years. I just
14 divided that 1256 by 365 days per year. And I got 3.44 years
15 to fill up an acre. Low rate acres per year is just the
16 inverse of the previous number. It's just .291 years. And
17 then the next one is acres per 30 years, 30 times .291. That
18 give me 8.73 acres that will be filled up at 30 years of
19 injection at 3500 barrels a day. The high rate would be 12.45.

20 The next one I did 100 percent safety factor. What
21 that means is that if I essentially doubled the injection rate,
22 that would give me 17.46 acres to fill up in 30 years. And I
23 did that for a safety factor. And if that were the case, I
24 would have injection ratings of 492 feet, and that would still
25 be within the lease lines of the plant. We would not cross any

1 lease lines. And even at the high rate, with the 100 percent
2 safety factor, we would not cross the lease lines. With just
3 the 3500 and the projected numbers of 3500 and 5,000, our
4 radius of injection would be 348 feet, approximately, and 415
5 feet, approximately.

6 On the next page is the graphic of that. And those
7 show the 30-year low and 30-year high rate radius injection.
8 The safety factor also takes into consideration that we're
9 probably not going to have a perfectly circular injection
10 radius due to inconsistencies, being the formation and porosity
11 not being homogenous. If we did have a plume going one way or
12 the other, it would still not cross the lease lines.

13 Q. Okay. Let's turn to Tab D. When you submitted
14 the administrative application to the Division, you provided
15 for legal notice in the Hobbs newspaper?

16 A. I did.

17 Q. And then you sent written notice to the offset
18 operators, XTO Energy, Apache Corporation, Chevron USA --
19 Chevron's a partner in this, of course.

20 A. That's correct.

21 Q. Pursuant to your notification, did you receive
22 any objections?

23 A. I received no objections.

24 Q. Okay. In your opinion, Mr. Pierce, can this
25 project be drilled and operated so the injection fluids will

1 remain contained within the injection formations?

2 A. I think it can be drilled and operated in such a
3 manner as to keep the injection fluids within the injection
4 formations.

5 Q. And will the injection operations pose any threat
6 or impairment of correlative rights or waste of hydrocarbon
7 resources?

8 A. I don't believe there will be any waste of
9 hydrocarbon resources. The Devonian has been well-tested with
10 DSTs and appears to be non-productive. So, you know, no
11 correlative rights issues there.

12 Q. In your opinion, can this project be drilled and
13 operated so that public health and safety and the environment
14 are projected?

15 A. I think we can drill and operate this and protect
16 the environment.

17 Q. And will operation of the project also allow for
18 the underground sequestration of the carbon dioxide that would
19 otherwise be released to the atmosphere?

20 A. That's correct.

21 Q. Were Exhibits 1 through 4 prepared by you or at
22 your direction?

23 A. They were.

24 MR. HALL: At this point, Mr. Examiner, I move the
25 admission of Exhibits 1 through 4. This concludes my direct of

1 Mr. Pierce. I pass the witness.

2 MR. JONES: Exhibits 1 through 4 will be admitted.

3 [Applicant's Exhibits 1 through 4 admitted into
4 evidence.]

5 MR. JONES: Before Mr. Bruce cross-examines, you'll
6 have other witnesses to talk about different subjects; is that
7 correct?

8 MR. HALL: Yes.

9 MR. JONES: Okay. Go ahead.

10 CROSS-EXAMINATION

11 BY MR. BRUCE:

12 Q. Mr. Pierce, if I ask some questions that can be
13 better handled by one of Targa's other witnesses, let me know.

14 A. Okay.

15 Q. You can shut me up.

16 A. Okay.

17 Q. First off, I just want to clear up: Will the
18 operator of the well be Targa Midstream?

19 A. That's correct.

20 Q. Okay. Is Targa Resources the owner of the well?

21 A. No. Targa Resources is -- help me out here,
22 guys.

23 MR. HALL: We have another witness that can answer
24 that.

25 Q. (By Mr. Bruce): Okay. I'm just curious. I

1 didn't understand why the two names --

2 A. That was me.

3 Q. Okay. Looking at your Exhibit 3, the log,
4 Mr. Pierce --

5 A. Yes, sir.

6 Q. -- is Targa seeking to inject into the Devonian
7 and Fusselman?

8 A. Correct.

9 Q. Is there -- that's fine. I just wanted to clear
10 that up.

11 A. It will be an open hole completion --

12 Q. Okay.

13 A. -- from the top of Devonian to the base of the
14 Fusselman.

15 Q. Okay. What are -- and, again, if somebody else
16 has this data just let me know -- what are the permeabilities
17 in the Devonian and Fusselman, and is there that much
18 difference between the two?

19 A. Yeah. From zone to zone, they are going to be
20 different. I can't give you an exact measure of permeability.
21 That's not something we can measure off a log. We can get an
22 indication of perm off of a log, but to actually measure perm,
23 we would have to core it and do lab analysis on it.

24 Q. Okay.

25 A. So perm is an indirect and -- off of a

1 resistivity log, especially the newer ones, there's multiple
2 curves and the separation between these curves, that's an
3 indication of permeability.

4 Q. And the wells that you showed on your Exhibit 4,
5 are they generally older wells?

6 A. Yeah. These are all -- all the wells that
7 were --

8 Q. Those dozen Devonian and Fusselman penetrations?

9 A. Yeah. 1948 to '61 vintage.

10 Q. So you're dealing with old logs?

11 A. Exactly. This Exhibit No. 3 is an example of
12 that.

13 Q. Okay. And what about the porosity of the zones.
14 Do you have any idea as to that?

15 A. Yeah. I can calculate the porosity, and that's
16 subjective.

17 Q. Sure.

18 A. What we do is we scale the porosity. None of
19 these logs were calibrated. This is before API standards. So
20 we have tools that we can use. If you look at the neutron
21 perf -- that's on the far right-hand side of your -- that's on
22 the far right-hand side. As that curve moves to the left
23 towards the center of the log, that's an indication of more
24 porosity. As it moves to the right, towards the far right,
25 that's an indication of tighter rock. So we know that tight

1 rock is zero to 2 percent. And on shale we know that that can
2 be upwards of 30 percent. So we kind of scale it.

3 Q. Did you use any particular figures in your
4 calculations for those two zones?

5 A. Well, I used a 6 percent cutoff, and each one was
6 a stand-alone.

7 Q. Looking at this, the Devonian would have better
8 porosity than the Fusselman?

9 A. Yes, it would. In this well, it would have much
10 better porosity.

11 Q. And what about generally on permeability: Does
12 the Devonian have better permeability than the Fusselman?

13 A. Probably overall it does, yes. But, you know,
14 the Fusselman in here exhibits sufficient porosity that I
15 thought we could go ahead and include that. And that still
16 gave us enough separation between the producing interval below
17 us that we could take advantage of that porosity also.

18 Q. Did you ever -- and let me go back. You said
19 that most of the production out here, the deeper production,
20 was McKee or maybe Montoya?

21 A. McKee.

22 Q. McKee.

23 A. Right.

24 Q. The gas wells?

25 A. The gas wells.

1 Q. Of these wells on your Exhibit 4, you said the
2 Devonian was not productive.

3 A. The Devonian has not produced from this structure
4 ever.

5 Q. Okay. What about -- go ahead.

6 A. Go ahead.

7 Q. Go ahead.

8 A. I mean just no oil or gas ever out of this
9 structure.

10 Q. What about the Fusselman?

11 A. No oil or gas out of that, either. Both of those
12 zones were tested with DSTs, mostly in the Devonian, but a few
13 in the Fusselman, and found to be non-productive.

14 Q. I don't know if I'm asking this in the right way,
15 Mr. Pierce, but in the McKee production, would the reservoir, a
16 shot of the McKee reservoir, look similar to the Devonian?

17 A. It would probably look similar. Maybe not exact,
18 but it would look similar, yes.

19 Q. Did you ever calculate the aerial extent of the
20 reservoir out here?

21 A. The Devonian is present to the south and west and
22 north, and to the east, it pinches out at some point.

23 Q. And I think you said the nearest Devonian or
24 Fusselman producer was about ten miles away.

25 A. Yeah. It's far away.

1 Q. You said there's no fault connecting a fresh
2 water zone to the injection well. Is there any faulting out
3 here in the Devonian or the Fusselman?

4 A. The Devonian is very typically faulted, but
5 there's no evidence from the logs that I have, from the data I
6 have, to suggest a fault. There's no very steep dips anywhere.
7 There's good well control on this structure, and there's no
8 very steep dips anywhere to indicate that there might be a
9 fault there.

10 Q. Do you have any idea how close the nearest fault
11 would be?

12 A. No, sir. I don't.

13 Q. And what is a structural dip in the Devonian and
14 the McKee?

15 A. Overall, it's probably going to be to the south
16 and west. I mean, we're on the central basin platform here,
17 and we're on the edge of the Delaware Basin, so I would imagine
18 it's a southwest, or south/southwest dip.

19 Q. Does Targa have any information as to the
20 temperatures, bottom hole temperatures, in the Devonian and the
21 Fusselman?

22 A. Those would come from these old logs, if they
23 were recorded.

24 Q. Okay. And do you have any idea what the
25 pressures, the bottom hole pressures?

REF 2

1 A. The DST data also, they ranged from 2400 pounds
2 to 3100 pounds.

3 Q. Are they similar in both the Devonian and the
4 Fusselman?

5 A. I believe they are, yes. That 3100 pounds did
6 come from the Devonian.

7 Q. Since there's no production, you'd expect them to
8 be the same today as they were then?

9 A. Correct.

10 Q. And I heard you testify earlier, Mr. Pierce, you
11 said that normally if you're just injecting whatever into the
12 Devonian, it would normally take it on vacuum.

13 A. Yes, it would.

14 Q. But what were the pressures that you said you
15 will be injecting?

16 A. We will be using surface pressure of
17 approximately 1125 pounds, 1150 pounds, and that's the pressure
18 we need to keep the CO₂ and H₂S in liquid form, and that should
19 be our operational pressure.

20 Q. And what is the injection fluid? What will it be
21 comprised of, roughly, in percentages, etc? I mean, what is
22 the percentage of the H₂S? Would that be better --

23 A. I think that's a Todd question.

24 Q. Anything about content or composition, somebody
25 else could handle that?

1 A. Yes.

2 Q. Are there any other similar acid gas injection
3 wells in this area, like I say, within the couple of townships,
4 that you're aware of?

5 A. There have been -- Todd probably has -- I know
6 there's been a couple permitted, but I don't know if there's
7 any operational yet.

8 Q. Okay. I think just one -- looking at your
9 Exhibit 2 at the second page.

10 A. Yes, sir.

11 Q. Regarding the ESD system: What is an ESD system?

12 A. That would be a Todd question.

13 Q. Okay.

14 A. I think that stands for emergency shutdown.
15 That's a Todd question.

16 MR. BRUCE: That's all I have.

17 MR. JONES: Is Todd an engineer?

18 MR. HALL: Yes.

19 MR. JONES: And Cal is going to handle the surface
20 questions?

21 MR. HALL: We have people here than can address
22 everything. As you know, Mr. Examiner, the rules for acid gas
23 injection wells are a work-in-progress. So we brought a host
24 of people to address anything that comes up. But we'll put on
25 Mr. Young to address some of the matters Mr. Bruce touched on.

EXAMINATION

1
2 BY MR. JONES:

3 Q. Okay. Well, I had some amateur geology
4 questions. The Woodford shale, how come it's so radioactive?
5 And what formation is it in?

6 A. No. It's -- I think it's called the Woodford.

7 Q. What age rock is it?

8 A. Probably Devonian.

9 Q. It's the upper Devonian?

10 A. Yeah. I believe so. I could verify that for you
11 in just a second.

12 Q. That's all right. That's not -- how come it's so
13 hot?

14 A. It's a shale, a calcium.

15 Q. It's really hot. That's always a good marker.

16 A. Absolutely. Right. Absolutely. It's generally
17 a black, a grayish black shale.

18 Q. Okay. Your calculations -- before I forget --
19 were they based on the whole thickness of the Fusselman and
20 Devonian --

21 A. Correct.

22 Q. -- the invasion calculations?

23 A. Right.

24 Q. So if one of them had more -- obviously, one of
25 them -- or some zones in some of them will be more --

1 A. I'm assuming, you know -- for that calculation, I
2 assumed homogenous porosity. And obviously, that's not the
3 case.

4 Q. Speaking of porosity, you got out of old
5 graduated rule and angled it over there?

6 A. That's exactly what we had to do, right.

7 Q. Okay. There's no -- now, the deeper wells that
8 were drilled out here, there's several of them, I noticed, that
9 were deeper than that. They were all McKee targets?

10 A. Correct.

11 Q. And the bailout zone was the Devonian Fusselman
12 that never worked?

13 A. Well, I think the bailout zone was up the hole
14 further.

15 Q. Up the hole?

16 A. Yeah. Only -- I mean, I don't know exactly how
17 many actually produced out of the McKee. There's only two
18 right now that are currently still in the McKee of those wells.

19 Q. And those are half-mile radius wells; is that
20 right?

21 A. Yes -- a one mile radius.

22 Q. And those are all Apache?

23 A. I think Apache has one and Chevron has one.

24 Q. And Apache had no concerns about this
25 application?

1 A. They expressed none. I received no notice from
2 them.

3 Q. So basically, all the McKee owners have been
4 notified?

5 A. Absolutely.

6 Q. That McKee gas -- and what age rocks is McKee?

7 A. The Ordovician.

8 Q. It's Ordovician?

9 A. I think so.

10 Q. Okay. There's no fault connection between the
11 Devonian Fusselman and the McKee?

12 A. Like I say, there's nothing indicated that the
13 structure map would indicate, you know. Generally, you know,
14 it's really hard to see a fault in a well log. What you look
15 for is very steep dips, you know. And we just, you know, the
16 structure has got fairly good control, and we just don't see
17 that happening.

18 Q. What kind of structure is the McKee on?

19 A. It's an anticline also. I believe it's going to
20 be a much smaller closure.

21 Q. But it's a mirror of this anticline?

22 A. It will look similar. I won't call it actually a
23 mirror imagine, but it will look similar.

24 Q. I'm really glad you advised or Cal decided to,
25 with probably your advice, to switch to the Devonian instead of

1 trying the upper formations. I'll just say that. But you
2 could have a well out here that's injecting water from the
3 plant in another formation; is that correct?

4 A. Yes, we do. The plant currently operates the
5 Graham State No. 7. It's in Unit letter O also, and it's been
6 permitted 15 years ago or so, and it's injecting into the lower
7 San Andres.

8 Q. Okay. And what kind of water -- what kind of
9 fluid is going into it?

10 A. 35- to 5,000 barrels a day of produced water.

11 Q. Plant water?

12 A. Plant water. And it's a closed system also.

13 Q. Why not use that well to continue disposing of
14 plant water and use this other one to dispose of CO₂ and H₂S?
15 Is that another question for Todd?

16 A. I think that's.

17 Q. Okay, Todd. Sorry about that. It just seems
18 like you're going to have a mixture of variances between the
19 three components there.

20 One thing also, if there's a certain type of liquid
21 that can go into a Class II well -- these are called Class II
22 underground injection control wells -- and if you -- was Wayne
23 Price's group notified of this, and have they given you any
24 feedback?

25 A. They were notified. I didn't speak with Wayne

1 directly. One of -- Cal, I think, spoke with Wayne directly.

2 Q. They may be all out there shoveling that big hole
3 in the ground.

4 Maybe I can talk to Cal later about that. But the
5 DSTs in the Devonian and the Fusselman: Did you look at those
6 at all?

7 A. I did.

8 Q. The recovery zones on those, what were they?

9 A. Some of the recoveries were essentially dry and
10 then some recovered 6-7,000 feet of saltwater and sulfur water.

11 Q. So some of them had no permeability; is that
12 right?

13 A. Or the formation was damaged during drilling. I
14 mean, a dry test doesn't necessarily mean a lack of porosity or
15 perm, but it could.

16 Q. Any damages to the Devonian when you drilled
17 through it?

18 A. Yes. Yes, you can. I mean, it's not as
19 sensitive as say, the Morrow, but it can be damaged, yes.

20 Q. How much would it cost to drill these wells? Did
21 you see that?

22 A. I have not seen an AFE for this well.

23 Q. It's a pretty good bet that it's going to be
24 good, though.

25 A. Yes, I think so.

1 Q. All right. That DST, you should have been able
2 to see possibly some kind of a boundary out there, maybe an
3 indication of a fault, if you analyzed the DST.

4 A. Well, I think to have that, you'd have to have
5 the original DST chart, wouldn't you?

6 Q. You would. They're not available at all?

7 A. Not in OCD files.

8 Q. Well, they wouldn't be. You'd have to get them
9 from Apache or whoever Apache --

10 A. But see, Apache acquired from Amerada, and
11 there's a number of, you know -- Chevron acquired from Texaco
12 who acquired from Skelly. And, I mean -- and if we knew who
13 ran the DSTs also, you know. If Halliburton ran them, we might
14 be able to go to Halliburton and track down a couple of them.
15 But I think those records are probably not available.

16 Q. Okay. The faults, if they were available, or
17 they were out there, would they be ~~ceiling~~ ^{Sealing} faults, do you
18 think? *with*

19 A. Well, it all depends on the displacement of the
20 faults. I mean, if it was excessive, it might not be. But the
21 Devonian -- like I said, the Devonian is typically faulted, but
22 the Devonian produces in many places in West Texas and
23 Southeast New Mexico. But I think in most places they are
24 ~~ceiling~~ ^{Sealing} faults.

25 Q. Do you agree with -- have you had input on the

1 placement of the different casings in this well?

2 A. I think those were based on my recommendations.

3 Q. Are you going to use any DV tools, stage tools?

4 A. We -- I mean, if necessary, in my experience on
5 the area, we have had to use external casing packers and DV
6 tools to get good primary cement jobs. So I think those
7 options are definitely on the table based on what we see
8 without drilling the well.

9 Q. Are you designing the cement to circulate on all
10 strings?

11 A. That's correct.

12 Q. If it doesn't circulate, are you going to run a
13 bond log?

14 A. I think if we -- yeah. And I think the procedure
15 would be -- my recommendation would be to run the bond log and
16 perforate and bring the cement up to surface as good as we can
17 do.

18 Q. Or at least run a bond log on the intermediate.

19 A. Right.

20 Q. You said the casing is going to be
21 ^{Corrosion}~~erosion~~-resistant casing, which has a low tensile strength.

22 A. That's -- I can't address that.

23 Q. Okay. And the tubing and the composition of
24 the -- all the details about the tubing, the coating and
25 everything should go to another witness?

1 A. Well, the tubing, I think, is J55 Duoline, you
2 know, line tubing, so -- that was the information that was
3 provided to me. Maybe Todd has some more information on that.

4 Q. And the backside between the tubing and the
5 casing?

6 A. I think it will be loaded with diesel.

7 Q. Diesel. So there's basically no residual oil in
8 the Devonian. It must have moved through there. It just
9 didn't get trapped; is that right?

10 A. That's my interpretation of it.

11 Q. Okay. Did you talk to Paul ^{Kautz}~~Couts~~ at all about
12 any of this?

13 A. I did. I bounced the tops off of Paul, and I
14 think he agreed with those.

15 Q. Okay. Is there any LPG wells around here?

16 A. Yes. I think there's two LPG wells, and my
17 understanding is they will be plugged in the near future.

18 Q. Okay.

19 A. And they've been inactive for several years.

20 Q. Okay. How far away is this from the plant? It's
21 in the plant boundaries?

22 A. Right. It's within 200 feet of the plant. I
23 think it's between the plant and the flare.

24 Q. Okay.

25 MR. JONES: Mr. Warnell?

1 MR. WARNELL: No questions.

2 MR. JONES: Mr. Brooks?

3 MR. BROOKS: No questions.

4 MR. JONES: Any others? Okay. Thank you,
5 Mr. Pierce.

6 MR. HALL: At this point, Mr. Examiner, we would call
7 Todd Young to the witness stand.

8 TODD YOUNG

9 after having been first duly sworn under oath,
10 was questioned and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. HALL:

13 Q. For the record, please state your name..

14 A. Todd Young.

15 Q. Mr. Young, where do you live and by whom are you
16 employed?

17 A. I live in Andrews, Texas, and I'm employed by
18 Targa Midstream.

19 Q. And in what capacity are you employed?

20 A. I'm the Monument area manager.

21 Q. You've not previously testified before the
22 Division; is that correct?

23 A. That's correct.

24 Q. Would you give the Hearing Examiner a brief
25 summary of your educational background and work experience?

1 A. I graduated from the University of Arkansas with
2 a chemical engineering degree in 1990. I've been working in
3 gas plant processing for the last 17-plus years with different
4 roles and responsibilities and increasing levels of
5 responsibilities to the position that I'm in today as an area
6 manager.

7 Q. You're familiar with the application that Targa
8 has pending before the Division?

9 A. Yes, sir.

10 Q. And you're familiar with the layout of the
11 Monument plant and its operation as well as this injection
12 facility?

13 A. Yes. The injection facility is located on our
14 plant site.

15 MR. HALL: At this point, Mr. Examiner, we offer
16 Mr. Young as a qualified expert chemical engineer.

17 MR. BRUCE: No objection.

18 MR. JONES: Mr. Young is so qualified.

19 Q. (By Mr. Hall): Mr. Young, how is Targa currently
20 processing its waste gases at the Monument plant?

21 A. Through sulfur recovery units. The H₂S and the
22 CO₂ recovered from the amine system is routed to the sulfur
23 recovery unit.

24 Q. Is the sulfur recovery unit at its maximum
25 capacity?

1 A. Yes, it is.

2 Q. Is that constraining the ability of the plant to
3 receive additional volumes of produced gas for processing?

4 A. Yes, sir.

5 Q. Is that resulting in curtailment of production in
6 the area?

7 A. Yes, sir, it is, of the quality gas.

8 Q. Okay. Why are we pushing up against the maximum
9 capacity of the sulfur recovery unit? Is it because you're
10 seeing increased gas volumes delivered to the plant?

11 A. The volumes for this quality of gas remain pretty
12 consistent at our levels, but what we're seeing is an increase
13 in H₂S and CO₂ levels where they have almost doubled in
14 concentration.

15 Q. Let's look at Exhibit 5. Do you have that before
16 you?

17 A. Yes.

18 Q. Explain what Exhibit 5 shows to the Hearing
19 Examiner. You can just do a walk-through of what we're looking
20 at in the process.

21 A. This represents the flow schematic for reference
22 purposes, but if you look on the left side, you'll see the
23 inlet gas from our gathering system that's gathered from
24 producing wells. We bring that in with compression. That gas
25 is then sent to the amine system. That gas we consider raw

1 sour gas, which just means it's unprocessed gas from the
2 wellhead. It contains H₂S and CO₂.

3 From the amine system, working left to right, that
4 amine system removes that H₂S and CO₂. The gas from the amine
5 system we consider sweet gas now, without H₂S and CO₂ in it.
6 That gas has to be dehydrated and the water removed from it
7 before we can recover the NGLs. After dehydration, the gas is
8 considered dry gas where we route it to NGO recovery. Through
9 that NGL recovery process, we recover the NGLs. That includes
10 the methanes, the propanes, the butanes and the natural
11 gasoline. The remaining methane is what we consider residue
12 gas. That gas is sold to El Paso. It's similar to what you
13 see in your houses from the distribution systems.

14 If you go back to the amine treater block, the off
15 gas there we consider acid gas. That's H₂S and CO₂. Our
16 current operation, that H₂S and CO₂ is routed to the sulfur
17 recovery unit. At the sulfur recovery unit, we make sulfur by
18 converting the H₂S to sulfur. The CO₂ passes through the sulfur
19 recovery units and through the incinerator where it's vented.
20 The H₂S that's not recovered is oxidized and burned in the
21 incinerator.

22 Our proposed operation -- what you see is the future
23 with the dotted line that represents the proposed change where
24 the H₂S and CO₂ will be routed to acid gas compression. On the
25 far right, you see the gas plant water that will be combined

1 with the acid gas, the H₂S, and CO₂, and be injected into our
2 acid gas well.

3 Q. On the exhibit can you show us specifically where
4 that gas will be mixed with the waste water?

5 A. Yes, sir. On the dotted line, as you follow that
6 to the acid gas compression block, after the backflow valve --
7 the backflow pressure valve on the acid gas compression, the
8 produced water mixes in the mixing chamber for injection into
9 the injection well.

10 Q. Explain to us how the injected water will be
11 maintained in a liquid phase?

12 A. Downstream of the acid gas compression is a back
13 pressure valve. That back pressure valve will be used to
14 maintain the pressure at a point to where the acid gas, the H₂S
15 and the CO₂, can remain in solution during the injection.

16 Q. Okay. Let's talk about the components of the
17 disposal fluids. If we turn back to the C-108, Exhibit 1, and
18 under Tab C, page 3.

19 A. Thank you.

20 Q. Tab C on the third page under Tab C, under
21 Part VII, does that show the components of the acid gas and
22 water?

23 A. That represents our compositions, yes, sir.

24 Q. Can you briefly discuss what we're looking at
25 here?

1 A. The acid gas represents the H₂S and CO₂ in
2 concentrations from 20 to 30 percent H₂S, the remainder being
3 CO₂ and water. That water source is water from the plant,
4 plant processed water and produced water.

5 Q. Okay. Now, Targa currently has a discharge
6 permit that covers the entire plant, does it not?

7 A. We do.

8 Q. And will the company be seeking an amendment to
9 that permit to include the injection facility?

10 A. We'll be submitting a modification to the
11 existing discharge permit to include the facilities for the
12 disposal of the acid gas through an injection well.

13 Q. Okay. Now, explain the need for surface
14 compression facilities for operators.

15 A. In order to inject the acid gas in liquid phase,
16 we have to compress that acid gas to a pressure that reaches
17 the critical phase where it can be maintained in a liquid
18 phase.

19 Q. Okay. Let's turn back to one of the well bore
20 schematics. Exhibit 2 will be fine. We have the annular space
21 between the casing and the tubing. Will that be filled with an
22 inert fluid to surface, a leak detection system?

23 A. Yes, sir. This diesel fuel is being recommended
24 by the OCD, and that is what we intend to use.

25 Q. And will the well be equipped with a pressure .

1 gauge as well for leak detection?

2 A. Yes, sir. We'll monitor that pressure daily.

3 Q. And overall, your understanding is the design
4 for this acid gas injection well is consistent with the designs
5 for acid gas injection wells previously approved by the
6 Division?

7 A. Yes, sir. This is consistent with our Eunice
8 acid gas well that we recently approved. We also are operating
9 acid gas injection system in Texas at our Sandhill facility,
10 and we've been doing that for five-plus years.

11 Q. So Targa has some history and experience in
12 operating acid gas injection wells?

13 A. That's correct.

14 Q. Explain the plans for testing the well prior to
15 commencement of injection?

16 A. We pressure test the casing and monitor the
17 backside pressure, similar to what we do with our Bradenhead
18 well test and our mechanical integrity testing that we do on
19 our saltwater disposal well.

20 Q. Okay. And will you ask the Division's district
21 office to witness the mechanical integrity tests?

22 A. Yes, we will.

23 Q. After the commencement of injection operations,
24 what data will be collected?

25 A. We'll provide the injection pressures and rates

1 on a continuous basis and report that as required by the OCD.

2 Q. Now, once it receives approval for this well,
3 will Targa submit a proposed amendment to its H₂S contingency
4 plan for approval by the Division's environment bureau?

5 A. Our current 118 contingency plan covers our plant
6 site and this source is not a different site. It's the same
7 source. We'll amend that to reflect the new location of the
8 well and the compression equipment, our H₂S monitoring, the
9 fencing addition that we'll make in that area, our wind socks,
10 and safety system changes that we've made to the plant. But
11 the source remains the same. There's not an additional source
12 for exposure for the 118 contingency plan.

13 Q. In your opinion, Mr. Young, can this project be
14 drilled and operated so that public health and safety and the
15 environment will be protected?

16 A. Yes, sir. My office is at the facility.

17 Q. Okay. You feel safe working there, then?

18 A. Yes, sir.

19 Q. Was Exhibit No. 5 prepared by you?

20 A. Yes, sir.

21 MR. HALL: At this time, Mr. Examiner, we move the
22 admission of Exhibit 5, and that concludes our direct of this
23 witness.

24 MR. JONES: Exhibit 5 will be admitted.

25 [Applicant's Exhibit 5 admitted into evidence.]

1 MR. JONES: Any questions?

2 MR. BROOKS: No questions.

3 MR. BRUCE: I just have a few questions.

4 CROSS-EXAMINATION

5 BY MR. BRUCE:

6 Q. Mr. Young, Tab C of the form C-108, looking at
7 the page 3 with your H₂S content --

8 A. Yes.

9 Q. -- looking for minimum volume will be roughly 21
10 percent H₂S and 68 percent CO₂. Is the rest water?

11 A. Yes, sir.

12 Q. Okay. So it's roughly ten percent water under
13 either scenario?

14 A. Yes, sir.

15 Q. And looking at your Exhibit 5, once it comes out
16 of the acid gas compression, it will be liquid to the well and
17 down as it is injected?

18 A. That's correct.

19 Q. Just one or two more. The well bore diagram on
20 page 2 of that, the ESD system, there is a valve at the
21 surface, or is there more than one valve?

22 A. The subsurface safety valve and then the back
23 pressure valve on the downstream side of the compression
24 represents two ESD valves.

25 Q. Okay.

1 A. And that is emergency shutdown devices, or ESD.

2 Q. And the types of grades of the casing and the
3 tubing are just industry standard with corrosion resistance?

4 A. That's correct. That's what I understand we'll
5 install.

6 MR. BRUCE: That's all I have, Mr. Examiner.

7 MR. JONES: Okay.

8 EXAMINATION

9 BY MR. JONES:

10 Q. Mr. Young, the water is going to be the same
11 water that's being put in the lower San Andres right now?

12 A. That's correct.

13 Q. And do you have an analysis of that water? Or
14 could you send an analysis in for the file?

15 A. We have done that. It's submitted. We haven't
16 got the results back, but it's been submitted.

17 Q. Okay. That was the main thing. I had something
18 else. That safety valve is in the tubing, right?

19 A. Yes, sir.

20 Q. And how far down will it be?

21 A. I can't tell you that without --

22 Q. In case something happens to the wellhead.

23 A. Yes, sir. I can't give you the footage. It's
24 similar to our other designs.

25 Q. So why didn't you want to use the other well

1 continuous for the water and just use the new well for the CO₂
2 and H₂S?

3 A. From my perspective, I guess our experience has
4 been to inject the water. And we've operated that way
5 successfully. The other thing that I understand is that the
6 water will take up less space than the gas and the corrosion
7 issues are less in the liquid phase. That is the intent of why
8 we tried to do it that way.

9 Q. So if you add the water, it insures it's going to
10 be in a liquid phase along with the pressure?

11 A. It's all ready -- once we go to the critical
12 phase and give it water, it'll stay in that liquid phase.
13 Essentially the water is saturated with the H₂S and CO₂.

14 Q. Okay. But from the tubing -- the top of the
15 tubing -- basically from there to the formation, sometimes the
16 Devonian takes it really pretty low pressure, so you're not
17 going to have flashing?

18 A. Not at those pressures.

19 Q. Okay. Well, that's -- so it's more advantageous
20 to do that, then?

21 A. That's what I understand from the process.

22 Q. And your compressor that compresses the CO₂ and
23 the H₂S, do you have trouble maintaining that compressor?
24 Don't you have a lot of corrosion problems?

25 A. Well, it's designed for that service, and we have

1 experience doing that.

2 Q. So it's a very expensive compressor, probably?

3 A. Yes, sir. Those are alloys that are -- stainless
4 steel is what you'll look at in the design of the compressor.

5 Q. And why has the H₂S and CO₂ gone up in
6 concentration?

7 A. We've asked our producers that, and they haven't
8 given us an answer. But they continue to go after that gas as
9 a result of the pricing environment.

10 Q. Okay. Okay. Your surface is owned by?

11 A. Versado Gas Processors, LLC.

12 Q. Okay. And that's a pretty good area around that
13 wellhead --

14 A. Yes, sir.

15 Q. -- because the surface is owned by --

16 A. Yes, sir. I don't know if we have the exhibit
17 that shows that property line, but it's well within that
18 property line. We intentionally picked that location to
19 maintain that area.

20 Q. Is that area being used for grazing also?

21 A. No, sir. It's on our plant property.

22 Q. How do you control the weeds and everything?

23 A. We spray them.

24 Q. Okay. So that windmill that Mike Pierce was
25 talking about, how far away is that?

1 well. So if you drew an outline around everything that's
2 current --

3 Q. Okay.

4 A. -- those systems all tie in multiple ways to a
5 line that runs to the saltwater disposal well on our property.

6 Q. Okay. I wouldn't want to confuse it with that
7 liquid sulfur line down there.

8 A. Yes, sir. If you'll stay on the current at the
9 box, that'll work.

10 Q. Okay. Thank you. That's all I've got.

11 MR. JONES: Mr. Books?

12 EXAMINATION

13 BY MR. BROOKS:

14 Q. I appreciate what you said about there won't be
15 any more H₂S coming into the facility because it will be the
16 same strength, right?

17 A. Well, right now we're limited on the amount of
18 H₂S we can bring into the facility, so we'd like to see the H₂S
19 concentrations or total volumes of H₂S increase.

20 Q. So the volume will increase. It'll be from the
21 same sulfurs?

22 A. That's correct.

23 Q. But the volume will increase. Because it's from
24 the same source, there's no reason to suppose, then, that the
25 concentration will change?

1 A. What we've seen is the same volume -- we've
2 doubled our H₂S concentration, H₂S and CO₂ concentration.

3 Q. Yeah.

4 A. So as we increase those volumes, our H₂S and CO₂
5 concentration will increase. This is why we need the acid gas
6 injection to be able to handle those increased concentrations.

7 Q. Okay. And, of course, that will affect what goes
8 into your contingency plan because your contingency plan is
9 based on the concentration in your string, right?

10 A. It's a worst-case scenario, and we're not at
11 those volumes and would not expect to be at those volumes --
12 would not expect to exceed those volumes with this change.

13 Q. And your present operation with the sulfur
14 recovery unit, you do not compress the acid gas, correct?

15 A. That's correct. It's at low pressure to the
16 sulfur recovery unit.

17 Q. And does the compression increase the hazard that
18 may occur if there were a release?

19 A. It has exposure at a higher pressure, yes, sir.

20 Q. And does that increase the concentrations if it
21 releases, it would release a higher concentration as opposed if
22 it weren't compressed?

23 A. That span of pipe between the compression and the
24 wellhead, which is limited, has the exposure to have a higher
25 radius, but it'll be less volume in the event if we have a

1 leak. Those ESD valve systems will shut off that small amount
2 of volume. The major source remains at low pressure as it is
3 today to the suction side of the compressor.

4 Q. Okay. You mentioned an occupied residence -- or
5 your previous witness mentioned an occupied residence, I
6 believe, in the one-mile or the two-mile area of review.

7 MR. HALL: It's under Tab A, Mr. Examiner, the last
8 page there.

9 Q. (By Mr. Brooks): How how far is that from the
10 plant? Oh yeah, it's on the last page of Tab B. How far is
11 that from the plant?

12 A. I can't tell you if it's a mile or less over to
13 his trailer house.

14 Q. Okay. Do you know if the owner of that residence
15 has been notified?

16 A. Yes, sir. I gave him the copy of the
17 notification.

18 MR. BROOKS: That's all I have.

19 MR. JONES: I just have one more question. What's
20 your schedule on getting the well drilled and everything. Is
21 it like next week or --

22 THE WITNESS: Unfortunately, the cost of the
23 expenditure will require significant approval process. And
24 then the availability of equipment and resources will be the
25 next pending piece. So it's not -- we'd like to see it in the

1 next year, would be our expectations.

2 MR. JONES: I don't see a big hang-up here.

3 RE-CROSS-EXAMINATION

4 BY MR. BRUCE:

5 Q. I forgot to ask you, Mr. Young. Just getting
6 back, just to clarify for me: The applicant is Targa
7 Midstream. The plant is owned by Targa Resources, right?

8 A. No, sir. The plant is owned by Versado Gas
9 Processing, LLC.

10 Q. Okay.

11 A. The partners are Targa Midstream Services, LP,
12 and Chevron USA, Incorporated. Versado Gas Processing, LLC,
13 owns the Monument plant. The application, I think,
14 represents -- had initially represented Targa Resources, LLC.
15 Targa Resources, LLC, or Targa Resources, Inc., is the parent
16 of Targa Resources, LLC and Targa Midstream Services, LP.

17 Q. Okay.

18 A. And that mistake has been corrected.

19 Q. All right. I was looking at that Tab B, and it
20 shows the plant as being owned by Targa Resources. That's why
21 I got --

22 A. It's actually owned by -- it's hard dealing with
23 the regulatory piece. When we deal with regulatory agencies,
24 we have the operator represented as Targa Midstream Services,
25 LP.

1 MR. JONES: Thanks for doing that.

2 THE WITNESS: No one knows Versado.

3 Q. (By Mr. Bruce): And if I could, do you
4 anticipate a 30-year life for this well?

5 A. I hope at least 20.

6 Q. What do you currently do with the sulfur?

7 A. It's sold by truck.

8 Q. Thanks.

9 MR. HALL: Mr. Examiner, we have Cal Wrangham, the
10 manager of Targa for health, safety and environment, and if
11 you'd like, we can make him available to you if you need to
12 discuss the Rule 118 H₂S contingency plan at all.

13 Our understanding, based on prior applications like
14 this, is that it's a condition of approval that the operator
15 submit an amended plan prior to the commencement of operations.
16 But if you have any questions about that, he's available today.

17 MR. JONES: I really don't think so. Because that
18 could be -- that will be part of Wayne Price's group.

19 MR. HALL: He has been in communication with
20 Mr. Price about this.

21 MR. JONES: Okay.

22 MR. HALL: With that, as we indicated, I'll file an
23 amended application to specify that the relief will include a
24 request for surface pressure injection at or below the fracture
25 pressure gradient of 1600 pounds or less for that depth.

1 MR. JONES: Okay.

2 MR. HALL: And then I will notice -- again, we have
3 notified all the surface owners within two miles, I think, and
4 offsetting operators. In accordance with my understanding of
5 the rule, under Rule 701, which refers to affected parties, the
6 only other reference in the rules to an affected party is under
7 the unorthodox location rule, which gives us some guidance. So
8 that's what I have done in terms of notifying mineral interest
9 owners. Will that satisfy the Division?

10 MR. BROOKS: I would assume so. You notified
11 everybody within the two-mile area of review?

12 MR. HALL: All surface owners for mineral interest
13 owners, it was the offsetting operators.

14 MR. BROOKS: Okay. Well, I'm not sure who you
15 notified from that, but what I understand that Rule 701, as it
16 is presently stated, requires for an area of review and you
17 need to notify affected persons in any tract that is all or
18 part within the area of review, which, of course, is going to
19 create something -- it could go beyond offsets, depending on
20 land ownership.

21 MR. HALL: It's my understanding we have done that.

22 MR. BROOKS: Okay.

23 MR. HALL: In fact, I have more operators than were
24 testified to today. Plus I think I've notified this case two
25 ways before Sunday. That it's been advertised in the Hobbs

1 newspaper twice already. That will be done again, and then
2 we'll send out written again with the amended application.

3 MR. BROOKS: And you'll file a Notice of Affidavit
4 when you've done your new notice, right?

5 MR. HALL: Right. I can give you what we have today,
6 but I don't know see the need --

7 MR. BROOKS: If you're going to notice over again, I
8 guess it doesn't really matter.

9 MR. JONES: So that will include the operators?
10 Since there are no operators in the Devonian or the Fusselman,
11 you'll be the lessees.

12 MR. HALL: Right. Chevron, as we understand it, who
13 is the partner in the project --

14 MR. JONES: Okay. And the McKee people will also be
15 included in that just because they -- I'm kind of interested in
16 having them included.

17 MR. WHITE: I've had discussions with Apache because
18 they protested, and I asked them specifically about this
19 formation and discussed what we were doing specifically to see
20 if they had any problem. And they gave us -- obviously, they
21 didn't protest.

22 MR. JONES: The only thing that I can say is the
23 drill stem test data, if you could get a hold of one of those,
24 or two of those charts -- and actually look at those. Now,
25 what you've got now is Mike's looking at drill stem tests there

1 to see permeability. But you are still at risk of drilling
2 into something that you can't inject into. But it's a pretty
3 high likelihood that you'll be okay, but not only could you
4 see -- interpret some kind of permeability from your analysis
5 of a drill stem test, but you could also possibly look for
6 boundaries. And you don't have to, but that's what I would
7 caution.

8 And another thing is, if you're going to show up in
9 another month or six weeks, maybe you can have a well bore
10 diagram of the tubing in it and the packer in it, and a little
11 more detail about the locations of all the safety devices and
12 the coatings on the packer and that kind of stuff.

13 Okay.

14 MR. HALL: We'll do that. Mr. Examiner, with that,
15 we ask that this case be continued to the September 18th
16 Examiner hearing docket.

17 MR. JONES: Thank you. We'll take Case No. 14161 and
18 continue it to the September 18th docket.

19 And let's take a 15-minute break.

20 [Hearing concluded.]

21 * * *

1

2 **REPORTER'S CERTIFICATE**

3

4 I, JOYCE D. CALVERT, Provisional Court Reporter for
5 the State of New Mexico, do hereby certify that I reported the
6 foregoing proceedings in stenographic shorthand and that the
7 foregoing pages are a true and correct transcript of those
8 proceedings and was reduced to printed form under my direct
9 supervision.

10 I FURTHER CERTIFY that I am neither employed by nor
11 related to any of the parties or attorneys in this case and
12 that I have no interest in the final disposition of this
13 proceeding.

14 DATED this 7th of August, 2008.

15

16

17

18

19 

20
21 JOYCE D. CALVERT
22 New Mexico P-03
23 License Expires: 7/31/09
24
25

1 STATE OF NEW MEXICO)
2 COUNTY OF BERNALILLO)


3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JOYCE D. CALVERT, a New Mexico Provisional Reporter, working under the direction and direct supervision of Paul Baca, New Mexico CCR License Number 112, hereby certify that I reported the attached proceedings; that pages numbered 1-62 inclusive, are a true and correct transcript of my stenographic notes. On the date I reported these proceedings, I was the holder of Provisional License Number P-03.

Dated at Albuquerque, New Mexico, 7th day of August, 2008.



Joyce D. Calvert
Provisional License #P-03
License Expires: 7/31/09



Paul Baca, RPR
Certified Court Reporter #112
License Expires: 12/31/08

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

CASE NO. 14161

AMENDED APPLICATION OF TARGA MIDSTREAM
SERVICES, LP, FOR APPROVAL OF AN ACID
GAS INJECTION WELL, LEA COUNTY,
NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Legal Examiner
WILLIAM V. JONES, Technical Examiner
TERRY WARNELL, Technical Examiner

August 7, 2008

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico
Oil Conservation Division, DAVID K. BROOKS, Legal Examiner,
WILLIAM V. JONES, Technical Examiner, and TERRY WARNELL,
Technical Examiner, on Thursday, August 7, 2008, at the
New Mexico Energy, Minerals and Natural Resources Department,
1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: JOYCE D. CALVERT, P-03
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, New Mexico 87102