

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

25 May 1983

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum Corpor-
ation for salt water disposal, Lea
County, New Mexico.

CASE 7872
and
7838

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

W. Perry Pearce, Esq.
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

Chad Dickerson, Esq.
LOSEE, CARSON, & DICKERSON
P. O. Drawer 239
Artesia, New Mexico 88210

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

DAVID BONEAU

Direct Examination by Mr. Dickerson	4
Cross Examination by Mr. Stamets	15

E X H I B I T S

Applicant Exhibit One, C-108's	6
Applicant Exhibit Two, Map	7

1
2 MR. STAMETS: Call next Case 7872.

3 MR. DICKERSON: Let me ask, Mr. Examiner,
4 we think we can expedite the remainder of these cases if we
5 are allowed to consolidate Case 7872 with 7838, which is the
6 last one on Yates docket.

7 MR. STAMETS: I see no objection. We
8 will call both of those cases and consolidate them for pur-
9 poses of testimony.

10 Seeing none, let's proceed thusly.

11 MR. PEARCE: Case 7872 is on the appli-
12 cation of Yates Petroleum Corporation for salt water disposal,
13 in Lea County, New Mexico, and Case 7838 is on the application
14 of Yates Petroleum Corporation for salt water disposal, Lea
15 County, New Mexico.

16 MR. DICKERSON: Chad Dickerson, Mr. Exa-
17 miner, and on behalf of the applicant we'll call one witness,
18 who has already been sworn.

19
20 DAVID BONEAU,

21 being called as a witness and being previously sworn upon his
22 oath, testified as follows, to-wit:
23
24
25

DIRECT EXAMINATION

BY MR. DICKERSON:

Q. Mr. Boneau, you are the same witness who previously testified and were previously qualified, were you not?

A. Yes, sir.

Q. Mr. Boneau, do you have a preliminary statement which you could make which might clarify and simplify the purpose of Yates' application in these two consolidated cases?

A. Yes, and I'd also like to include the next or the rationale behind the next two cases, if that's not completely out of order.

These four cases, Dick, involve water disposal here, here, here, and here. The point is Yates has drilled wells which I've scribbled in the circle, here, up here, here, and here, which are producing from the Bough at about 9800 feet, drilled within the last year and producing about 1500 barrels of oil per day and about 2000 barrels of water per day.

We're looking for a place to put this water.

MR. STAMETS: Should we call all four of these cases, Chad?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A. We talked about it.

MR. DICKERSON: We're willing, but I'm afraid we're going to --

MR. STAMETS: Okay.

MR. DICKERSON: -- get covered up with paper if we --

MR. STAMETS: Fine.

MR. DICKERSON: -- do that.

MR. STAMETS: Let's don't do it, then.

A. And maybe this is not regional, but I would never understand it if I didn't do this myself, so I hope it helps you.

The closest well is one called Swan "VB" No. 2, which is one of the ones we're hearing now. We're testing that one as an oil well. It's a marginal oil well and I'm not sure, but if it makes an oil well, we don't want to use it for a disposal well. If it doesn't, we want to be able to use it. That's really the first choice for a disposal well.

There's a well over here called Midwest State which we'd like to re-enter because the well looks fairly decent on the log. If we re-enter it and it looks -- and it does not produce, it's really the second choice as a disposal well.

1
2 There's a well down here called LDM Amoco
3 "GX" State is a -- we're thinking about re-entering but its
4 log doesn't look as good and it's like, if the first two work
5 out as oil wells, it's probably going to be the disposal well,
6 we hope.

7 The last choice is one down here called
8 Hondo State where we have to inject into the San Andres. It
9 probably is not as good a disposal zone as the Canyon zone we
10 could inject in these other wells.

11 We went through all this convoluted thing
12 and here we are talking about these two. The rest of the
13 cases aren't (inaudible.)

14 Does that make any sense?

15 MR. STAMETS: In a roundabout sort of
16 way, yes.

17 Q So to briefly summarize Mr. Yates' purpose
18 here is to obtain approval of salt water disposal program.

19 Would you refer the Examiner to what we have
20 marked Exhibit Number One on both cases, both with regard to
21 your well in Case 7872 and the well in Case 7838, and just
22 briefly point out the portion of that exhibit with reference
23 to each of these wells to enable the Examiner to see the --
24 mechanically how Yates proposes to enter these wells and dis--
25 pose of this water?

1
2 A. Exhibit One in each case is the C-108 form
3 with all its attachments. I'd refer first to the, well, I
4 think it's the fatter one, the one that involves Swan "VB"
5 State No. 2.

6 The current status of that, as I mentioned,
7 it's perforated in the Bough "A" and the Bough "C" at 9793
8 to 9950. That well has 13-3/8ths inch cement circulated at
9 449 feet; has 8-5/8ths inch casing at 4192, circulated to
10 surface. It has 5-1/2 inch casing run to 10,156, cemented
11 with 925 sacks up to about 7800 feet top of cement.

12 Q. Mr. Boneau, before we proceed any further
13 with Exhibit Number One, the C-108, refer to what is marked
14 Exhibit Number Two and describe what is contained within the
15 area of review for these two proposed injection wells.

16 Just point out to the Examiner any wells
17 which are pertinent to the proposed disposal wells.

18 A. Okay. These wells are both in the south-
19 east quarter of Section 21 of Township 14, 33. As such they
20 have similar but not exactly the same areas of review.

21 Within the areas of review are the Yates
22 producing wells in the north half of that section, the Wood-
23 pecker No. 2, Woodpecker No. 5, Woodpecker No. 6, I think also
24 Woodpecker No. 3.

25 There's a producing well in Unit I called

1
2 the Swan "VB" No. 1, which is within the area of review.
3 Those are all oil wells producing from the Bough formation.

4 Within the area of review of the Hondo
5 Well is a well called Texaco "AN" No. 1 in Section 22, which
6 produced oil for a long time. It was plugged in 1976, I
7 believe, and also within the area of review is a well, an MWJ
8 Well in Section 28 called Saunders 28-A No. 1, which is a
9 producing oil well that was drilled in 1981, I believe, by
10 MWJ.

11 Is that anything like you're talking about
12 on that?

13 Q. Okay, and the -- all surface owners and
14 leasehold operators within the area of review have been noti-
15 fied by certified mail of Yates' application in this case,
16 have they not?

17 A. That's correct.

18 Q. Now, with further regard to your exhibits
19 C-108, Mr. Boneau, --

20 A. Let me finish what I started to say about
21 that --

22 Q. Okay, excuse me.

23 A. -- Swan Well. The Swan Well has those per-
24 forations in the Bough now. In order to make it a water in-
25 jection well we would -- we would deepen the well from its

1
2 present total depth of 10,156 to approximately 10,350 feet
3 and inject into that open hole interval plus some perforations
4 at the very bottom of the 5-1/2 inch casing that's -- that's
5 installed there.

6 There is a picture of that proposed opera-
7 tion included as, oh, approximately pages 6 and 7 and 8 of the
8 C-108 for that well.

9 So in that case the productive -- the pro-
10 posed injection interval is the Cisco Canyon. It would re-
11 quire that the well be deepened, that a packer be set up in
12 the casing and we inject into some perforations and then ap-
13 proximately 200 feet of open hole.

14 Q. What's the estimated volume of water to be
15 disposed of in each of these two wells, Mr. Boneau?

16 A. Well, actually it's different in the two
17 wells. The Canyon zone we think will take a minimum of 2000
18 barrels a day, which is what we have to dispose of right now.
19 It probably will take as much as 4000 barrels a day under in-
20 jection pressure about 2000 pounds which is the allowed pres-
21 sure of .2 psi per foot.

22 The San Andres zone, which is the proposed
23 injection zone in the Hondo State, that we've not really yet
24 discussed, would probably take only about 1500 barrels a day,
25 and the allowed injection pressure there is roughly 1000

1
2 pounds at a depth of about 5000 feet. We feel we'd probably
3 need about 1500 pounds to inject into that zone and we would
4 require approval of that injection pressure, or we'd require
5 some mechanism to show that that injection pressure was
6 reasonable.

7 Q. But for current purposes what pressure do
8 you expect to require to be utilized in order to inject at
9 your hoped for rate?

10 A. Well, we're asking for the standard in-
11 jection pressure of .2 psi per foot, so 1000 pounds in the
12 Hondo State, 2000 pounds in the other one.

13 On the Hondo State I'd ask for an admini-
14 strative mechanism where we could run a step rate test or
15 some such thing and go to this, perhaps, 1500 psi.

16 Can I just outline the situation with the
17 Hondo State?

18 Q. Yes, please do.

19 A. The well has a long and checkered history.
20 It was drilled in 1951 by Atlantic as their State "U" No. 1
21 with surface casing set at 377 feet and 9-5/8ths inch casing
22 set at approximately 4100 feet.

23 They ran logs and abandoned the well.

24 In 1961 Carl Westland re-entered the well,
25 ran 4-1/2 inch casing to total depth of 10,025 feet, and pro-

1
2 duced the well for a couple of years and then converted oper-
3 ations over to a firm called McGrath and Smith, which produced
4 the well for approximately another -- another year.

5 In 1964, after total production of about
6 11,000 barrels, the well was P&A'ed and the 4-1/2 inch casing
7 was shot off at approximately 6000 feet and pulled, so that
8 it's, we feel, practically impossible to re-enter that, and
9 what we're talking about doing is injecting into the San
10 Andres and the San Andres exists in the open, essentially the
11 open hole region between the bottom of the intermediate
12 casing at 4100 feet and the top of the stub of the 4-1/2
13 inch casing at about 6200 feet. So there's 1000 foot inter-
14 val of San Andres in there that we would propose injecting
15 into open hole under a packer in the tubing, you know; not --
16 not really an ideal situation and that's partly why it's
17 fourth on our priority list.

18 Q. Mr. Boneau, would you very briefly summar-
19 ize the lithology of each of these proposed injection forma-
20 tions and any facts which you feel are pertinent with regard
21 to the formations immediately above and below those injection
22 zones, as far as forming a base and cap for this injection
23 zone?

24 A. Well, the Cisco Canyon seems to me to be
25 an ideal injection zone. It's a vuggy dolomite with good

1
2 porosity. We find that we lose circulation in that zone in
3 many of the wells we've drilled in the area. It contains
4 sulphur water, salt water, and it's separated from the oil
5 producing Bough zones by -- by shales and tight limestone.

6 The San Andres, as you know, is an approxi-
7 mately 1000 foot section of limestones and dolomite, gener-
8 ally separated, zones that are separated by the tightness of
9 the -- of the -- of the dolomite and anhydrite that separates
10 the porosity zones from the non-porosity zones.

11 Above the San Andres there are shales that
12 separate it from the other producing zones and the fresh
13 water zones, of course, are the Ogallala, which is about
14 250 feet below the surface and a mile or two above the in-
15 jection zones that we're talking about.

16 Q. Have you studied all the appropriate geolo-
17 gical and engineering data, Mr. Boneau, so that you're able
18 to express an opinion on whether there are any apparent open
19 faults or other hydrologic connection between the proposed
20 injection interval and that source of fresh water in the area?

21 A. I've gone over some of that data myself
22 and I've talked to our geologist on just that question and
23 the conclusion that there's no evidence of open faults or any
24 other connections between the disposal zones and the fresh
25 water zones above.

1
2 Q. What, if any, problems do you foresee with
3 the proposed water to be injected as far as its compatibility
4 with the water existing in the area?

5 A. All the waters we're talking about are brines.
6 The water produced from the wells we're talking about varies
7 in chloride content from 10,000 parts per million up to about
8 90,000 parts per million. Most of it is in the range of
9 20,000 parts per million chlorides.

10 The only measurement of the water from the
11 proposed Canyon injection zone is about 18,000 parts per
12 million chlorides and I think those would be very compatible.

13 The San Andres injection zone contains more
14 salty water; by that I mean water with a higher concentration
15 of ions and the waters would not be, you know, exactly the
16 same, but they should be compatible.

17 Q. If you didn't say, Mr. Boneau, what are the
18 closest sources of drinking water in existing wells in the
19 immediate area of these two proposed injection wells?

20 A. There is one windmill in Section 27 which
21 produces water of about 40 parts per million chlorides and
22 I think there's one T&A'd -- what I call T&A'd windmill, one
23 old windmill from which we're not able to obtain a sample.

24 Q. So you foresee no problem whatsoever with
25 avoiding contamination of any fresh water sources.

1
2 A. No, we're not going to contaminate the
3 fresh water sources.

4 I need to point out a couple potential
5 problems, I think, to be complete in our discussion of this.

6 In the -- in the Cisco Canyon we're talking
7 about injecting into a zone which was tested in the adjacent
8 Swan "VB" No. 1. There's a bridge plug above that zone in
9 the Swan "VB" No. 1. We think the bridge plug is holding but
10 we intend to go back in, drill out that bridge plug, and
11 squeeze all that zone in the adjacent well regardless of
12 whether we inject in the Swan "VB" No. 2.

13 We're producing more water in the Swan "VB"
14 No. 1 than we think we should and we're not sure where it's
15 coming from, but one place it could be coming from is from
16 this zone above the packer and we're going to go in and
17 squeeze that.

18 So that's something that should be taken
19 care of before we inject in Swan "VB" No. 2 and we intend to
20 do that and you'd be wise to require us to do that.

21 In the other well, in the Hondo State Well,
22 the obvious problem is that we're injecting into a San Andres
23 zone and the surrounding wells have no cement over the pipe
24 in that zone; they just plain don't.

25 Q. Mr. Boneau, what, if any, treatment do you

1
2 foresee as being necessary to enable Yates to inject into
3 these two proposed zones?

4 A. Small acid treatments, 2000 to 5000 gallons,
5 ought to do it.

6 Q. In your opinion, Mr. Boneau, would the
7 granting of this application, or these two applications, be
8 in the interest of conservation, the prevention of waste, and
9 the protection of correlative rights?

10 A. Yes, sir.

11 MR. DICKERSON: At this time, Mr. Exa-
12 miner, I move admission of Yates' Exhibits One and Two in
13 each of these cases.

14 MR. STAMETS: These exhibits will be
15 admitted.

16 MR. DICKERSON: And if the Examiner has
17 no questions, that concludes our direct examination.

18
19 CROSS EXAMINATION

20 BY MR. STAMETS:

21 Q. Mr. Boneau, on the State Swan "VB" No. 1
22 you indicated you would squeeze some perforations below the
23 bridge plug. Now would those be zones that would be injected
24 into in the Swan -- or in the No. 2 Well?

25 A. The logs are real hard to correlate, but I

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

think so, yes.

Q. Okay.

A. In that well we intend to deepen the well and inject into an open hole interval in the deepened zone. That is not the zone we're talking about in the Swan "VB" 1, but we're also going to put some perforations at the very bottom of the present pipe and those zones probably correlate with this zone in the Swan "VB" 1 that I'm talking about.

MR. STAMETS: Are there other questions of the witness in either of the two cases? He may be excused.

Anything further? I will note that the Examiner has not really had time to thoroughly review the exhibits submitted here and there may be some questions upon which I will contact Mr. Boneau later.

If there is nothing further, the cases will be taken under advisement.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 7872/783 heard by me on 5-25-1983
Richard P. [Signature] Examiner
Oil Conservation Division

SALLY W. BOYD, C.S.R.
Rt. 193-B
Santa Fe, New Mexico 87501
Phone (505) 455-7409