

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

PROPOSED AMENDMENT OF 19.15.39 NMAC TO ADD CASE NO. 14255
TWO NEW SECTIONS SETTING OUT SPECIAL
PROVISIONS FOR SANTA FE COUNTY AND THE
GALISTEO BASIN; PROPOSED AMENDMENT
19.15.39.9 NMAC, AND PROPOSED AMENDMENT
19.15.39.10 NMAC.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSIONER HEARING

BEFORE: MARK E. FESMIRE, CHAIRMAN
JAMI BAILEY, COMMISSIONER
WILLIAM C. OLSON, COMMISSIONER

December 18, 2008

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico
Oil Conservation Commission, MARK E. FESMIRE, Chairman, on
Thursday, December 18, 2008, at the New Mexico Energy, Minerals
and Natural Resources Department, 1220 South Saint Francis
Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: JOYCE D. CALVERT, P-03
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, New Mexico 87102

INDEX

Examiner Hearing
CASE NO. 14255

PAGE

APPEARANCES 3

APPLICANT'S WITNESSES:

WILLIAM V. JONES

| | |
|---|-----|
| DIRECT EXAMINATION BY MS. MACQUESTEN | 5 |
| CROSS-EXAMINATION BY MR. HALL | 39 |
| CROSS-EXAMINATION BY MS. FOSTER | 62 |
| EXAMINATION BY COMMISSIONER BAILEY | 80 |
| EXAMINATION BY COMMISSIONER OLSON | 87 |
| EXAMINATION BY CHAIRMAN FESMIRE | 123 |
| REDIRECT EXAMINATION BY MS. MACQUESTEN | 138 |
| RE-CROSS-EXAMINATION BY MR. HALL | 150 |
| RE-CROSS-EXAMINATION BY MS. FOSTER | 155 |
| FURTHER EXAMINATION BY COMMISSIONER OLSON | 163 |
| FURTHER EXAMINATION BY CHAIRMAN FESMIRE | 166 |
| REDIRECT EXAMINATION BY MS. MACQUESTEN | 167 |
| RE-CROSS-EXAMINATION BY MS. FOSTER | 168 |

GLENN VON GONTEN

| | |
|--------------------------------------|-----|
| DIRECT EXAMINATION BY MS. MACQUESTEN | 171 |
| CROSS-EXAMINATION BY MR. HALL | 195 |

MATTHEW DROZ, ESQ.

| | |
|-------------------------|-----|
| Law firm of Baker Botts | 230 |
|-------------------------|-----|

Noon Recess

122

| | |
|------------------------------|-----|
| APPLICANT'S EXHIBIT 3 | 39 |
| APPLICANT'S EXHIBITS 41 & 42 | 39 |
| APPLICANT'S EXHIBIT 4 | 195 |

REPORTER'S CERTIFICATE 245

A P P E A R A N C E S

FOR THE APPLICANT, OIL CONSERVATION DIVISION:

Gail MacQuesten, Esq.
Assistant General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

ON BEHALF OF APPROACH OPERATING, LLC:

J. Scott Hall, Esq.
MONTGOMERY & ANDREWS LAW FIRM
325 Paseo De Peralta
Santa Fe, New Mexico 87501

ON BEHALF OF INDEPENDENT PETROLEUM ASSOCIATION OF NEW MEXICO:

Karin V. Foster, Esq.
CHATHAM PARTNERS, INC.
5805 Mariola Place, NE
Albuquerque, New Mexico 87111

1 CHAIRMAN FESMIRE: Let's go back on the record. At
2 this time, we will reconvene Case No. 14255, the Application of
3 the New Mexico Oil Conservation Division Through the
4 Environment Chief for Adoption of an Amendment 19.15.39 NMAC,
5 adding new sections to be codified at 19.15.39.9 and
6 19.15.39.10 NMAC addressing special provisions for Santa Fe
7 County and the Galisteo Basin, Santa Fe, Sandoval and San
8 Miguel Counties.

9 The record should reflect that this is a continuation
10 from the hearing that was last convened on Thursday, December
11 11th. The record should also reflect that Commissioners
12 Bailey, Olson and Fesmire all present. There is, therefore, a
13 quorum present of the Commission. And I believe at the end of
14 the last day of the hearing, Mr. Brad Jones was under
15 cross-examination, and Mr. Jones is not available today; is
16 that correct, Ms. MacQuesten?

17 MS. MACQUESTEN: That's right.

18 CHAIRMAN FESMIRE: But you're prepared to continue
19 with your next witness, Mr. Will Jones?

20 MS. MACQUESTEN: Yes.

21 CHAIRMAN FESMIRE: Okay. Ms. MacQuesten, proceed,
22 please.

23 MS. MACQUESTEN: The OCD calls Will Jones.

24 CHAIRMAN FESMIRE: Mr. Jones, will you please raise
25 your right hand and be sworn, please?

1 WILLIAM V. JONES

2 after having been first duly sworn under oath,
3 was questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MS. MACQUESTEN:

6 Q. Would you please state your name for the record?

7 A. William V. Jones.

8 Q. And where are you employed?

9 A. New Mexico Oil Conservation Division, Santa Fe
10 Office, Engineering Bureau.

11 Q. What is your title there?

12 A. Engineer, petroleum engineer.

13 Q. Could you describe your current job duties?

14 A. My current job duties are evaluating exceptions
15 to administrative rules of the Division, and also I serve as a
16 hearing officer and evaluate exceptions that are processed
17 through hearing.

18 Q. What are your undergraduate degrees?

19 A. Geological engineering and a degree in civil
20 engineering and an IT degree.

21 Q. Are you a registered professional petroleum
22 engineer?

23 A. Yes.

24 Q. How long have you been?

25 A. For about 20 years now.

1 Q. Have you testified before the Oil Conservation
2 Division in other cases?

3 A. I have.

4 Q. Were you accepted as an expert in petroleum
5 engineering?

6 A. Yes.

7 MS. MACQUESTEN: I offer Mr. Jones as an expert in
8 petroleum engineering.

9 CHAIRMAN FESMIRE: Any objections?

10 MR. HALL: No objections.

11 MS. FOSTER: No objections.

12 CHAIRMAN FESMIRE: Mr. Jones' credentials are so
13 accepted.

14 Q. (By Ms. MacQuesten): Mr. Jones, what will your
15 testimony be covering today?

16 A. Today I'll be talking about 39.9's portion that
17 talks about the drilling and mud logging program that is part
18 of the plan of exploration of development.

19 And on Section 10, I'm specifically going to talk
20 about the logs to determine porosity and water saturation and
21 the mud logging and the cementing casing and cementing and
22 cement bond logs and also the change in requirements for the
23 temporary abandonment status.

24 Q. Is it fair to say that you'll be addressing the
25 downhole issues affected by the proposed change?

1 A. Yes, from the surface down.

2 Q. Did I ask you to prepare written testimony
3 addressing the provisions that you just described?

4 A. You did.

5 Q. And is that testimony OCD Exhibit 3?

6 A. Yes.

7 Q. In your written testimony, do you address each
8 provision one by one?

9 A. I do.

10 Q. I'd like to do something a little different for
11 your verbal testimony today. Do you have a PowerPoint for us
12 to illustrate the drilling process?

13 A. I do. We wanted to just briefly go over the
14 drilling process primarily for those -- to show how we're going
15 to -- the rules will be modified in the Galisteo Basin to
16 ensure protection of potable waters and fresh waters and also
17 just go over drilling the wells so we show how waters are
18 protected and waste is prevented.

19 Q. Okay. Is that PowerPoint Exhibit 42?

20 A. It is.

21 Q. How was this PowerPoint created?

22 A. It was created with some freeware. I think
23 Schlumberger had some freeware on their website, and we just
24 used this to create this well bore diagram.

25 Q. Okay. I'd like you to use that PowerPoint to

1 walk us through the drilling process, particularly to address
2 logging and cementing issues.

3 A. Okay.

4 Q. Let's start with the first slide that's up on the
5 screen right now. Can you orient us? What is this showing us?

6 A. Okay. The first slide that you see on the screen
7 is -- basically, all that's showing is -- the reason it's
8 scrunched up in the top part is we wanted to have the whole
9 well shown on the one 8 1/2-by-11 pseudo slide here. And the
10 first slide shows the drilling of the surface hole to cover all
11 potable water that exists in the well.

12 Q. Mr. Jones, if you could use the laser pointer,
13 can you show us -- where is this surface on this slide?

14 A. Okay. The surface on all these slides is going
15 to be at the top of anything that's shown on the slide.

16 Q. Okay. And this is a cross section?

17 A. This is -- yeah. It's a side view of the well as
18 if you're sitting back away from the well.

19 Q. Okay. What depth are you trying to show with
20 this?

21 A. Okay. This was modeled after the Black Ferrell
22 No. 1, which is the only current producing well in the Galisteo
23 Basin. And that's the reason we made this go down to 365 feet.
24 This is drilling a 12 inch to 365 feet. The scale on here --
25 it's important to visualize the scale -- 12 inches is about

1 this big around. And 365 feet is longer than a football
2 stadium. So the scale is grossly different on the X and Y
3 coordinates here. But I just wanted to let everybody know that
4 this is definitely -- this is the surface hole, and it's
5 drilled longer than a football stadium in depth.

6 Q. Stadium?

7 A. A football field. Actually, a little bit longer
8 than a football field.

9 CHAIRMAN FESMIRE: Mr. Jones, can I interrupt you
10 just a second?

11 I need to point out that there are two hearings going
12 on today. This one is the Oil Conservation Commission hearing.
13 There's an Oil Conservation Division hearing occurring on the
14 third floor. So if you're in the wrong place, you might want
15 to go to the third floor.

16 I just need to make that clear. I'm sorry,
17 Mr. Jones, continue please.

18 THE WITNESS: Okay. Well, this is the first slide,
19 and all it shows is drilling the well. The shaped portions on
20 the right just intend to show that this is just a hole in the
21 ground is all it is.

22 Q. (By Ms. MacQuesten): Mr. Jones, you mentioned
23 that in drilling this surface hole the goal was to cover
24 potable water?

25 A. Yes.

1 Q. What if an operator doesn't know where the
2 potable water is?

3 A. The operator works with the Oil Conservation
4 Division to determine where to set the depth of the surface
5 casing to cover all potable waters. And the OCD personnel and
6 the operator work with the local water well drillers to try to
7 determine as best they can where to stop drilling the surface
8 hole.

9 The surface hole depth and the surface hole casing
10 are the most critical portions of protecting the fresh water.
11 This is not really any different than drilling a fresh water
12 well, what we're talking about right now. So you saw from the
13 State Engineer's testimony the numerous fresh water wells all
14 over the Galisteo Basin. Well, this would be real similar to
15 those, what we're talking about here.

16 Q. How are wells drilled? Could you describe
17 the difference between --

18 A. Well, this would probably be drilled with rotary
19 drilling methods. You could possibly drill the surface hole
20 with air drilling, but it depends on how they get a contract
21 for the rig and what's feasible as far as how much water you're
22 going to hit.

23 Q. Could you describe the difference between air
24 drilling and mud drilling?

25 A. Air drilling uses an impact hammer and

1 compressors that are used to drive the bit to pulverize the
2 cuttings and blow them out of the hole in the annulus, and it
3 typically makes a hole really fast. You can drill some areas
4 of the country really fast with air drilling.

5 But the limitations are usually if you hit too much
6 water or you start deviating or if you ever lose that air
7 hammer in the hole, well, you've lost your hole totally. So it
8 is pretty -- some people don't want to rig up the compressors
9 or they expect to have too much water.

10 Q. And could you describe mud drilling?

11 A. The other way that's normally used to drill is
12 rotary drilling, in which case that in the Galisteo Basin would
13 be -- and in almost any portion of the Rocky Mountains would
14 be -- a fresh water based mud drilling, which is basically a
15 liquid that's thickened up with some thickeners to -- either
16 bentonite or just using the velocity to pump down the center of
17 the drill pipe with big hydraulic pumps. It goes out ports
18 through the bit, and the bit is typically a tricone bit, and
19 those cones turn on the bottom of the hole as you're turning to
20 the right. The water shoots out the jets in the bottom through
21 those cones, and it keeps the cones clean.

22 And it also provides velocity and viscosity to lift
23 the cuttings to the surface on the backside between the drill
24 pipe and the drill collars and the hole. And those cuttings go
25 out into -- in the Galisteo Basin, they would go out into a

1 closed-loop of pits.

2 Q. Under the proposed rules, is there a mud logger
3 on site during the drilling?

4 A. This is the proposed rules to have a mud logger
5 from the surface on down to the total depth of this well.

6 Q. What does a mud logger do?

7 A. A mud logger keeps track of the drilling
8 penetration rate. He typically -- he or she -- plots that up
9 every day for the contractor that's drilling the well or the
10 person that's paying for the well, or the Oil Conservation
11 Division would look at the mud logs in this case.

12 But it's not just the drilling time. They keep
13 track -- they write down the mud properties on the log itself.
14 They describe the cuttings -- which typically you have a
15 geologist or a geologist in training that does this. On air
16 drilling, they can divert a little bit of the blow-by to grab
17 some cuttings and not get sand blasted out of this and describe
18 them.

19 And on rotary drilling, you just get samples,
20 intermittent samples, and time the samples as the time that
21 they're going to get from the bottom to the surface, so you
22 know exactly where those samples were collected as far as depth
23 goes, and plot the description of the samples on the log
24 itself.

25 And also you have a hot wire or chromatograph --

1 actually, you try to measure the gas. You sense the gas and
2 some of the hydrocarbons that are coming from the well, and you
3 plot those on the log also. So you plot numerous things on the
4 log. It's a real view of what's happening as you're drilling
5 the well as opposed to an induced view that electric logs give
6 you.

7 Q. What information do you get from that mud log?
8 What is it used for?

9 A. It's -- for waste issues, what you use mud logs
10 for, typically operators have mud loggers go on over the area
11 that they're interested in so that they can -- they can look
12 for hydrocarbon shows and also lithology to see if they're in
13 the sands they're looking for.

14 Q. So typically do they mud log at this depth?

15 A. No, they don't, because they're not interested in
16 this depth. All they're interested in this depth for is to
17 protect fresh water. But they're not interested in
18 hydrocarbons at this shallow depth. So they typically don't
19 have a mud logger on site until later on in the drilling of the
20 well, because the mud logger costs some money.

21 But as far as putting the mud logger on at this depth
22 in the well, the value to that would be to plot the drill times
23 and also plot the lithology as you -- as the mud logger
24 actually sees it as you're drilling. So you can see the water
25 sands, and they wouldn't see probably anything else. But they

1 would also put on there the mud properties used to drill the
2 surface hole.

3 Q. You were present for the testimony of
4 Mr. Morrison from the Office of the State Engineer?

5 A. Yes.

6 Q. And did you hear him describe the complex geology
7 in the Galisteo Basin?

8 A. I did, and I've looked at that a little bit
9 myself.

10 Q. How useful is it to have mud logging at the
11 surface in an area where you may not know much about the water?

12 A. In a complex area, a lot of faulting and
13 anticlines, inclines and formations that might be compressed,
14 the mud loggers over more of the hole is typically used in
15 wildcat type drilling like this where almost -- you move too
16 far from a well and then you're going to -- in the Galisteo
17 Basin -- you're going to be in a wildcat situation again.

18 So mud loggers would typically be used over more of
19 the depth of the well in a wildcat situation, and the Galisteo
20 Basin definitely is still a wildcat situation.

21 Q. Okay. Now, the rule also calls for logs showing
22 porosity and water saturation.

23 A. Yes.

24 Q. Is that something that would be done at this
25 stage, or could it be done?

1 A. Yes. This would be the default requirement for a
2 well unless the operator obviously got an exception to that, if
3 they could show reason for an exception.

4 But what that's in there for is to determine
5 through -- to back up what the mud logger shows or the mud
6 logger don't even see through induced measurement. Either
7 natural or artificial radiation or resistivity of the
8 formations, you can do porosity and water saturations.

9 Q. So is that also useful in detecting water?

10 A. Yes, it definitely is. Unfortunately, in most
11 cases, when you drill an oil well, you get water -- or too much
12 water over the zone of interest. I don't necessarily think in
13 the Galisteo Basin they're going to get a lot of water, but
14 it's possible. We want them to look for it.

15 Q. Now, do the rules specify when the logs for
16 porosity and water saturation have to be made? Do they have to
17 be made before the hole is cased or can they --

18 A. No. Because an issue in the surface hole
19 typically is to get your casing in the hole as soon as
20 possible. And the logs are continually evolving to be more
21 diagnostic and more capable. And we recognize that you can log
22 through casing in a lot of cases now and to actually determine
23 porosity much more accurately than you used to. And for water
24 saturation, you can actually look for -- it's less easy to look
25 for that through a cased hole, but you can do that also.

1 Q. So although the rule doesn't specify cased hole
2 or uncased hole logging, does the OCD have a preference?

3 A. The preference would be open hole logging, of
4 course, because you don't have the casing and the cement to log
5 through to get to the reservoir when you're trying to look at
6 the reservoir properties.

7 Q. Okay. How much time would it take to drill to
8 this depth?

9 A. It's real fast. Typically probably in one day
10 they could get this drilled -- or less than a day -- drilled
11 and completed; drilled, cased and completed. In Santa Fe
12 County, there's an 18-hour wait time for cement. So it would
13 be -- I'm sure you could get it done probably all in two days,
14 even after waiting on cement.

15 Q. Okay. Let's get to the casing and cementing.
16 Could we go to slide 2?

17 A. Okay, slide 2 just shows putting steel casing in
18 the hole.

19 Q. What does the steel casing do?

20 A. Steel casing just provide a nice -- it provides
21 competence for the well. Because what we showed in the last
22 slide and what you can see also in this slide is the hole, and
23 it's really not a smooth hole. It's going to be a lot of
24 washouts and viscosity. That's the way it is when you drill a
25 fresh water well or you drill the surface pipe of an oil well.

1 So what you do is you put -- in oil wells, unlike a
2 lot of fresh water wells, you put steel casing in the surface
3 pipe. So steel casing provides also support strength for
4 your -- the rest of your -- the next hole that you drill out.
5 And it also provides internal strength and external collapse
6 strength. So first strength, collapse strength, strength for
7 the shoe. Typically they call the shoe the bottom of the
8 well -- the bottom of the casing is called the shoe.

9 But the shoe has to be strong enough to prevent
10 anything that happens below that. And fortunately -- or
11 unfortunately, I should say -- in New Mexico, most of the
12 reservoirs are blown down and pressured so much that -- or they
13 just don't have the natural pressure to -- if it wasn't for the
14 protection of fresh water, you might not even have to have --

15 Q. Let's go to slide 3.

16 A. Slide 3 just shows the cement that's placed
17 between the casing and the hole. The cement is impermeable to
18 water, and it's basically just -- you can picture Portland
19 cement that you use for your driveway but without the aggregate
20 in it. And you've also -- you've got some other things in it.
21 But it sets up pretty fast. It's pumped in a liquid form, or a
22 pseudo-liquid form.

23 Q. Where is it pumped?

24 A. It's pumped down the top of the well. We need to
25 keep remembering that this is a football field in length here

1 and 12 inches in width, so the slide you're looking at is not
2 really representative of the scale of the well.

3 But they have a service company hook up -- or a
4 cementing company hook up valves to the casing, which is this
5 right here. And here's the casing. You hook up valves to the
6 casing, and you pump the slurry of cement down, down all the
7 way down the well, and it turns the corner when it hits the
8 bottom of the hole, and it goes back up the annulus.

9 And when they see it on the surface or when they
10 finish their amount of cement that they ordered out there,
11 well, they quit pumping. Well, what they do is they put a
12 wiper plug, like a plastic or ceramic wiper plug, after the
13 cement, and they pump the cement down with water all the way to
14 the bottom until the wiper plug hits the bottom shoe which has
15 a little collar in it and that stops the wiper plug and that,
16 and they hold pressure on the internal side.

17 Because the weight of the water on the inside is, you
18 know, 8.3 pounds per gallon as water is, and the cement would
19 be like twice that. So you have to hold pressure on it until
20 the cement sets up.

21 Q. Now, the rules mention cement bond logs. What
22 are those?

23 A. Cement bond logs are continuously evolving. The
24 primitive ones came out many, many years ago, and they're
25 typically used in the oil patch to look through the casing and

1 evaluate the cement to see if it's adhered to the casing --
2 first of all, to see what the top of the cement is. And also
3 to see whether it adheres to the casing and it adheres to the
4 open hole.

5 Nowadays cement bond logs are so much more advanced.
6 They can -- it obviously depends on what you want to pay, like
7 anything else, but you can evaluate the type of cement through
8 them also.

9 Q. Why is it important to know whether the cement is
10 circulated to the surface?

11 A. Well, again, the surface hole -- like drilling
12 all those water wells in the Galisteo Basin -- you put the
13 water at risk when you drill a hole through it. So these
14 surface holes on oil wells are cased with steel casing, and
15 they're cemented, rigorously cemented, and we want to verify
16 that that cement is there in place for fresh water.

17 Q. Now, under the proposed rules, when are cement
18 bond logs run?

19 A. They're run after every casing.

20 Q. Let's go to slide 4.

21 A. Okay. Slide 4 just shows drilling the next step
22 of the hole down to -- in this depth -- 1800 feet, which is
23 approximately the depth of what we call the intermediate hole,
24 intermediate casing, will be set at that depth in the Black
25 Ferrell No. 1. And in this case, it's 8 5/8-inch casing, so --

1 for instance, it's about this big in diameter. And 1800 feet
2 is a -- you know, that's a long ways down there.

3 Q. Under the proposed rules would mud logs be run?

4 A. Yes, mud logs would be run. When they drill out
5 to surface shoe, a mud logger would be on location, and they
6 would record the cuttings, any shows, and describe the
7 lithology and the drill time and have that available. Nowadays
8 they have that available in electronic format, and it can be
9 transmitted to the geologist for the engineer for the oil
10 company typically in Houston or Tulsa or someplace so it can be
11 transmitted anywhere. And the mud logger would be on location
12 to describe everything all the way down to the bottom.

13 Q. And then if the operator was doing open hole logs
14 with the porosity and saturation logs, they would be run at
15 this time?

16 A. After you get to the total depth, then you
17 pull -- and you got your hole in good shape -- well, you pull
18 the drill pipe out and run the logs as soon as you can and make
19 sure the hole is staying in shape.

20 Q. Move to slide 5, please?

21 A. Slide 5 just shows the drill -- instant
22 intermediate steel casing that's put over -- all the way to the
23 depth of well from the surface. Again, the surface is right
24 here.

25 Q. Could we move to slide 6?

1 A. Slide 6 is a combination. It shows the cementing
2 of the intermediate pipe at that time. Another cement bond log
3 would be run, and it shows the drilling from the intermediate
4 casing shoe all the way to what we assume, in this case, would
5 be total depth of the well, and that's all it shows.

6 Q. Okay. And what would happen if the casing, the
7 logs -- the mud logs and the saturation porosity logs --
8 detected water in this second stage? What would the operator
9 have to do under the proposed rules?

10 A. Well, the proposed rules say that all fresh water
11 has to be covered with the two strings of casing, steel casing,
12 and cement.

13 The most important -- to protect fresh water, the
14 first casing string and a good cement job is what you really
15 need to protect fresh water from the external forces or the
16 internal corrosion. We put in the requirement that another
17 cement sheet or another casing string and cement be used in
18 order to ensure that internal mechanical integrity -- in other
19 words, the internal corrosion that might happen in future years
20 if these wells are sitting there for 30 years. You would have
21 another string, another factor of safety there to prevent
22 internal corrosion.

23 And in practice, when you think about it, most
24 waters -- even most fresh waters, most potable water and even
25 most fresh water -- is closest to the surface, and you heard

1 that earlier in the State Engineer's testimony. And what
2 happens is, in practice, you have two strings -- at least two
3 strings of steel casing -- and at least one cement sheet across
4 the fresh water.

5 Now, if you circulate cement on the intermediate
6 casing, you would automatically cover -- you would have two
7 cement sheets also across it. So in, practice, this is done
8 pretty much already, but the reason we were even more careful
9 in the wildcat areas like the Galisteo Basin, is -- and we
10 wanted to make a special rule in this case to cover that -- to
11 make sure if you did detect some fresh waters, waters that are
12 protectable, less than 10,000 TDS, that they would be covered.

13 So what you would have to do is -- well, you're going
14 to drill this well on down to total depth and run another
15 casing string anyway -- so you have to keep that in mind -- but
16 the requirement is to have two casing strings and two cement
17 sheets across the fresh water.

18 Q. Let's move to the next slide.

19 A. The next slide just shows running your third
20 string of casing all the way to the bottom of the hole. As you
21 can see, if all your protectable waters -- and most
22 importantly, your potable water -- is from 365 feet up, well
23 then you've got three strings of steel casing that's protecting
24 it from anything that happens down, in this case, 2870 feet.

25 Q. Let's move to the next slide.

1 A. This just shows the cementing of that final
2 string of casing.

3 Q. Now, according to the proposed Section 10, does
4 the cement have to be circulated to the surface on the smallest
5 diameter casing string?

6 A. Yes -- no, no, not on the smallest diameter. On
7 the smallest diameter, we have the requirement that we just
8 talked about earlier. But that being said, if that requirement
9 is already covered -- in other words, you're covering your
10 fresh water with two strings of casing, two cement sheets, we
11 just require them to bring cement up into the intermediate
12 casing on the bottom.

13 We show, in this case, it going all the way to the
14 surface because that's what most people will do, we found. But
15 in order to prevent overpressuring of formation down here with
16 a huge cement weight, you know, we wanted to ensure that all
17 casing, all steel casing, is covered by cement to prevent
18 external corrosion, and we've seen that that definitely needs
19 to be done. And our current practice in the San Juan Basin,
20 which is the closest analogous basin to this, is that pretty
21 much to make sure that all casing strings are covered with
22 cement.

23 But our rules don't require that. Our rules, as
24 they're currently written for the whole State, don't require
25 that cement be -- on the final string casing, it requires

1 cement 300 feet over the producing interval and, on the
2 intermediate pipe, it requires it 500 feet over the bottom of
3 the hole.

4 But our people in our district offices watch this
5 constantly, and in practice -- our practice for many, many
6 years has been admittedly in some cases a bit erratic, but in
7 most cases, we have a geologist in our district offices that is
8 experienced, and they watch this real closely.

9 And, obviously, if it's a BLM well, they have their
10 people watching it, too.

11 Q. Let's go to slide 9.

12 A. Slide 9 just shows once you got your well drilled
13 and your fresh water all protected, then you perforate your
14 casing so that you can let the higher pressure formation
15 fluids, hopefully some hydrocarbons, into the well so they can
16 be in contact with low pressure in the internal portion of the
17 well.

18 Q. We received a number of comments on fracing. Can
19 you tell us what that is?

20 A. Well, just perforating that hole -- they use a
21 shape charge to perforate through that steel casing, and it
22 goes through the cement also -- at least that's what the
23 service company will tell you -- but in actuality, you always
24 have to open up those perforations.

25 Those perforations are 3/8 to 1/2 inch in diameter,

1 so they are little, tiny little holes in that pipe down at that
2 depth. And then you got cement behind it, and then you got
3 maybe some invasion -- a little bit of invasion of mud -- not
4 much if you have a good mud program, but you might have a
5 little bit. And you need to clean that up, and you need to
6 open those perforations.

7 And that's why the oil companies always -- almost
8 always -- in the United States have to open those perforations
9 with some high pressure pumping of either some hydrochloric
10 acid or some type of acid. And then they come in -- the acid
11 gets spent and it dissipates, or they swab it back into a tank.
12 And then you have to hook up -- in sandstones, you almost have
13 to do hydraulic fracturing.

14 And what that's designed to do is just open up those
15 perforations a little bit further out with an
16 artificially-induced fracture that will be approximately a
17 1/4-inch at the maximum in width. So you're not talking about
18 much of a fracture. But you try to pack that fracture with
19 sand.

20 At this depth, you can use regular river sand to pack
21 that -- especially close to the well itself you need it packed
22 with sand -- and that sand has lots of porosity and
23 permeability around it. So the higher pressures in the
24 formation make their way through that high permeability
25 fracture into the well, and it's opened up to the hydrocarbons.

1 Sometimes they use nitrogen with their fracturing.
2 Fracturing has evolved over the years into extremely high
3 technology. The Black Farrell No. 1 was fractured twice with
4 energized fractures, which is nitrogen in the fracture. It
5 cuts down on the volume of water that you need to pump by about
6 two thirds, so you end up with a lot less water going into your
7 formation and gel that has to carry that sand, so it's easier
8 to clean up. The nitrogen provides some energy to bring back
9 these low pressure formations. I'm sure they wish they would
10 have gotten some here, but they obviously didn't.

11 Q. What happens to the fluids that are used in
12 fracturing?

13 A. The gels are broken by temperature and formation.
14 There's usually two types of breaker, the gels, that carry the
15 sand that go into the frac job. They carry the sand in, and
16 then they break. It's usually gar gum, the same stuff that's
17 put in ice cream. It comes from India. But there is other
18 additives, but they're a lot more minor than that.

19 But the gum or the gel is broken with temperature in
20 the formation. Because as you can realize, that well is
21 probably 110 degrees down there or more, depending on where
22 you're drilling. If you're drilling close to an igneous place,
23 it would be a lot more. But that would break the gel. And
24 then there's some chemical breakers that you can put in there
25 also in low temperature formations that you don't think that

1 you're gel is going to break.

2 So basically all the frac fluid is dissipated in the
3 formation and the stuff that comes back is -- comes back with
4 the flow of the natural flow of the well -- and it's routed
5 into the frac tanks, in this case.

6 Q. So are the frac fluids left in the hole, or do
7 they come out?

8 A. You hope they come out, if you've got a good
9 well. But, obviously, a lot of them stay down there and just
10 kind of dissipate.

11 Q. Those that do come out of the hole, what happens
12 to those fluids?

13 A. They go -- our Pit Rule takes care of that. I'm
14 not as -- your next witness can talk more about that. But they
15 are not allowed to escape onto the ground so that they can
16 possibly endanger anything. They're going to be going into
17 steel tanks.

18 Q. If a closed-loop system is used?

19 A. If a closed-loop system is used. And that is
20 proposed in this case. And the new Pit Rules have dramatically
21 changed what probably people in the Galisteo Basin have seen in
22 the past on drilling out there. It's not the same as what
23 would happen as of the latest rule on controlling surface pits.

24 Q. If the Pit Rule survives?

25 A. If the Pit Rule survives.

1 Q. Can you turn to the next slide?

2 A. The next slide shows running steel casing down to
3 the perforations. We obviously -- the Chairman of the
4 Commission would catch me on this -- this steel casing has got
5 to go all -- or the steel tubing has got to go below the
6 perforations.

7 That's the first rule in production engineering is
8 you put the tubing below the perforations so that you can break
9 the gas out of the annulus, and it will let the liquids -- the
10 water and the oil that comes in -- go up the tubing through the
11 pumping system.

12 Q. Where does the oil go, and where does the gas go?

13 A. The oil and the water go up the tubing. The
14 natural gas that you burn, most people burn in their fire --
15 that heats their food -- goes up the backside a bit.

16 Q. I'd like to ask you about some of the conditions
17 imposed by proposed Section 10. First, the requirement that an
18 operator run logs from the total depth to the surface that will
19 determine porosity and water saturation. Do our current rules
20 require this?

21 A. No. The current rules don't require logs at all.
22 Obviously, most oil companies are not going to drill, in this
23 case, probably a \$2 million hole and not run electric logs or
24 even mud logs over the bottom portion of it to determine the
25 productivity of the well. But our rules do require electric

1 logs to be turned in to the Commission or the Division.

2 Q. So if they run electric logs, they have to turn
3 them in, but there is no requirement that they run them at all?

4 A. No, there's no requirement.

5 Q. Why do the proposed rules require the operator to
6 run logs from total depth to surface on porosity and water
7 saturation?

8 A. That's to prevent waste of hydrocarbons that
9 might be behind pipe. The geologists are not always as smart
10 as they think they are, and there's sometimes things -- Glenn
11 is going to get mad at me for saying this -- but sometimes
12 there's things up the hole a little bit that could be produced
13 that they didn't even anticipate. And if you don't run your
14 electric logs over the upper portion of the hole, sometimes you
15 miss that.

16 And the second reason, instead of just preventing
17 waste of hydrocarbons, is to determine -- to back up what the
18 mud logs showed -- and they used the mud log to fine-tune the
19 interpretation of the electric logs -- but it's to -- the
20 electric logs are run over the upper portion of the hole as a
21 requirement in this case to look for potential high volume
22 water sands that once in a while is discovered around the State
23 at considerable depth and also to look for the water saturation
24 in those sands.

25 Q. Another requirement in Section 10 is that the

1 operator have a mud logger on site from surface to total depth
2 and that the operator submit mud logs and a written report
3 daily. Do our current rules require this?

4 A. No, the current rules don't require mud logs at
5 all.

6 Q. At any depth?

7 A. At any depth.

8 Q. Why do the proposed rules require it?

9 A. The proposed rules require mud logs from surface
10 to TD to look for high porosity water-bearing sands and also to
11 look for any hydrocarbon shows.

12 Q. Another requirement in the proposed Section 10 is
13 that the operator isolate all fresh water zones and aquifers
14 with at least two cemented casing strings. Do our current
15 rules require this?

16 A. The current rules don't require cemented casing
17 strings.

18 Q. What is the common practice, though?

19 A. The common practice is to have at least two
20 strings of casing over potable waters and at least the outside
21 of them has to be submitted. And that's what our current rules
22 require.

23 Q. Why do the proposed rules require isolating all
24 fresh water zones with at least two cemented casing strings?

25 A. Just to provide an extra level of -- I don't

1 know. To provide an extra level, a factor of safety, for
2 internal corrosion as may have been experienced on the Black
3 Ferrell No. 1.

4 Q. Okay. Another requirement is that the cement be
5 circulated to the surface on all casing strings except for the
6 smallest diameter. We talked about that earlier. Do our
7 current rules require cement circulated to surface in this
8 manner?

9 A. No, they don't.

10 Q. Why do the proposed rules require it?

11 A. We're trying to protect the casing from external
12 corrosion. That's the -- because the casing is your primary
13 defense for migration of fluids from one formation to another.
14 And our rules -- if you'll look at our rules -- they do address
15 that migration of fluids is prohibited. But it doesn't require
16 cement to be put over about 300 feet over the producing
17 interval of the production string or 500 feet over the bottom
18 of the intermediate string.

19 But it does say that formation commingling of fluids
20 through the backside of a well is to be prohibited, minimized.
21 That's been recognized for many years.

22 Q. So the current rule states the goal to be
23 achieved but they don't say how to meet that goal?

24 A. Yes. Our current rules, to their credit, are
25 extremely flexible, and it allows for experienced regulators

1 and experienced oil companies and, you know -- oil companies
2 that are looking out for the long term -- to take care of
3 business.

4 Q. In the special rules that are proposed, the OCD
5 is saying this is the default provision unless the operator can
6 show another way of doing it?

7 A. Yes. And that would be shown -- yes, that's
8 exactly it.

9 Q. Another requirement is that the operator run
10 cement bond logs after each casing string is cemented. Do our
11 current rules require this?

12 A. No. They require -- no, they don't. In
13 practice, our districts require either a temperature survey or
14 a cement bond log if cement is not circulated, but they
15 don't -- it's not in our rules.

16 Q. Why do the proposed rules require it?

17 A. Well, in some cases you can have -- the proposed
18 rules require cement bond logs to evaluate the cement
19 competence and the top of the cement and top of the bond over
20 the whole length of hole.

21 And for some reason, there's -- sometimes you have a
22 slump back. When you cement a well, you'll have circulation at
23 the surface, but you shut everything in and some high pressure
24 faulted zone or some faulted zone that is high porosity
25 permeability will suck that cement back down into it through

1 slumping. And you don't know that unless you run some kind of
2 survey to see the top of cement.

3 And we require, in this case, cement bond logs so
4 that we can actually identify where those zones have higher
5 permeability and porosity are, because you can actually kind of
6 see those on the bond logs. It's an inference also of higher
7 porosity, higher permeability, because you can always see your
8 bond is -- changes in the different types of lithology, so
9 you -- it would also help identify possible fracture zones or
10 even possible zones that could be amenable to yielding higher
11 volumes of water.

12 Q. There's one condition in Section 10 that we
13 haven't talked about yet, and it's in numbered paragraph 8. It
14 has to do with putting a well on approved temporary abandonment
15 status on a well that requires a gas pipeline connection.

16 A. Yes.

17 Q. In your written testimony, you asked to modify
18 that condition. Can you tell us what modification you want and
19 why?

20 A. Yes. The modification addition -- the reason we
21 are asking the Commission to look at that and decide if they
22 want to do that is our current rules require a demonstration of
23 internal mechanical integrity before a well is temporarily
24 abandoned. And there's several methods that our current rule
25 allow to demonstrate this internal mechanical integrity, and

1 one of those is that the well can just be sitting there waiting
2 on a pipeline, and it be drilled less than five years.

3 So that on the face of it, that might be okay, but
4 what we found in the past is that sometimes wells are left that
5 way for more than five years. And there's -- so we're just
6 asking the Commission to not allow wells to be sitting without
7 a cast-iron bridge plug or some kind of a plug over the perms
8 as a condition of temporary abandonment.

9 MS. MACQUESTEN: Is there another slide in the
10 PowerPoint, Ms. Duran-Saenz?

11 THE WITNESS: That one just shows the oil and the
12 water going up to the tubing into your sales lines. And
13 you're -- it's intended to show the white, the natural gas,
14 coming up the backside between the tubing and the casing.

15 Q. If you were to put in a cast-iron bridge plug,
16 where would it be?

17 A. What you would do is pull your tubing out going
18 with the wire line, set your cast-iron bridge plug and dump a
19 little -- right above the perforations -- dump a little cement
20 over it. And then you can go back with you're tubing in the
21 hole and hang it right over the bridge plug and just leave it
22 there.

23 But you circulate -- once you get the tubing in the
24 bottom of the hole, you circulate your annulus with
25 corrosion-inhibited fluid and just -- fluid, obviously, that

1 won't hurt your formation when it's released back into the
2 formation after the well is put back on line. But --

3 Q. Why did you want to modify the proposed rule to
4 specify the placement of a cast-iron bridge plug?

5 A. Because we discovered that the rule says that a
6 well can be qualified for temporarily abandonment, depending on
7 the district manager, the district geologist -- actually, it's
8 not the district geologist who usually does this. It's another
9 person in our districts -- but they have the leeway under our
10 current rules of allowing wells to be considered to be
11 temporarily abandoned for up to five years with just the tubing
12 in the hole.

13 But there's still -- you would have the perforations
14 open, and you would have your annulus and your tubing exposed
15 to any kind of corrosive environment, like the Black Ferrell
16 No. 1 looks like it might have been that way.

17 Q. Speaking about the Black Ferrell No. 1, did you
18 prepare a well bore diagram of the Black Ferrell No. 1?

19 A. I did.

20 Q. And is that OCD Exhibit 41.

21 A. It's OCD Exhibit 41, yes. Obviously, this was
22 not created with Schlumberger's free software. This was
23 created to show basically everything I could find in our well
24 files. The operators always have more detailed well files than
25 we do.

1 But we get our regulatory information in our well
2 files and anybody can go through them online and anybody can
3 browse through the electric logs that are available. And I
4 went through this well file and determined everything I could
5 find, and I put it on one sheet of paper.

6 This well -- the most pertinent thing to what we were
7 talking about here is when Tecton, or Tecton Energy, took over
8 this well after many years, they had trouble getting the tubing
9 out of the hole; they had trouble getting it back in. It turns
10 out that they found that their casing had a lot of problems,
11 probably internal corrosion problems. So that well had either
12 been producing intermittently or been qualified for some sort
13 of long term temporary abandonment for many years.

14 So what Tecton had to do is run another casing,
15 internal casing string, inside the 4 1/2-inch casing. And as
16 the Commission members all know, when you got 4 1/2-inch casing
17 and you have to run an internal string of casing, you don't
18 have a very big internal diameter to work with. So you end up
19 with possibly losing your well or something.

20 But the bottom line is it looks like possibly
21 internal corrosion occurred requiring another casing string.
22 So that's why we're asking for the cast-iron bridge plug to be
23 set over -- now, if the well is producing, obviously it's
24 producing. But operators are responsible for their own wells.

25 But there's another thing to be seen from this

1 picture is the reports were real sporadic about whether cement
2 was circulated or not. And sometimes -- it says it was
3 circulated, like on the intermediate pipe, but years later they
4 went and they opened up their Bradenhead valve between their
5 surface pipe and their intermediate pipe, they found some
6 fluids there. So it wasn't -- it looked like cement had
7 slumped back to a certain extent there.

8 Q. Let me ask you this: If this well were drilled
9 today under the proposed rules, would we be able to tell if
10 cement had been circulated to surface?

11 A. You would, because you would have a cement bond
12 log.

13 Q. But when you looked at the well file, there was
14 no --

15 A. No, there wasn't. Our districts typically
16 require all electric logs to be turned in. And in the San Juan
17 Basin, people are turning in voluntarily mud logs and -- well,
18 not all of them, but in a lot of cases -- well, it's not a
19 wildcat basin for one reason. But they're turning in anything
20 they do on the well, pretty much. So this cement bond log
21 would have verified that cement was at the top.

22 Q. When you went through the well file for Black
23 Ferrell No. 1, could you tell if the operator encountered fresh
24 water in drilling the well?

25 A. No. The only inference of potential protectable

1 waters that I found was done from looking at the induction
2 logs. If they did run logs all the way to 3700 feet in that
3 well. Induction logs only went up to the intermediate pipe,
4 but they were -- but from the intermediate on up, there was not
5 much log there at all.

6 Q. If they had been required to run mud logs to the
7 surface and had been required to provide porosity and water
8 saturation logs, would we have had other information on whether
9 water was encountered?

10 A. We would have had a lot more information about
11 any potential high porosity, high yielding, protectable waters,
12 yes.

13 Q. Does your written testimony, Exhibit No. 3, go
14 into each of the provisions in more detail than your testimony
15 today?

16 A. They did.

17 Q. Have you reviewed your written testimony?

18 A. Yes. Many times.

19 Q. Do you accept it today under oath?

20 A. Yes.

21 MS. MACQUESTEN: I move for the admission of Exhibit
22 No. 3, Mr. Jones' written testimony.

23 MR. HALL: No objection.

24 MS. FOSTER: No objection.

25 CHAIRMAN FESMIRE: Mr. Jones' written testimony,

1 Exhibit No. 3, will be admitted into the record.

2 [Applicant's Exhibits 3 admitted into evidence.]

3 MS. MACQUESTEN: I also move for the admission of
4 Exhibit 41, which is a hard copy of the PowerPoint presentation
5 and Exhibit 41, the well bore diagram -- actually, I may have
6 those reversed. I think 41 is the well bore diagram and 42 is
7 the hard copy of the PowerPoint presentation.

8 CHAIRMAN FESMIRE: Any objection?

9 MR. HALL: No objection.

10 CHAIRMAN FESMIRE: Ms. Foster?

11 MS. FOSTER: No objection.

12 CHAIRMAN FESMIRE: Exhibits 41 and 42 will be
13 admitted into the record.

14 [Applicant's Exhibits 41 & 42 admitted into
15 evidence.]

16 MS. MACQUESTEN: I have no more questions of
17 Mr. Jones.

18 CHAIRMAN FESMIRE: Mr. Hall?

19 CROSS-EXAMINATION

20 BY MR. HALL:

21 Q. Mr. Jones, if we could look at your Exhibit 3,
22 your affidavit, we can work through that. The way your
23 affidavit is structured, you're looking at the rule the way it
24 is currently proposed, and you start by referring to Rule 7(B)
25 and (C) about the second page of your affidavit, and we can

1 start there.

2 When you discuss Rule 7(C), you're looking at
3 requiring operators to provide daily drilling reports; is that
4 right? Which you typically see in the industry for daily
5 drilling reports?

6 A. Daily mud logging reports? Drilling reports,
7 yes. Air drilling -- let's see, in the 7(C)?

8 Q. Yes, sir.

9 A. Okay. Yeah, mud logging, daily mud logging
10 reports, which hopefully will be drilling reports.

11 Q. Okay. You want to see drilling rates and
12 information --

13 A. Yes.

14 Q. -- typically furnished by industry to inhouse
15 engineers and co-venturers in drilling of a well?

16 A. Yes, yes.

17 Q. With the full suite of information that industry
18 typically provides; is that right?

19 A. Yes.

20 Q. You also want to know about the mud parameters,
21 mud weights, chlorides, funnel viscosities, filtrate
22 properties, on a daily basis as well?

23 A. Yes.

24 Q. In addition to that, during the course of
25 drilling and after drilling, you want the full suite of logs

1 that are performed on any well drilled in the area?

2 A. Porosity and water saturation determination logs,
3 yes.

4 Q. You're not looking for the contents of frac
5 fluids or any stimulative materials like that; is that correct?

6 A. In the reports, no.

7 Q. Okay. For the well logs in the daily drilling
8 reports, you were involved in the industry for quite a few
9 years, were you not?

10 A. Yes.

11 Q. And isn't it true that a lot of the information
12 that's reflected in daily drilling reports and some of the
13 logs, some of the interpretations of those data are proprietary
14 and confidential?

15 A. Absolutely.

16 Q. Does the Division have a mechanism to protect any
17 confidential data that it might require?

18 A. The Division has the ability to keep information
19 confidential for a limited period of time. And they -- I'm --
20 that is getting over into the legal -- but as far as I'm aware,
21 we always -- if the operator requests it, we will hold electric
22 logs confidential for, I think, it's 90 days. But there is an
23 issue with confidentiality, proprietary information.

24 Q. And can operators get extensions of the 90-day
25 confidentiality provision for holding mud logs tight?

1 A. I don't think they can. And they're -- from what
2 I've heard from our geologist, I don't think they can. It's
3 just my -- that's been my experience.

4 Q. And the way the rule is currently structured in
5 Part 7(B) and 7(C) of that, the requirements for the drilling
6 program and the mud logging program as it is set out in the
7 proposed rule now, those data must be provided as part of your
8 E&D Plan?

9 A. Yes.

10 Q. That cannot be, can it? They don't exist at this
11 point.

12 A. Yes, it doesn't exist. It's the plan of
13 gathering the data that would need to be committed to in the
14 plan of exploration and development, but not the data itself.

15 Q. So what would the operator need to submit to the
16 Division so they could reach administrative completeness for
17 that portion of their E&D Plan?

18 A. They would need to submit their plan as to how
19 they're going to drill the well, what kind of method they're
20 going to be using to drill it, whether it's air drilling or mud
21 drilling or what -- whether it's going to be a fresh water mud
22 or if some kind of another type of mud is needed, what would be
23 the justification for that in 7(B). In 7(C), they would need
24 to show their plan on how they're going to gather the data to
25 prevent waste and detect fresh water through a mud logging

1 program.

2 Q. Okay. And so would it be reasonable to assume
3 you also are looking for the operator to provide you with a
4 commitment to provide you with the dailies and the well logs as
5 they become available?

6 A. Yes.

7 Q. Would that be the way to do it?

8 A. Yes.

9 Q. If you look at the same page of your affidavit
10 around line 75 through 77, what you suggest there is that
11 operators provide the same detail of information that's
12 provided to the BLM for their APDs on federal lands.

13 A. That was that Onshore Order 1, I believe it is.
14 And the BLM's APDs, as you know, are extremely detailed. And
15 they try to cover, you know, everything from archeology to
16 surface issues to downhole issues.

17 But the ones I'm most familiar with looking at are
18 the requirements that -- as you can see, in our well files,
19 they're real numerous through the drilling through the Capitan
20 Reef -- they require fresh water muds. And if an operator
21 proposes -- and they look at that in detail to see where the
22 top protectable limit is and where the bottom
23 protectable limit is.

24 I like the federal program of more comprehensive
25 regulation. But you have to realize that as a federal agency,

1 they own the minerals when this program is in effect. And I
2 think that the Onshore Order provides in some instances for
3 split estates. But it definitely looks at, you know, the
4 cultural and archaeological issues.

5 Q. Could you explain to the Commission what is
6 Onshore Order 1?

7 A. To tell you the truth, you're giving me more
8 credit than I deserve here because I'm just available -- I know
9 that it's supposed to be a pretty comprehensive order.
10 Actually, I have a copy of it right here.

11 Q. Me, too.

12 A. It covers onshore oil and gas operations, federal
13 and Indian oil and gas leases, approval of operations,
14 basically. So you've got something that covers drilling and
15 operations.

16 MR. HALL: May I approach the witness, Mr. Chairman?

17 CHAIRMAN FESMIRE: You can now.

18 MR. HALL: I don't have these marked, Mr. Chairman.
19 This is a copy of the CFR promulgated which is referred to by
20 BLM Forest Service and the industry Onshore Order 1. I think
21 it's something the agency can take administrative notice of
22 since it's been referred to.

23 It might be helpful for the Commission to have that.

24 CHAIRMAN FESMIRE: Mr. Hall, what's the source of
25 this version? Is this --

1 MR. HALL: This is from the CFR.

2 CHAIRMAN FESMIRE: It's a direct printout?

3 MR. HALL: From the Westlaw.

4 CHAIRMAN FESMIRE: From the Westlaw?

5 MR. HALL: Right.

6 Q. (By Mr. Hall): If we look through the Division's
7 well files for APDs that have been approved for BLM lands and
8 Forest Service lands, as you say, anywhere in the San Juan
9 Basin, which you say is the analogous basin to Santa Fe County,
10 anyone can see what comprises an APD that is acceptable to both
11 the Division and the Bureau of Land Management?

12 A. Yes.

13 Q. And do you envision operators in the Santa Fe
14 County and the Galisteo Basin providing you with the same types
15 and quality of data that are sufficient to support the Federal
16 3106 APDs?

17 A. I think it would be similar, and hopefully as --
18 obviously, the Oil Conservation Division doesn't -- we only
19 have, as everyone knows, certain statutes that we're allowed to
20 cover. I think one of the strengths of this proposed
21 rule-making is it requires notice.

22 It requires a plan, and it requires notice. And,
23 therefore, the other State agencies or private individuals
24 would get notice and they would -- their statutory authority
25 could come into play if they choose to do it at that time. So

1 they would get advance notice instead of seeing the rig drive
2 up the road and that kind of a thing.

3 Q. Right. So in addition to the notice aspect of
4 the rule proposed by the Division, generally what the Division
5 would like to see, as I understand it -- and tell me if this is
6 not accurate -- is a submittal which looks like what you give
7 for Onshore Order No. 1?

8 A. That's a very comprehensive submittal, and I
9 think it would be -- it would cover the -- all I can say for
10 sure is it would cover the issues that I was asked to look at
11 and testify to today. I better hold it to that.

12 Q. Okay. Is it also fair to say that the Division
13 is just on a hunt for additional data here to help the Division
14 determine the area extent of any fresh water supplies in Santa
15 Fe County?

16 A. The data is obviously a fresh water issue. But
17 it's the issue of gathering data, and it's a fine -- there's a
18 fine line between what's -- you know, there's proprietary data.
19 Obviously we're getting into a legal issue here.

20 But what I've seen, for instance, in the Williston
21 Basin and in the development of a new play up there back in the
22 '90s, is the sharing of data would dramatically help in some
23 cases prevent waste of drilling unnecessary wells and possibly
24 even hitting areas that would yield a lot more production.

25 So I have to go in favor of pushing the limits of the

1 legal limits on sharing data. If there's been 29 wells that I
2 saw in Santa Fe County, and I look through the logs -- I looked
3 through and tried to find the logs on those, and I would say
4 five or six wells have logs, electric logs, that are on our
5 system. They're not either -- I know they ran some logs, but
6 they're just not turned in.

7 That's wasted money. Somebody -- obviously, it's not
8 wasted money from the person or company that drilled it with
9 the intent of developing -- protecting their correlative rights
10 to develop what they had leases for. But then there's no -- I
11 know the geologist here would back me up, but they wish more
12 data had been gathered, you know, typically. It helps new
13 people coming in to try to -- but, obviously, there's a legal
14 issue with it.

15 Q. I've heard two numbers now about the number of
16 oil and gas exploratory wells that have been drilled in the
17 county. I've heard 32. You just said 29. Can you account for
18 the difference?

19 A. I don't know the 32. I assume there's been a
20 couple -- two or three in Sandoval County, a portion of the
21 Galisteo Basin and maybe one in San Miguel County. But I just
22 pulled Santa Fe County off our website that anybody sitting
23 here can do, and it showed 29 wells.

24 Q. You sat through the testimony the other day of
25 Mr. Morrison from the State Engineer's Office. And if you

1 could flip to his Exhibit 39, attached to that is his Figure 2,
2 which shows the population of water wells drilled in Santa Fe
3 County in the Galisteo Basin. The vintage of this data we
4 understood was 1980; do you recall hearing that?

5 A. 1980 wells?

6 Q. The year 1980.

7 A. Okay. I don't remember that.

8 Q. Okay.

9 A. I do remember him showing this slide, though.

10 Q. You have said that the Division works with water
11 well drillers to understand the location and vertical extent of
12 fresh water throughout the county. Tell us what you do.

13 A. That is -- again, that's the most critical, in my
14 mind, that surface -- the depth of your surface pipe is the
15 most critical way to protect fresh waters.

16 I know what they do in the San Juan Basin. For a
17 certain depth of well, they have a certain depth of surface
18 pipe. But the San Juan Basin is much more defined and much
19 more -- much more is known about the fresh waters there,
20 although the tertiary members there frequently have fresh
21 water, so you got to be real careful to cover the fresh water
22 intervals.

23 But what, for instance, District 4 does, I know up in
24 the Raton area, is the water -- they personally know the water
25 well driller, and the water well drillers are the ones that

1 keep the records of how deep they drill the water wells.

2 The State Engineer probably has some of those records
3 also, and I'm sure they have some requirements that the
4 Commission, I'm sure, knows more about that than I do, because
5 the Chairman used to work for the State Engineer.

6 But Mr. Morrison said that typically wells are
7 drilled -- well, to paraphrase what he said, if I'm allowed to
8 here, he said that people drill until they get enough water and
9 then they typically stop. But he mentioned something about 500
10 feet in places. I saw one -- when I looked at a well log, it
11 was around 500 feet. It looked like a fresh water zone. But I
12 didn't see -- I didn't have enough logs to look at, really.

13 Q. Okay. Well, do you utilize the data from the
14 WATERS database?

15 A. The WATERS database is used more and more, yes.
16 And people that submit information to us use that database.

17 I work in a different bureau than the ones that --
18 our district offices are the ones that determine -- and
19 typically it's the geologist in the district office, which it
20 should be. The geologist is the one that should know about
21 that -- is the one to determine where the surface pipe is to be
22 set.

23 Q. All right. Do you know other types of data and
24 from what sources that the Division's district offices are
25 finding acceptable for these purposes now?

1 A. I know that if you -- I know in hindsight, after
2 you drill a well and log it -- and if you have an induction log
3 that goes up to your existing surface pipe and then you want to
4 drill another well nearby, you can look at that, and that will
5 tell you if you see a big resistive zone, hopefully not below
6 your surface pipe. But if you did, that means you need to set
7 your surface pipe deeper on the next well.

8 Q. Okay. What is -- focusing back on Santa Fe
9 County now, what is the Division doing with all the data
10 available to it from the State Engineer's Office and from the
11 water well drillers to --

12 A. I don't know, I don't. As far as Santa Fe
13 County?

14 Q. Yes.

15 A. There's only -- if I'm correct, there's only
16 three proposed wells in Santa Fe County right now, and they've
17 submitted a lot of information. I think Tecton has submitted a
18 lot of information for those wells. But -- I say a lot.

19 I think they've submitted what they would need to do
20 if it was going to be approved in the district office, but
21 those wells are not approved yet. They're not signed off on by
22 our district manager.

23 And indeed, I think those wells have been set --
24 currently they're ordered to be sent to an Examiner or a
25 Commission hearing before they would be approved.

1 Q. Do you know if the Division is attempting to map
2 the aerial extent of fresh water aquifers in Santa Fe County
3 with the data that are available to it?

4 A. We haven't -- in the Engineering Bureau, we
5 haven't jumped on that yet, but --

6 Q. It's not listed?

7 A. It's definitely, yeah. If people are going to
8 drill wells, we definitely need to look at that. But again,
9 I'm not the one that does that. But we do -- in the
10 Engineering Bureau, we provide -- the Engineering and
11 Geological Services Bureau -- we provide support to any of the
12 districts as they ask us for.

13 Q. All right. You say that the data that you get
14 from the water well drillers that the Division works with, are
15 any of those data typically confidential?

16 A. I don't think so.

17 Q. Okay. Are the water well drillers subject to the
18 same level of regulation that oil and gas well drillers are?

19 A. I would love to answer that question.

20 Q. Go ahead.

21 MS. MACQUESTEN: If he knows, Mr. Chairman.

22 CHAIRMAN FESMIRE: I think that's apparent in any
23 question. Mr. Jones, if you don't know, you're not forced to
24 answer. But if you do know the answer, please answer.

25 THE WITNESS: I better not. I would be making an

1 assumption that I shouldn't make.

2 Q. (By Mr. Hall): Do we know how water well
3 drillers protect fresh water supplies when drilling through
4 them?

5 A. If they drill with a cable tool while they're
6 drilling through them?

7 Q. Yes.

8 A. While they're drilling through them, they
9 typically drill with low pressure, basically. No -- if it's a
10 cable tool, obviously, it would be zero pressure, but if it's
11 rotary, they drill with fresh water, just fresh water, you
12 know. Just drill with fresh water. If it's drilled to 500
13 feet, you'll to have drill with a rotary rig, probably.

14 So that would just be fresh water. I'm sure they
15 don't pay for a mud company to come out and have a
16 well-designed mud system.

17 Q. For the deeper water wells that are drilled into
18 the older waters with potentially higher TDS values, is there
19 any way to protect against those higher solids from commingling
20 with the pressure supplies up hole?

21 A. I think you've hit on something that's -- well,
22 the only way is to, after drilling, is to case it with, you
23 know, typically PVC casing or whatever water well drillers do,
24 and pour cement down the backside. So I'm not up on the water
25 well drilling like I should be, but you've really hit on it

1 because I know they drill wells north of Santa Fe here that are
2 8- or 900 feet deep, and they're good fresh waters. But I'm
3 not sure that there's any higher salinity waters that they're
4 drilling down into that -- but protection of commingling of
5 fluids is something that's been recognized by the OCD for years
6 as not a good thing.

7 CHAIRMAN FESMIRE: Mr. Hall, would that be a good
8 place to take a break?

9 MR. HALL: Yes.

10 CHAIRMAN FESMIRE: Why don't we take a ten-minute
11 break. I want to inform folks that we're going to go to 11:30
12 today, then take a two-hour lunch break until 1:30 and then
13 reconvene at 1:30 this afternoon.

14 But for the time being, we're going to take a
15 ten-minute break and reconvene at 20 till 10:00.

16 [Recess taken from 9:30 a.m. to 9:45 a.m., and
17 testimony continued as follows:]

18 CHAIRMAN FESMIRE: At this time, we will reconvene
19 Case No. 14255. I believe the record should reflect that all
20 three Commissioners are still present. We therefore still have
21 a quorum.

22 Mr. Hall, you were in the middle of your
23 cross-examination of Mr. Jones.

24 MR. HALL: Yes, sir.

25 Q. (By Mr. Hall): Mr. Jones, if you would look at

1 your affidavit on page 3. In discussing 10(B), the
2 requirements for running logs, am I correct in assuming that an
3 operator must run logs from TD to the bottom of the surface
4 casing?

5 A. The actual surface casing, the surface hole,
6 should be logged in some manner to determine the water
7 saturation, whether it's an open hole or a cased hole. And
8 then, of course, on the final logging suite, you could shut it
9 off at the bottom of the surface casing in that respect.

10 Q. Okay. And when the -- were you finished? I'm
11 sorry.

12 A. Yes.

13 Q. When you run your CBL, do you want the CBL run
14 from the bottom of the surface casing to surface as well?

15 A. Yes.

16 Q. What does that get you?

17 A. That is the -- that tells you if there's been
18 slump. It typically -- you know, of course, in a situation
19 like the Capitan area, we have typical slumping. But -- and
20 hopefully that wouldn't happen here -- but the very most
21 important way to protect potable water is to have your hole
22 drilled to the right depth, steel casing set to the depth and
23 circulated with cement. And so we have seen slumped cement
24 from surface.

25 Q. So you're interested in determining the integrity

1 of the cement job; is that right?

2 A. Yes.

3 Q. Rather than doing the science to determine the
4 extent of the fresh water zones; is that accurate?

5 A. Yes, that's accurate.

6 Q. Okay. But you want all the e-logs so you can
7 look at formation saturations and try to get a better picture
8 of fresh water?

9 A. And also whether there's a big, thick high
10 porosity down there that could yield big quantities of water.

11 Q. Okay. I understand you'd be looking at
12 porosities and saturations. Is there really any practicable
13 way for an operator to determine TDS or salinity while
14 drilling?

15 A. Indirectly, if your mud properties change while
16 you're drilling, you'll know that your formation fluids change
17 in salinity one way or the other. But while drilling the mud
18 log itself, it won't necessarily tell you if -- but it would
19 show you if you have a big, thick, nice sand there. And it
20 helps you interpret the electric logs more accurately also.

21 Q. Do you know if the same requirement will be
22 placed on water well drillers?

23 A. No. I don't know if that would happen.

24 Q. Let's look at page 4 of your affidavit. The
25 general requirement in your condition of approval of APDs is

1 that the operator should isolate all fresh water zones, and you
2 say that is to protect fresh waters.

3 A. Yes.

4 Q. And by that -- by saying that, are you attempting
5 to track the regulatory language in the Rule 7(W) (5) as a
6 regulatory objective here?

7 A. I would have to get that out and read that again.

8 Q. I think that's an exhibit, actually. If you look
9 at Exhibit 29 --

10 A. I'm sorry. Could you give it to me one more
11 time?

12 Q. It's Exhibit 29 and we're looking at Rule
13 7(W) (5). It says the Division's objective is to prevent water
14 pollution, and is this the operative regulation for that?

15 A. Actually, this would be one of them. But the --
16 I'm not sure of this one because it talks about -- yes. This
17 would be one of them, but the other one would be the rule that
18 requires no cross flow between formations. That would
19 definitely be the one I was thinking about.

20 But definitely we're trying to prevent degrading the
21 quality of the water due to oil and gas operations.

22 Q. You're referring to the rule for sealing off
23 strata?

24 A. Sealing off strata.

25 Q. None of us know the rule numbers anymore.

1 A. No.

2 Q. Sorry about that.

3 CHAIRMAN FESMIRE: What's the old rule, Mr. Hall?

4 MR. HALL: Well --

5 CHAIRMAN FESMIRE: Apparently none of us know the old
6 rules either.

7 MR. HALL: 106, closed.

8 THE WITNESS: I had it written down right here to
9 tell you the truth, but I don't have it right now.

10 CHAIRMAN FESMIRE: 106 goes to 16.0.

11 MS. MACQUESTEN: Mr. Commissioner, you might also
12 look at the Statute 70-2-12, which is Exhibit 34.

13 THE WITNESS: I would have to say that the sealing
14 off strata rule is the one that I would -- that I would refer
15 to.

16 Q. (By Mr. Hall): All right. I want to ask you a
17 little bit more about what the Division's expectations are for
18 E&D Plan submittals and your logging protocol. If an operator
19 proposes an E&D Plan, and in the course of drilling through his
20 e-logs finds that his target zone is not economic but
21 identifies the bailout zone -- a surprise zone, some other
22 interval -- is it your expectation that the operator would be
23 required to submit a new E&D Plan? How would that work?

24 A. I think the E&D Plan that is originally
25 submitted, if it's submitted with flexible enough terms, should

1 be able to cover bailout zones.

2 Q. Okay. And then -- what you envision for Rule 10
3 on temporary abandonment, you're looking for the placement of a
4 bridge plug with cement on top of that?

5 A. I'm asking -- yes. Typically people put a little
6 bit of cement over a cast-iron bridge plug, but it's easy to
7 drill out when they want to. If it's ten years until they get
8 a pipeline drilled or put into an area and they want to
9 preserve their well for -- assuming their corporation is still
10 in existence at that time -- but we would ask that the
11 Commission consider changing the temporarily abandonment
12 internal mechanical integrity condition to include this
13 cast-iron bridge plug that can be drilled out in the future.

14 Q. Would you -- would an operator have to get a new
15 closed-loop permit to drill out a bridge plug and cement like
16 that?

17 A. I would have to defer that to, hopefully, Glenn.
18 Glenn is coming after me, if you don't mind.

19 Q. One more engineering question, though. Wouldn't
20 a retrievable bridge plug be sufficient?

21 A. The trouble with some retrievable plugs is if
22 they're not drillable, then they're sitting there for many,
23 many years. And you pay rental on them anyway, and you don't
24 want to pay that for all those years. Even if you bought them
25 and if they're not drillable, then you're in trouble and you

1 might lose the well.

2 But the language that the Commission could put in
3 there would be a drillable plug, I would say.

4 Q. Okay. Mr. Jones, you participated in
5 Case No. 13269 which led to the adoption of the current
6 Rule 39, formally known as Rule 21 for Otero and Sierra
7 Counties.

8 A. Yes, sir, I did.

9 Q. Can you tell if there is more or less geologic
10 data available to us regarding Otero and Sierra Counties than
11 there is for Santa Fe County?

12 A. I -- from what you've seen, there's not Otero
13 County -- Otero County would need also a similar situation. If
14 you don't have it on a special rule or special -- you can't
15 have special pool rules, so you have a pool.

16 But special -- the special rules for Otero County
17 that I participated in were just for injection wells. Because
18 on injection wells, you're putting net pressure on your
19 formation. And the concern of the EPA and the Division is for
20 the migration of injected waste waters into any fresh,
21 potential protectable waters. So that rule, as I remember,
22 only covered saltwater disposal wells.

23 But on producing wells, you don't have any net
24 increase of pressure in those wells, so you don't have the
25 danger like you do -- you don't have the danger like you do to

1 saltwater disposal wells.

2 Q. Right. And isn't it fair to say that in the
3 course of that rule-making proceeding on Otero County that the
4 Commission was presented with substantially more geologic and
5 hydrogeologic data and testimony than we've seen so far in this
6 case?

7 A. I would say yes. My answer is yes on that.

8 Q. And also we learned a lot more about the forage,
9 the grasslands, the soils?

10 A. Yes.

11 Q. And we don't have that in this case?

12 A. We don't.

13 Q. Do you know of any other Division witnesses
14 proposed to address that?

15 A. I don't think they do.

16 Q. And Rule 39 addressed, as you say, really public
17 hearings like what is proposed here encouraged -- well,
18 mandated closed-loop drilling; is that right?

19 A. Yes.

20 Q. Abolishes the use of pits?

21 A. Yes, I think the pits are abolished. But
22 closed-loop was -- I remember that part of it.

23 Q. All right. And then the remaining focus was, as
24 you say, on the UIC protocol for injection of disposal wells?

25 A. Yes. And because Otero Mesa is primarily a BLM

1 province, and this is State and fee primarily.

2 Q. Well, there are State and fee lands within the
3 boundaries of Rule 21, correct? 39?

4 A. There is some because it is a huge area.

5 Q. Okay. And was it the Division's view that it was
6 unnecessary in that case to require the casing drilling and the
7 E&D Plan protocols for Otero Mesa than what's being proposed
8 here because the Statewide rules were adequate to protect fresh
9 water supplies, human health and the environment?

10 A. That's a pertinent question, at least as far as a
11 comparison goes between protection of different geologic
12 basins.

13 But it's not -- our districts -- the plan of
14 development that we have proposed here is to cover -- we're not
15 primarily -- we're not BLM area here, and we were -- the BLM
16 had numerous restrictions on the Otero Mesa as far as -- and
17 they have environmental impact that they have to --
18 environmental assessments, environmental impact statements --
19 that have to cover an area that is being drilled on BLM
20 acreage.

21 The Division controls saltwater disposal, even on BLM
22 acreage. So we didn't -- no, we didn't include the plan of
23 development. The short story is we didn't.

24 Q. Okay. So --

25 A. We didn't want to duplicate what they had done.

1 Q. In Otero Mesa, anyway, Statewide rules are
2 sufficient on State fee lands?

3 A. Our district geologist has a lot of leeway in --
4 and we do have the rules about migration, preventing migration
5 of fluids, and as long as we have a good district geologist
6 that looks over those APDs, and if he or she is not comfortable
7 with it, well, then, they can set it to a public hearing, and
8 we could cover it that way.

9 But the level that is being proposed here as far as
10 specificity of rules, wasn't covered there.

11 Q. Okay.

12 MR. HALL: I'll pass the witness, Mr. Chairman.

13 CHAIRMAN FESMIRE: Ms. Foster?

14 MS. FOSTER: Thank you.

15 CROSS-EXAMINATION

16 BY MS. FOSTER:

17 Q. First, Mr. Jones, I'd like to thank you for the
18 education lesson that we received on drilling a well. It was
19 extremely useful to me because I'm just a lawyer, and I'm not a
20 petroleum engineer or a hydrologist. So that was very useful.
21 Thank you. I also would like to thank you for your very short
22 and direct answers to our questions.

23 So I just wanted to clarify some things where you
24 ended up with Mr. Hall, talking about Otero Mesa. Is it your
25 testimony, then, that if a county has a lot of BLM presence in

1 that land, then, you as a geologist would feel comfortable
2 allowing the BLM rules to basically control that county's
3 operations, and therefore you don't need to have a special rule
4 for that county?

5 A. From my experience, the BLM rules are relatively
6 adequate. I've talked to our districts up in San Juan, and
7 they said that they look over the BLM requirements pretty
8 closely also.

9 But, yes, I like the BLM's comprehensive overview of
10 their regulation. As you know, the Oil Conservation Division
11 just has, you know, waste, correlative rights and protection of
12 human health and environment as part of their -- they don't
13 have cultural and archaeology. But with this we have a notice
14 that the cultural affairs people would -- they could take the
15 ball and run with it if they wanted to.

16 Q. So the notice provision that you're concerned
17 about is specifically to the Cultural Affairs Department?

18 A. That's the one I was thinking of. I'm pretty
19 focused on what we do here. But, yes, I do like the BLM's
20 requirements.

21 Q. Are you aware of any State rules that operators
22 must adhere to concerning, you know, finding cultural resources
23 or any notification that needs to be done to the SHPO prior to
24 actually getting out on State trust lands?

25 MS. MACQUESTEN: Objection. This goes beyond the

1 scope of cross-examination. He did not testify on those
2 issues.

3 CHAIRMAN FESMIRE: Sustained.

4 MS. FOSTER: Okay. Well, I'm a little confused,
5 then. This rule does talk about cultural resources. I was
6 just following up on his question -- his statement concerning
7 cultural resources.

8 CHAIRMAN FESMIRE: But I think his expertise is in
9 petroleum engineering and that's the function that he's
10 testifying to.

11 MS. FOSTER: I understand that. But he is a hearing
12 officer. I'm sure he's aware of whether notice needs to be
13 made currently as to the cultural resources. That's really
14 only the gist of my question.

15 CHAIRMAN FESMIRE: I sustained the objection.

16 MS. FOSTER: Okay.

17 Q. (By Ms. Foster): You talked about setting
18 surface casing in the first part of your demonstration there.
19 And you stated that surface casing is the same -- the process
20 is the same as for setting a fresh water well as for drilling a
21 fresh water well, right?

22 A. Very similar.

23 Q. Okay. Does the OCD require water well drillers
24 to mud log their holes?

25 A. No. We don't look after water well drillers at

1 all. They're -- somebody else does that.

2 Q. Okay. All right. Then would you know what they
3 would have to do with their drill cuttings as a result of
4 drilling a hole?

5 A. Just from personal experience, they go out on the
6 surface. That's what I hear.

7 Q. Okay. So they go out on the surface. And -- all
8 right. Are you aware of any case of water contamination due to
9 drilling water wells in the Santa Fe County area?

10 A. I'm not personally.

11 Q. All right -- do you know a way to determine water
12 quality from mud logging, the program that you --

13 A. You can run -- put an O-meter in -- that's a good
14 question. You can put an O-meter in the mud and look for
15 resistivity of the mud. And actually, Glenn might be able to
16 answer that specific question in a little more detail.

17 Q. Okay. I will ask him. Now, fresh water
18 drilling, under the definitions that we're working under here
19 with the OCD, fresh water is considered anything that is less
20 than 10,000 TDS, correct?

21 A. Yes.

22 Q. All right. And I think Mr. Hall asked you this
23 question, but I just want to follow up. If you are drilling a
24 fresh water well or the first part of your casing, and the
25 fresh water that you're using has a higher TDS than what you're

1 drilling into, is that not commingling?

2 A. That is. It is.

3 Q. And the reverse is also true? I believe Mr. Hall
4 asked you that question.

5 A. Yes.

6 Q. And do you know if water wells would have cement
7 casing and steel piping?

8 A. I think they're traditionally -- I mean, not
9 traditionally, but the -- I think the latest -- just from my
10 personal experience, I think they use PVC pipe, which is not as
11 strong as steel pipe in water wells -- and gravel packing on
12 the bottom or other some cement. But I should qualify my
13 answer that I'm not as up on that as I probably should be.

14 Q. Okay. Looking at the map of the Galisteo Basin,
15 I believe it's Exhibit 40, Figure 2. That's the map with the
16 water wells.

17 Looking at the distribution of the water wells in
18 this Galisteo Basin map, on the northeast corner, that is where
19 El Dorado is located, correct?

20 A. Yes.

21 Q. Okay. And El Dorado is a relatively new
22 community in Santa Fe County, correct?

23 A. Yes.

24 Q. Just for the record, it's Exhibit 39; Mr. Hall
25 has corrected me. Exhibit 39, Figure 2 -- but we have the

1 right thing up here.

2 CHAIRMAN FESMIRE: That is Exhibit 40.

3 MS. FOSTER: Okay. But that's the one I want him to
4 look at.

5 MR. HALL: Didn't you want this one?

6 Q. (By Ms. Foster): Concerning the El Dorado area,
7 are you aware what type of septic systems they have up there?

8 A. I am not. I don't know. Some of our people that
9 used to work in the Environment Department might be aware of
10 that, but I'm not.

11 Q. But would it be a municipal sewage facility that
12 covers that?

13 A. Those lots are pretty big, so probably -- I
14 should say I don't know.

15 Q. Okay. All right. That's fine. Well, do you
16 know for sewage and solid waste facilities, do you know if they
17 use steel casing and cement on those?

18 A. Steel pipe? No, I don't. Because it could be --
19 in the old days, it was asbestos. So I don't know what's being
20 used. This is a new community, so I don't know, to tell you
21 the truth.

22 Q. Are you familiar with the Galisteo Basin Report
23 that was submitted as Exhibit 20 in this case?

24 A. You know, I am -- I remember when this was still
25 OCD -- what I remember about it is that OCD was the lead agency

1 and other agencies submitted data, and it was all compiled
2 probably by the OCD. To tell you the truth, I haven't read it.

3 Q. Okay. All right. Then I won't ask you any
4 questions. But concerning the population growth for the
5 Galisteo Basin and Santa Fe County, are you aware of any
6 projected population growths for this area?

7 A. I think it's pretty big -- it is.

8 Q. Big in terms of the amount of population?

9 A. At least for El Dorado and the Santa Fe general
10 area, I think it's big population growth anticipated.

11 Q. Okay. Now, looking at your Exhibit 3, which is
12 your testimony, let's talk about the mud logger questions. You
13 stated in your testimony, I believe it is on line 92, that you
14 would prefer to have -- that your mud logger would be a
15 geologist.

16 A. Yes, normally.

17 Q. Normally? Would you be required minimum
18 qualifications for that mud logger? I think you testified
19 earlier it could be a geologist in training?

20 A. Yes. Those poor people, they have to sit out
21 there on the most noisy area of the rig and, you know, it's a
22 thankless job. It's basically noisy and hazardous sometimes.
23 But I don't -- as far as -- I don't like to have so specific
24 rules that they can't be more flexible to suit a situation.

25 So I don't think -- I think definitely somebody with

1 some geology training should be doing this. But they almost
2 always are anyway, because the -- if you want to get -- it's
3 kind of an interpretive log anyway, and you're paying partially
4 for the interpretation so you want somebody that knows what
5 they're doing.

6 Q. Right. But you're not going to require anything
7 like a PE stamp or anything like that?

8 A. No.

9 Q. It just has to be somebody who has the title, on
10 your location, of mud logger --

11 A. Yes.

12 Q. -- to submit those daily reports?

13 A. Yes.

14 Q. Now, in the submittal of the daily reports, those
15 would go to your geologist on staff?

16 A. They would go to the district manager who is --
17 in District 4, is a geologist -- unless we hire a geologist to
18 work underneath him. That would -- this Galisteo Basin is
19 considered part of our District 4.

20 Q. Okay. And District 4 covers what area of the
21 State?

22 A. It covers everything in the State except for
23 Hidalgo County and the southeast and the northwest. It pretty
24 much covers the northeast and the Las Vegas Basin, the Santa Fe
25 Galisteo Basin and the Catron County area.

1 Q. Okay. Now, you stated in your testimony that in
2 order to find a location to set your surface casing, that is a
3 communication that occurs between the OCD geologist and the
4 operator, right?

5 A. Yes, it is. But it's planned from the start
6 because things happen so fast. But we're hoping with the
7 addition of a mud logger on the surface pipe -- or surface
8 hole -- that that can be -- the mud logger can say, well
9 somebody -- sort of a pro can be there on location to decide
10 where the surface pipe should be set and have some flexibility
11 in it.

12 Q. Okay. So are you saying if there is a mud logger
13 on location, then there does not need to be communication with
14 the OCD in terms of where to set that surface?

15 A. No, there does, still.

16 Q. Okay. And then that leads me to my next
17 question: Your mud logger is basically interpreting data,
18 correct?

19 A. Yes.

20 Q. And the OCD geologist would be taking that data
21 and interpreting it as well?

22 A. Yes. Sometimes they don't trust the mud loggers,
23 and they'll go out there and look at their own samples.

24 Q. Okay. And what if they come up with different
25 interpretations?

1 A. The OCD would be the regulating agency there.
2 The person drilling the well is responsible for protecting that
3 potable water, but the OCD would be the regulatory agency over
4 that.

5 Q. Okay. And you said that the OCD would be in
6 charge with protecting the potable water, but this specific
7 special rule talks about the protection of fresh water.

8 A. That's a good point. But the reason I keep
9 saying "potable water" is -- to follow up on what the State
10 Engineer's witness said -- and to -- the potable water is the
11 most important useable water that's not -- you don't require
12 any cleaning up of it to drink, and it's available at a shallow
13 depth that -- and that specifically needs to be protected.

14 And we want to protect that from any oil and gas
15 drilling. And now, we are charged with protecting any waters
16 less than 10,000 TDS, also. And we're going to do that, too.

17 Q. Okay. So your existing rules for the State
18 concern protection of potable water, but this special rule
19 concerns protection of fresh water?

20 A. No. The existing rules for the State say protect
21 fresh water. We just want to make sure our rules are specific
22 enough in addition to being flexible on setting that surface
23 pipe to protect fresh water. But I want to always get back to
24 the fact that we want to protect that potable water at all
25 costs.

1 Q. Okay. Then wouldn't it be easier to change the
2 existing rules concerning setting surface casing and protection
3 of potable water to apply to the entire State instead of having
4 a special rule for Santa Fe County for their water?

5 A. I like overall State rules, myself. That's my
6 preference.

7 Q. Okay. Now, how much input do you see the OCD
8 geologist having in terms of -- you stated that they normally
9 have input on setting surface casing. Now what about the
10 intermediary casing and ultimately perfing?

11 A. Not the intermediary casing except in instances
12 where the logs show some fresh water, protectable water. Then
13 the drilling plan would have to be -- everybody would have to
14 work with each other to make sure that the well is going to
15 have two strings of pipe over fresh water.

16 Q. Okay. Which you said is the industry norm?

17 A. The industry norm is to protect potable water.

18 Q. Okay. But the two surface strings, the casings,
19 is something that -- sometimes even three casing is often used?

20 A. It's often used, yes.

21 Q. Okay. Now, I believe in your testimony you
22 stated there was concern about operators may be missing zones
23 and, therefore, causing waste?

24 A. Yes.

25 Q. Would that be the OCD geologist's call in terms

1 of where to perf?

2 A. No, no. That's the oil and gas drilling company
3 that's paying for the drilling of that well; that's their call
4 as to whether to spend the money to complete -- you know,
5 perforate and complete any one individual zone.

6 Q. Okay. But if you, as the geologist, you have the
7 e-log, you have the mud log, and you see not only fresh water
8 zones, but you see actually hydrocarbons based on your
9 interpretation of the analysis, is it possible that the OCD
10 geologist would recommend completion of location whereas a
11 business geologist might not?

12 A. Yes. But we don't have the right to tell anybody
13 where to perforate. They're the ones spending the money, and
14 they're drilling that well to get natural gas or oil and
15 associated gas, so they're the ones that are going to be doing
16 that.

17 Q. But would that not be causing waste if that
18 location is not perforated, and therefore it's a violation of
19 the Oil and Gas Act?

20 A. I believe this is a step -- requiring logs is a
21 step in the right direction as far as the move to prevent waste
22 because that particular oil company might not -- with the
23 addition of those logs and the mud log over the upper portion
24 of the hole, they might see something that they either want to
25 perforate and exploit right now or later on. That company

1 might give it up to some other company.

2 But I believe -- I don't believe waste -- I believe
3 in looking at it from the other direction.

4 Q. Okay. So leaving it in the ground would not be
5 considered waste under the Oil and Gas Act because of an
6 economic decision or whatever business decision a company might
7 have?

8 A. Business decision, yes.

9 Q. Okay. All right. Now, you stated on line 113
10 concerning Rule 10 that the proposed rules for the Galisteo
11 Basin are intended to be more specific in order to prevent
12 waste and protect the environment. And you're obviously
13 talking about Santa Fe County in this instance?

14 A. Santa Fe County, Galisteo Basin.

15 Q. Now, again wouldn't Statewide rules be preferable
16 to have -- if your intention is to prevent waste and protect
17 the environment, why is it that State rules are good for
18 everywhere else, the other 32 counties in the State, and this
19 particular county needs to have special rules?

20 A. I like the idea of a Statewide comprehensive
21 plan. I'm not -- that would be a major undertaking, and it
22 needs to be looked at. Definitely, when I went through -- what
23 I'm charged with looking at on this, what I see that should be
24 definitely looked at Statewide is our cementing coverage
25 requirements. But when I talk to our districts, the practices

1 may have covered things, but -- no pun intended -- but the
2 actual rule doesn't say that.

3 But then, if your practice is one thing and your rule
4 is another, then it just depends on who's doing the regulating
5 at the time. You might get some new person in there that might
6 not have the same interpretation as the person before them if
7 they don't have a rule. So the cement coverage requirements
8 would be a good thing to consider over the rest of the State.

9 Requirements of logs -- you know, we're getting into
10 just me personally, what I would think of for the rest of the
11 State, but I think somebody made the decision to stop and just
12 do this first here and then maybe see about the rest. And I
13 have no idea who made that decision. Honestly, I don't.

14 Q. Okay. That's fine. You stated in your direct
15 examination -- in fact, before I go to this next question:

16 In fact, Rule 14 does allow the Division to impose
17 additional conditions on drilling, correct? If there is --

18 A. Yes.

19 Q. Okay. And so currently under current rules, the
20 OCD staff whether it's the district office or here in Santa Fe,
21 you do have discretion?

22 A. There's a lot of nice flexibility there.
23 Basically, it says they fill out the form C-101 and C-102 and
24 then whatever other rules or other conditions, and that's what
25 it says.

1 Q. Right. So you could impose conditions very
2 similar -- I think what you said, like with Federal Onshore
3 Order No. 1 conditions, for example?

4 A. Which No. 1 condition?

5 Q. The Federal Onshore Order No. 1 condition?

6 A. We could go to a certain extent toward that, but
7 it would depend on the legal statutory coverage that we would
8 have.

9 Q. Right. And the OCD does not have jurisdiction
10 over cultural resources like we talked about earlier?

11 A. They don't.

12 Q. Okay. Now, when a geologist makes a decision
13 concerning a drilling program -- again, there's interpretation,
14 correct?

15 A. Yes.

16 Q. And I believe that you stated that new
17 technologies now render more available information and better
18 information and, therefore, better interpretations?

19 A. Yes.

20 Q. Now, again, if you have a geologist making an
21 interpretive decision with this Rule in place, would he not be
22 in violation of the Oil and Gas Act if newer and better
23 technology comes along?

24 A. The requirement to make operators run the most
25 expensive possible logs out there that would give the most

1 information; you're getting into their business there a little
2 bit, I think. Specifically considering the waste issue, other
3 operators have the correlative rights to drill for their
4 suspected oil and gas and spend their two or three million
5 dollars a well out there.

6 But I think you could go -- I think that definitely,
7 for instance, looking at 29 wells in Santa Fe County and most
8 of those not even having logs turned in to the Division is
9 something that needs to be tightened up, but I can't say that
10 it would be a waste to require them to run fracture finders or
11 something like that or hole cores on every well.

12 It would be additional cost and it might discourage
13 them from drilling enough to where it could cause waste that
14 way.

15 Q. Okay. And concerning the confidentiality issue,
16 do you think that that would dissuade operators from drilling
17 in Santa Fe County and therefore making all the information
18 public?

19 A. That's a really good question. And they would
20 have to take that into account. They would. In which case,
21 the landman or -- would have to, you know, they could go to
22 this, for instance, the State land office and try to tie up a
23 lot of the acreage in the basin before they start drilling, for
24 instance.

25 So you would have maybe a deeper pockets operator on

1 a bigger operator that would do the Santa Fe Basin. But it
2 would require more up front -- confidentiality issues, I think.

3 Q. Right. So it would be more costly to have your
4 mud logger on location full-time, and it would be more costly
5 to do the EDP as well as the public comment and the hearing
6 process -- you'd have to pay for lawyers, and it would be more
7 costly to basically run your plan.

8 Now, let me ask you this: What happens if you
9 propose a drilling plan and, like you said, the geologist tells
10 you you have to do something different than what was originally
11 planned. Is that considered an amendment to the EDP?

12 A. Any amendments would have to be covered through a
13 hearing. But hopefully the plan that was proposed and finally
14 accepted by all sides would be flexible enough to handle that
15 situation.

16 Q. Okay. So obviously, the operator would try and
17 have something flexible, but the OCD would want to set some
18 parameters on the EDP, correct?

19 A. But you have to be careful about being too
20 specific on something you can't see under until you start
21 drilling, you know -- and especially Santa Fe County with all
22 the complex geology. You really don't know what you're going
23 to get until you drill.

24 Q. Okay. Now, you stated that the Santa Fe Basin is
25 the closest analogous basin to the Galisteo Basin?

1 A. You know, I stated the San Juan Basin is closest
2 to this basin. And what I meant there was you've got Rocky
3 Mountain type rocks where you've got crustaceous dominated
4 deposits, and you've got your Dakota and Mesaverde and maybe a
5 little bit of tertiary, in this case, Galisteo formation.

6 But basically you have rocks that are not evaporites.
7 And Glenn can answer that. But I do think that he will verify
8 that the San Juan -- the rocks in the salinity in the waters
9 would be most similar to the San Juan.

10 Q. Okay. And the San Juan is pretty well
11 researched, right?

12 A. It's all tied up, except for over west -- I mean,
13 east, mean obviously.

14 Q. Now, with the hundreds of water wells that are
15 drilled in Santa Fe in the Galisteo Basin, specifically, and
16 Santa Fe County generally, the OCD still feels that it doesn't
17 have adequate information?

18 A. For the surface pipes, I think those water wells
19 were drilled down until they got enough water to satisfy the
20 need of whoever was drilling them. And I think that we need to
21 search for the limits of that potable water and also the
22 presence of fresh water also.

23 Q. Okay. But under the special rule, it's going to
24 be the operators that's going to be shouldering the cost of
25 getting the information, correct?

1 A. You're correct.

2 Q. You mentioned the question of notice. Are you
3 aware of the Surface Owners Protection Act that was passed here
4 in the State?

5 A. A little bit. I understand there was an act
6 passed, and as it worked its way through the legislature and
7 the Governor's office, it was diluted to a certain extent. But
8 that's all I know. I don't legally know what it finally ended
9 up being.

10 Q. Okay. But do you know the substance of what that
11 act is supposed to do in terms of owners and working interest
12 surface owners?

13 A. I don't.

14 Q. You don't. Okay. Thank you.

15 MS. FOSTER: I have no more questions of this
16 witness. Thank you.

17 CHAIRMAN FESMIRE: Commissioner Bailey?

18 EXAMINATION

19 BY COMMISSIONER BAILEY:

20 Q. You've sat through and prepared testimony on
21 quite a few rule changes during your seven years with the OCD?

22 A. Yes, ma'am.

23 Q. And you've seen just how detailed and how much
24 justification must go into changing rules and preparing
25 information for those rules. I note that there are many rules

1 that are being changed for this special rule without much
2 background or justification. Was any of your task for this to
3 justify why these rules should be changed, such as the one for
4 submitting C-103s or drilling reports or any logs or any of the
5 other major Statewide rules that are being changed to justify
6 any of this upheaval of State rules?

7 A. That's a good question. It is a big ripple in
8 our evolution of the rules, and I was not specifically asked to
9 do anything more than address those specific -- the two issues
10 on the plan of development, the mud logging and the drilling
11 program, and then, of course, those five issues on -- I think
12 five issues on Section 10.

13 But the addition of the requirement of notice to
14 cultural affairs, I don't -- I think that's -- and to State
15 lands, and fee owners -- and to answer your question directly,
16 the preparation was as far as the Engineering Bureau goes, we
17 looked at some issues of downhole issues, and then we talked to
18 other people around the State, other districts.

19 We looked at some of the available data. But that
20 was specifically what we did. It is a big, you know -- rule
21 changing requires lots of research to -- but we're before you
22 today asking for you to consider this rule and the merits of
23 the different portions of the rule.

24 Q. I notice that as an Examiner, you do hear cases
25 for special pool rules.

1 A. Yes.

2 Q. And, in fact, just last month there was an order
3 for a special pool rule in which you were the Examiner?

4 A. I don't remember exactly which one, but I
5 could --

6 Q. Case No. 14160, Kerns Petroleum for Pool Creation
7 and Discovery and Special Rules in Lea County.

8 A. Yes.

9 Q. Okay.

10 A. Yes, that's it. I remember that one.

11 Q. You remember that one?

12 A. Yes.

13 Q. It appeared as though the criteria for this type
14 of case were for the applicant to simply present geologic and
15 engineering evidence for justification for special pool rules.

16 A. Yes.

17 Q. Do you anticipate that that is all that will be
18 required for development of the pool rules after five years
19 under this proposed rule?

20 A. Yes. The pool rule would be confined to the pool
21 and then Santa Fe County one mile outside of the pool boundary.
22 And the pool boundary, as you know, would be defined by the
23 spacing unit for each well that's completed -- that has already
24 been completed in that pool. But it would apply to the pool as
25 it grows or unless they wanted to limit it to that.

1 But the geology testimony, it depends on what aspect
2 of pool rules they want to implement. But if they want to
3 implement spacing -- different spacing requirements, which is
4 real common -- that would be geological and engineering
5 evidence, and land evidence -- no, not land evidence, really on
6 that one, but just geologic and engineering evidence.

7 So it would depend on what was being proposed for the
8 pool. But the pool would just cover the wells and one mile --
9 the spacing unit and one mile, except in Santa Fe. Santa Fe
10 would be one mile around it.

11 Q. The discovery well for creation of this pool and
12 the special pool rules was completed May 16th of 2008, and they
13 applied in this case, and it was heard August 7th. That's
14 June, July, August -- less than three months. What
15 justification is there for an operator to have to wait five
16 years?

17 MS. MACQUESTEN: Objection; that mischaracterizes
18 what the rule states. Pool rules are separate from this rule,
19 and this witness was not coming to testify about the structure
20 of the rules. But I would direct the Commission to what this
21 rule is saying.

22 It doesn't replace special pool rules. Special pool
23 rules will happen as they do now. What this rule provides is
24 that at some point, an operator under an Exploration and
25 Development Plan may be able to show that protection can be

1 given under a special pool rule and move out of the Exploration
2 and Development Plan into the special pool completely.

3 But pools will develop and go through the regular
4 process as they normally would.

5 CHAIRMAN FESMIRE: Ms. MacQuesten, I think you can
6 bring that out in redirect, and I'm not going to sustain an
7 objection against one of the Commissioners.

8 MS. MACQUESTEN: It will be for another witness,
9 then, because this witness was not intended to cover this
10 issue.

11 COMMISSIONER BAILEY: Is there a witness that will
12 cover this issue?

13 MS. MACQUESTEN: We'll have to go back to Brad Jones.

14 CHAIRMAN FESMIRE: He's got to come back anyhow.

15 Q. (By Commissioner Bailey): The daily reports from
16 the mud logger, do they need to be sent in on a daily basis or
17 are they gathered up and sent in on a weekly basis?

18 A. The rule proposed is a daily submittal.

19 Q. And the district geologist will be looking at
20 that?

21 A. Yes.

22 Q. Is there only one person who will be looking at
23 that?

24 A. If he needs help -- he or she needs help -- they
25 could ask for other help in the Division, primarily probably

1 from the Engineering Bureau.

2 Q. And there are other qualified people to be
3 backup? I mean, people get sick, and they take annual leave.

4 A. Yes. That's the State agency situation.

5 CHAIRMAN FESMIRE: Not in the OCD they don't.

6 THE WITNESS: Mark doesn't allow us to leave.

7 But Daniel Sanchez supervises our District 4 manager,
8 who is also the geologist of District 4. We have a couple of
9 geologists or more working in our Environmental Bureau. Glenn
10 is one of them.

11 But, yes, we're asking for a daily submittal. It
12 could be electronic. They're doing that a lot nowadays,
13 electronic. And there's actually an electric -- mud logging is
14 all forms nowadays. A lot of people use automatic mud logging
15 now.

16 Q. Well, I'm just dealing with practicalities in my
17 line of questioning for you.

18 A. That's -- you probably have -- you obviously have
19 a good knowledge of -- it is true that people do go on
20 vacation. For daily decisions, most critical, of course, is
21 that surface pipe sitting depth, and there's not many wells
22 drilled in District 4. If Daniel sees that his District 4
23 manager is going to be gone, then he obviously -- I assume he
24 would make arrangements for that. But that's a good point.

25 Q. And along the lines of the practicalities of all

1 of this, that 365-foot surface casing for the Ferrell No. 1,
2 that was just an example. You're not requiring 365 feet for
3 every --

4 A. That's just an example. We just based that off
5 of what was done in that specific case.

6 Q. Along the lines of practicalities, the intent of
7 the proposed rule is to have a plan that could cover more than
8 just one spacing unit. Looking at BLM Onshore Order No. 1,
9 they also reference a drilling plan that can also cover more
10 than one spacing unit, and it appears to be a generalized
11 requirement for information.

12 But then it says that if changes need to be made
13 based on previous drilling or other information that gets
14 obtained, then differences from the plan are handled within the
15 APD for drilling a well.

16 A. Uh-huh.

17 Q. But under this proposed rule, would these minor
18 differences be considered amendments to the drilling plan?

19 A. I'm in favor of flexible plans. Just having a
20 plan, I think, is a good thing. But having a flexible plan is
21 also -- that some changes in APDs as conditions warrant could
22 be made is a good thing.

23 I don't think -- the plan itself would have to go get
24 approved through a hearing process, but the plan --

25 Q. So as far as you know for the requirements of an

1 application to ask for the location of proposed exploratory
2 wells and related facilities, even when no one can know where
3 this second well will be until they have the information from
4 the first well.

5 A. The second well, yes. It definitely would be
6 dependent on the information from the first well.

7 Q. Right.

8 A. Seismic or whatever.

9 Q. So the OCD has to be flexible.

10 A. Has to be flexible, and I believe in that, yes.

11 Q. Okay.

12 A. I believe the Commission should adopt any rule
13 that would require the Division to be flexible in that respect.

14 Q. Okay.

15 COMMISSIONER BAILEY: That's all I have, and thank
16 you for your kind words for mud loggers.

17 CHAIRMAN FESMIRE: Commissioner Olson?

18 EXAMINATION

19 BY COMMISSIONER OLSON:

20 Q. Yes. I just want to start with one issue that I
21 was getting a little confused on. You started answering in
22 response to Ms. Foster about potable water versus fresh water.
23 Can you point to me anywhere in the rules or statutes where the
24 OCD is limited to just protecting potable water?

25 A. No, I can't. I just -- I can't. I'm just saying

1 practically speaking the shallow, high volume water that's able
2 to be drunk without running it through a reverse osmosis unit
3 should be the number one priority. Now -- but no, there is --
4 you're exactly right. There is none. Fresh water is defined
5 as less than 10,000 TDS.

6 Q. Isn't all the references in the rules to
7 protection of fresh water, then, not potable water?

8 A. It is. That's a good point. That's entirely the
9 case, yes.

10 Q. And is it your understanding of the rationale
11 that it is the water that is readily treatable to be used as
12 potable water supply?

13 A. I think that probably was the rationale for the
14 definition of fresh water. Obviously, as a long time WQCC
15 hearing examiner, you'd know more about that than I do, the
16 background for it.

17 Q. Well, are you aware that treatment technologies
18 have changed a lot these days as well for treating saline
19 waters to make them potable waters?

20 A. I am. I know the Navy does some stuff in the
21 Tularosa Basin, and I think a large portion of the world
22 depends on that technology to progress.

23 Q. And in certain portions of the world like the
24 Middle East, they are routinely treating sea water which is up
25 around 25,000 TDS for use as potable water supplies, aren't

1 they?

2 A. Yes, I think they are.

3 Q. And the definition that we have for defining
4 fresh waters as what's protectable as 10,000 milligrams/liter
5 of total dissolved solids is an old determination from the
6 State Engineer from the 1960s; isn't that correct?

7 A. It is. Well, I don't know about the State
8 Engineer from the '60s, but I know that the EPA requires us to,
9 under the underground injection control program, to protect
10 anything less than 10,000, and there's been talk of raising
11 that limit to a higher limit, but that's just talk.

12 Q. Were you here earlier when there was discussion
13 about -- I think it's OCD Exhibit 37 -- about the letter from
14 the State Engineer to the OCD about what is considered
15 protectable fresh water?

16 A. I was not aware of this. I went through the
17 other day, our memos that Florene keeps about State directors
18 in the past that have made memos, and it wound up in the book
19 that Florene Davidson keeps in her office. I didn't see this.
20 But this is obviously from the State Engineer to the Director
21 of the OCD, Dick Stamets, who was one of the leaders in the
22 underground injection control program as implemented by the EPA
23 in the late '70s and early '80s. He's still well respected by
24 the EPA. I think he still lives in Santa Fe.

25 Q. I guess I'll direct you to OCD Exhibit 37, and it

1 refers to a memorandum dated April 10th, 1967. Are you aware
2 that this was a determination that the State Engineer gave to
3 the OCD back in the 1960s?

4 A. I'm not. I was not aware of this, no.

5 Q. That it's actually a reiteration of a prior
6 determination?

7 A. It looks like it is. It was from '67. So
8 obviously, the State Engineer -- not only for litigating water
9 rights -- but they have been aware of the potential
10 contamination of water for a long time.

11 Q. I guess back to what I was mentioning earlier,
12 there is a rather -- from looking at this exhibit -- this
13 essentially is a rather dated determination, isn't it?

14 A. It's definitely dated, considering there's the
15 technologies of cleaning up water has probably progressed since
16 then. So the 10,000 does look to be dated, but it's still our
17 definition of fresh water.

18 Q. Well, I guess, though, based upon current
19 technology, this number could possibly be revised upwards to
20 the range of 25,000 today, couldn't it?

21 A. It could. I could, to answer your question
22 directly. If I might comment?

23 Q. Uh-huh.

24 A. If you've got -- someday water well drillers will
25 be able to afford to pass on the costs of drilling a two- or

1 three-million dollar well down to a deep depth and drilling
2 horizontally until they get enough volume to produce enough of
3 this water to clean up.

4 Now, along with the salinity of the water, the thick,
5 porous water sands that can give up vast quantities of water is
6 something that is in short supply all over the State. Maybe in
7 the Capitan Reef you can get that out, in portions of the
8 Capitan Reef and in some places up in the San Juan. But you
9 have to -- someday, that will be economical and people are
10 going to be paying a lot of money for water.

11 Q. Are you aware that Sandoval County has already
12 drilled such types of wells which are well over 10,000 TDS to
13 great depth using oil field rigs to use, and they've actually
14 drilled these up along the Rio Puerco? And they plan on using
15 these waters over 10,000 TDS as municipal water supplies after
16 treatment?

17 A. I had just heard rumors of that. I know that the
18 Rio Grande Rift contains deep porous sediments that are
19 saturated with waters. But I just heard rumors of this. I
20 didn't know specifically about it.

21 But you put a lot of people together, you can afford
22 to drill water wells if the water is available.

23 Q. Okay. Thanks on that issue.

24 On another point, you were mentioning that -- it
25 seemed to me that your recommendation on these well

1 construction requirements that you're testifying on, that for
2 protection of fresh water, these really should apply on a
3 Statewide basis. Did I understand your testimony correctly?

4 A. I think that it should be looked at, the
5 cementing requirements on the Statewide basis, yes. I think a
6 lot of the problems that we've had in the past that happened
7 were before the cementing rules we have in place now. But I
8 think the cementing rules we have in place now could be
9 strengthened statewide, yes, I do. It would have to be through
10 a committee looking at it.

11 Q. Well, I guess, do I understand, then, what the
12 Division's proposing here is having a higher standard for the
13 Galisteo Basin and, I guess, I understand Santa Fe County,
14 because a lot of the unknown geology and water quality with
15 depth because there hasn't been a lot of information on deep
16 drilling?

17 A. That is -- I would say that's definitely part of
18 the reason, yeah.

19 Q. I'm going to try to clarify a couple of things in
20 the rule since you're the witness that is addressing a lot of
21 well issues.

22 First, I'm looking at OCD Exhibit 22, which is the
23 proposed rule with the modifications that the Division is
24 making at this time. I guess I'll look at 19.15.39.9(B) (5) --
25 I guess it's now (H) where it's asking for information on all

1 existing oil and gas wells as part of the maps that are
2 provided. Do you see that?

3 A. Okay. Yes --

4 Q. Shouldn't this include plugged and abandoned
5 wells as well? Shouldn't there be some information besides
6 just existing oil and gas wells? Shouldn't there be
7 information on all wells that have been put in the area?

8 A. In my opinion, yes. This question should be
9 asked of the next witness, also. But, yes, it should be
10 including all wells, even if they're plugged and abandoned.

11 Q. And then going to 19.15.39.9(B)(7), I guess in
12 (B) and (C) here you're mentioning that you have a drilling
13 program, an air drilling program, and a mud program, and that's
14 in 7(B). And when I look down at (7)(C), you're talking just
15 about a mud logging program.

16 Are you considering the mud logging program covers
17 both air drilling and the mud program? You have a distinction
18 up above in (B) that you don't make down in (C). I'm just
19 trying to make sure I understand what you're proposing?

20 A. The drilling -- oh. The operative phrase is a
21 "drilling program." That could include whatever method they
22 want to use to drill, whether it's air drilling or rotary,
23 rotary mud drilling. We probably should have put in there
24 rotary drilling with mud to be used as the end of that portion
25 on (B).

1 Q. Right, but then on (C), I see it only talks about
2 a mud logging program.

3 A. Yes.

4 Q. Wouldn't you also want to -- would you consider
5 that same program to apply to air drilling, or should there be
6 some clarification of that?

7 A. The mud logging -- they can do a certain part of
8 a mud logging with air drilling. They can get -- what I'm
9 defining as mud logging is actual drilling rate and also
10 diverting a little bit of the air cuttings out to catch some
11 samples also.

12 I understand that can be done, also. I've never been
13 on a mud -- on an air drilling rig, but actually mud logged the
14 hole. But I've talked to other geologist who have.

15 Q. Well, then maybe it should be just a logging
16 program if it's air versus mud, or are you just considering --

17 A. I wanted the distinction between electric logging
18 and mud logging, because mud logging -- we're talking about the
19 actual visual sensors that log what they drill through. And
20 e-logging is induced responses to certain electric or
21 radioactive logs that you can, as you know, you can interpret
22 them to determine sand bodies, for instance, if you're talking
23 about fresh water.

24 Q. Right. But I think I'm just looking at is it mud
25 logger -- if you had an air rig and you're using that, would

1 you essentially use a mud logger, then, and be calling this
2 still a mud logging program even though it's being drilled with
3 air?

4 A. Oh -- good point, yes. You would still call it
5 mud logging, just to keep the confusion -- keep the confusion
6 in the picture. You would call it mud logging. You don't want
7 to make it clear here.

8 Q. I think you somewhat clarified that.

9 CHAIRMAN FESMIRE: Something like maybe clear as mud,
10 right? That's mud logging.

11 THE WITNESS: Clear as mud.

12 Q. (By Commissioner Olson): And then I'll go back
13 to other portion you testified on the requirements in
14 19.15.39.10. If you would look at (B) (8) where you were
15 talking about the issues with the pipe gas pipeline
16 connections.

17 And I think I saw in your written testimony as well
18 as in what you were verbally talking about here today about use
19 of -- it should be done with a bridge plug above any open
20 perforations. I don't see that in this language that's
21 proposed by the Division. So that was, I guess, an omission?

22 A. That was an omission. This is a post --
23 basically, the only post-change proposed after the rules were
24 noticed, and it would only strengthen that just a little bit.

25 Q. And do I understand your testimony to say that

1 you seemed like you modified it a little bit to say that it's
2 with a drillable bridge plug above any open perforations?

3 A. Yes. I would ask the Commission to put in
4 drillable plug -- you know, I'm afraid of someone setting a
5 non-drillable plug out there, and they go out of business and,
6 well, it's there 20 years later, and somebody tries to re-enter
7 it.

8 Q. And I guess there was the distinction in our
9 prior special rule on Otero Mesa in 19.15.39.8 about certain
10 provisions for produced water injection wells that I didn't see
11 in this rule, such as performing mechanical integrity tests on
12 an annual basis. Why was that not included?

13 A. Which didn't put that in -- that's a good point.
14 We didn't specifically address the issue of saltwater disposal
15 wells in the Galisteo Basin. The districts and the Engineering
16 Bureau have -- or the OCD, basically -- has the right to -- or
17 has the prerogative to require more frequent mechanical
18 integrity tests of salt water disposal wells.

19 But you're right. That's a good point. We didn't
20 specifically address saltwater disposal in the Galisteo Basin
21 that I know about.

22 Q. Well, the rule for Otero Mesa, the special rule
23 for Otero Mesa, was designed for protection of fresh waters as
24 well, wasn't it?

25 A. Yes.

1 Q. So why wouldn't the same requirements apply here?

2 A. We didn't specifically have language in there for
3 salt water disposal wells, but you're -- I think that would
4 have to be obviously testified to that -- there would have to
5 be some kind of proposal or notice. It would have to be
6 included. I'm not sure if the Commission wants to by inference
7 throw that in to this rule without some notice and chance
8 for -- but saltwater disposal is one of the most -- we have, I
9 think, good rules and good procedure to evaluate injection
10 proposals.

11 The plan of development should cover disposal wells.
12 Obviously, the Division, when they look at that, that will
13 obviously be part of the plan of development, I would think,
14 so --

15 Q. Well, I guess if we adopted a special rule for
16 Otero Mesa, because there was special conditions that needed to
17 be protected, and we're looking at a similar thing here, for
18 consistency, shouldn't we look at similar requirements if we're
19 looking at fresh water protection? Especially, where there's a
20 lot of unknown information similar to what was done in Otero
21 Mesa.

22 A. There is. Now, the issues -- the provisions we
23 have in here for logging from surface, from top to bottom or
24 actually from bottom to top, as you know, and mud logging, and
25 also the additional string of casing and cementing to surface

1 is designed to delineate and protect any fresh waters. So we
2 didn't have that in the Otero Mesa rule at all. We had some
3 specifics addressing saltwater disposal, but you can't
4 determine where to inject water if you don't know where the
5 fresh water is that you're going to protect or you don't know
6 the salinity of the water that you're putting back in the
7 ground.

8 So I think our rule is strong in the instance that it
9 does delineate and fresh waters less than 10,000 TDS so that
10 saltwater disposal wells would not be approved into those fresh
11 water zones. The EPA rules and the State rules prevent us from
12 doing that.

13 Q. Right. But isn't there the possibility that
14 there's deeper formations that could be used below an
15 underground source of drinking water that can be used as
16 injection zones?

17 A. Yes. You mean salt -- below that would be
18 endangering fresh water zones?

19 Q. No. I'm talking about zones that could be used
20 for injection below underground sources of drinking water.

21 A. Yes, definitely. That's what would be required.
22 When we evaluate the injection permit, we would require that.
23 We wouldn't let them go into fresh water zones.

24 Q. I understand that. I'm just thinking in the case
25 where we did have -- this would allow potentially injection

1 into deeper zones below underground sources of drinking water,
2 wouldn't it?

3 A. Yes.

4 Q. Similar to what would be done in Otero Mesa,
5 correct?

6 A. Yes. Otero Mesa didn't have all the -- we didn't
7 put in all the delineation issues or provisions, but the BLM,
8 you know, approves the drilling permits there to a large
9 extent.

10 Q. But the same thing could be occurring. You could
11 have injection wells in the Galisteo Basin just as you could in
12 Otero Mesa, correct?

13 A. You have to get rid of that water somewhere.

14 Q. All right. And isn't most of the produced water
15 in New Mexico disposed of by injection wells?

16 A. And the EPA recognizes that underground injection
17 of oil field waste water is the best way to get rid of it.

18 Q. And then the majority of the water -- I think
19 I've seen figures before of over 95 or 99 percent of the
20 produced water in New Mexico is disposed of through injection
21 wells, right?

22 A. It's -- I thought it was 100 percent. But, you
23 injection wells -- disposal wells meaning saltwater disposal --
24 injection meaning injection for waterflood purposes. We have
25 about 4500 injection wells in New Mexico, and we have about 60

1 disposal wells in New Mexico.

2 Q. Right. But then what I'm getting at is that the
3 majority -- virtually as you're saying, virtually all produced
4 water goes to deep injection right before secondary recovery or
5 for disposal.

6 A. They produce it out of that deep zone; they need
7 to put it back into that deep zone or somewhere even deeper.

8 Q. So shouldn't there be consistency between the
9 rules as applied to Otero Mesa and the Galisteo Basin if we're
10 looking at the same issues of protection of fresh waters?

11 A. Definitely. I agree. There should be
12 consistency.

13 Q. And I think I just got one more question. I
14 think we've had some discussion before. I know Commissioner
15 Bailey and I brought this up earlier about the information
16 being provided to us here seems to be applying just to -- at
17 least as presented by the Division -- it seems to be applying
18 just to information about the Galisteo Basin. And the
19 information you've looked at is related to Galisteo Basin,
20 then, and not the entire Santa Fe County?

21 A. I looked at -- I scanned logs in all of Santa Fe
22 County that I could find, and there's not very many, and I
23 saw -- if we can put something back on the screen?

24 But I guess I should just stick to your question and
25 not elaborate here. But yes, I think all of Santa Fe County --

1 but that's defined in the definition, Santa Fe County and all
2 of Galisteo Basin or vice versa, but it's covering both, which
3 means some of Sandoval County and some of San Miguel County.

4 Q. Well, I'll leave it at that. Thank you.

5 CHAIRMAN FESMIRE: In the vernacular of the time,
6 it's my turn. But it's been our custom to take public comment
7 immediately before lunch and immediately before we adjourn in
8 the evening. I meant to get a little earlier start on this if
9 we're going to break at 11:30, so I'm going to ask anybody who
10 has a time constraint who wishes to make a public comment now
11 would you please raise your hand? Okay.

12 We'll start back here in the back. We have two ways
13 of doing this: You can either come up and make a sworn
14 statement, in which case, the attorneys can cross-examine you
15 or you can just make a statement for the record.

16 Ms. Brandt, I guess you're going first?

17 MS. BRANDT: My name is Betsy Siwula-Brandt. I'm a
18 scientist. Commissioner -- all the Commissioners and Chairman
19 Fesmire, I spent several months during the winter last year
20 researching available data and studies to familiarize myself
21 with the oil and gas situation in Santa Fe County. I did this
22 as a concerned citizen who lives in the Galisteo Basin. I do
23 have expansive past oil and gas experience. I spent 19 years
24 as a geophysicist and exploration manager for Exxon, both in
25 the States and abroad.

1 I grew up among the oil and gas fields in Roswell. I
2 am second generation oil and gas. My father is a former
3 geologist with Yates Petroleum. He spent his entire career
4 working the Permian Basin. I left the industry about ten years
5 ago, and now I'm doing something completely different. So I
6 wouldn't have ever guessed that many years later I find myself
7 at the State OCD office pulling up all the old well logs of the
8 Galisteo Basin.

9 Having come from the industry, though, I have a
10 strong desire and interest that if oil and gas exploration does
11 occur in Santa Fe County, that it be done right. I do have a
12 report that kind of summarizes the highlights of what I've
13 uncovered that I would like to give you today.

14 I'm just going to reference some significant
15 scientific reports and studies that have been done that I've
16 referenced in this report. And today I'm only going to briefly
17 highlight five things. But when you take those five things and
18 you overlay them one over the other, it really does create a
19 very compelling story for the Galisteo Basin.

20 Number one, Commissioners, we're talking about
21 drilling in Anasazi lands dating back to 12,000 BC when the
22 first Indians reached the Galisteo River. Archeologists'
23 studies show that the Galisteo Basin contains the densest
24 Anasazi archeological sites in the United States of America.

25 These sites don't go away whether the scientific

1 study was done in 2004 or 2008. It doesn't matter. The
2 scientific study pattern is that each archeological study taken
3 only finds an increased density of sites. As landowners, such
4 as myself, we've been required to commission these studies
5 before building. So we know the truth of this firsthand.

6 Number two: We're talking about drilling in a
7 residential area where strict county codes exist limiting any
8 commercial development. And that's why there's no road
9 infrastructure in the Galisteo Basin. It just doesn't exist.

10 Number three: We're talking about drilling in an
11 area where there is a confirmed endangered groundwater aquifer.

12 And number four: We're talking about drilling in an
13 area where there is only unconventional oil and gas resources.
14 I pulled those 29 oil and gas records from the OCD digital
15 database, which, by the way, is a great database.

16 It's not like the San Juan Basin or the Permian Basin
17 that also has conventional resources connected to it. In those
18 basins, there's a bigger, juicier dinosaur that died than in
19 Galisteo.

20 The Society of Petroleum Engineers defines
21 unconventional reservoirs as those reservoirs that cannot be
22 produced at economic flow rates or do not produce economic
23 volumes of oil and gas without assistance from massive
24 stimulation, treatments, or special recovery processes and
25 special technologies because of very low recovery factor cutoff

1 for the kind of rocks they are. They're very tight.

2 To be clear, conventional reservoirs can be produced
3 at economic volumes without massive stimulation treatment,
4 special recovery processes and leading edge technology. All
5 the wells drilling the Galisteo Basin in the '70s and '80s
6 which are in the OCD digital database underwent fracing and
7 stimulation. It's just an undisputed fact. And also Tecton
8 verified that it's an unconventional resource.

9 There's a huge difference in recovery factors for oil
10 and gas. Conventional gas reservoirs have about a 50 to 80
11 percent recovery factor, as you know. And gas recovery factors
12 are a small fraction of this amount for unconventional. Many,
13 many more wells and stimulation such as fracturing is required
14 to recover anything.

15 Unconventional reservoirs are the toughest and the
16 most expensive to recover with the highest economic and
17 environment risk in the business.

18 And number five: We're talking about drilling in an
19 area that is very structurally complex unlike the Permian Basin
20 and the San Juan Basin. Yes, the rock ages are similar,
21 Cretaceous, but the structural geology is very different. The
22 Galisteo Basin has undergone two major tectonic events: The
23 Cretaceous compression event followed by a later tertiary
24 rifting event. It creates two major sets in intersecting
25 faults from the cretaceous to the surface.

1 The San Juan Basin and the Permian Basin are simple
2 in comparison. Geologically speaking, technical studies back
3 this up. Bruce Black, formally of Black Oil, has drilled most
4 of the wells in the Galisteo Basin. And he documents this very
5 well in many technical articles that he has published regarding
6 Santa Fe County saying, quote, "The Santa Fe Basin is much more
7 complex than the adjacent simple down warped San Juan Basin,"
8 unquote.

9 The cross section published recently in The New
10 Mexican -- I don't know if you saw it, but I do have it in the
11 report -- basically illustrates the complex geology of the
12 area. If you look at a four-mile area in this Cash Ranch area,
13 you can count 13 significant faults that connect the Cretaceous
14 reservoir back up to the surface where the faults outcrop. The
15 source for the cross section is Bruce Black, who is the Tecton
16 geologist. So unfortunately the county or OCD, they cannot
17 access the seismic data that Tecton used to create the cross
18 section, along with all the well logs, because it's been taken
19 off the market.

20 However, we can verify the severe density of surface
21 faulting through the New Mexico Institute of Mining and
22 Technology in Socorro. They've recently completed a four-quad
23 geologic compilation of the Galisteo Basin faulting which
24 confirms the significant density of surface faults. These
25 faults act as recharge zones for Galisteo Basin aquifers.

1 The esteemed structural geologist who submitted the
2 report to the OCD as part of the Shoemaker Hydrology Report,
3 quote, "The most striking geologic characteristic of the
4 Galisteo Basin is the extent to which, on both a regional and
5 local scale, the Galisteo Basin is fractured and faulted.

6 "Development should be prohibited in defined recharge
7 areas. Principal recharge areas consist of major arroyos,
8 basinward slopes of mountain fronts, as well as major fault
9 zones."

10 All of the proposed Tecton wildcat locations -- there
11 were eight wells at one time. Of course, all of these are on
12 the market now to be sold -- were located or very near
13 significant surface fault recharge zones as documented in the
14 hydrology report by Mr. Shoemaker, who by the way, has done all
15 the more recent hydrology reports in the Galisteo Basin area.
16 His company has done the most recent ones.

17 But this can also be confirmed by looking at these
18 quadrangle maps. The State-involved work that was done there
19 was a collaboration between the New Mexico Institute of Mining
20 and the USGS, with geologists undertaking a fair bit of recent
21 remapping in the basin in the summer in July. So the maps date
22 for those quads 1999 to 2008. These maps are open filed.
23 They're free to the public.

24 To say that no scientific studies have been
25 undertaken by the State is simply just not factual. The State

1 prioritizes their mapping in the watershed areas for the good
2 of the public, the Rio Grande, the Galisteo Basin, included in
3 that.

4 So if you just overlay these five factual
5 ingredients -- and, of course, there's more sensitivities --
6 but just these five: archeological sites, residential area,
7 endangered groundwater aquifer, unconventional risky resource
8 and hydrogeologic complexity, well, if there ever was a recipe
9 for best practice and state-of-the-art technology, and to
10 protect the environment, it would be here in the Galisteo
11 Basin.

12 So if you'll allow me to continue, based on these
13 attributes, I have some recommendations.

14 CHAIRMAN FESMIRE: Ms. Brandt, are they in your
15 report?

16 MS. BRANDT: No. I just have the technical studies
17 in the report. Can I go quickly?

18 CHAIRMAN FESMIRE: Can you go quickly?

19 MS. BRANDT: I'll go quickly.

20 MS. FOSTER: I have to object to her testimony
21 because this is really bordering on technical testimony. She
22 should have followed the rules that everybody else had to
23 follow in terms of filing six copies of it. I would like to
24 see her report. I'm very curious about it, especially since
25 she is referring to data that is much more up to date than even

1 what the OCD has presented in this hearing.

2 And if she has any recommendations, again, she should
3 have followed the rules and made the recommendations at the
4 time when we all had to propose our modifications to the rule.
5 So either she's a technical witness and therefore subject to
6 the cross-examination, or she's just a public citizen and
7 therefore, she really can't make recommendations.

8 MS. BRANDT: I am a public citizen, and I'm only here
9 as a public citizen who lives in the basin, and I'm very
10 concerned about the issues.

11 MS. FOSTER: I'm just concerned about following the
12 rules --

13 CHAIRMAN FESMIRE: Hang on, Ms. Brandt. I don't
14 think the rules have any provision for limiting public comment
15 on this. Is this a public comment?

16 MS. FOSTER: There is a limitation on public comment
17 if it is technical testimony, and what I just heard now was
18 technical testimony.

19 CHAIRMAN FESMIRE: Where is that?

20 MS. FOSTER: I'll put out the rule, if you like, sir.

21 CHAIRMAN FESMIRE: Go ahead and finish, Ms. Brandt.

22 MS. FOSTER: I would just like to note my objection
23 on the record. This is the same objection that I --

24 CHAIRMAN FESMIRE: Ms. Foster.

25 MS. FOSTER: If I could please finish?

1 CHAIRMAN FESMIRE: ' No. Counsel reminded me that this
2 is not testimony. It is not sworn. This is a public comment.
3 We're very, very limited in the limitations that we can put on
4 public comment. I've asked her to hurry. She's agreed to
5 hurry. And we're going to finish taking public comment.

6 And, Ms. Foster, you were the one that reminded me
7 that we had to take public comment.

8 MS. FOSTER: Yes. And there's a lot of other people
9 in the room who would like to make public comment as well. I
10 just --

11 CHAIRMAN FESMIRE: So let's finish with --

12 MS. FOSTER: -- like to have the opportunity to
13 cross-examine this woman because she does have obvious very
14 good information and technical testimony. This is the same
15 objection that I made to Katherine Slick's testimony as well as
16 the Game and Fish Department. All these people are coming in
17 with valid testimony as to this rule that I think they should
18 be cross-examined so we can question them for their basis.

19 CHAIRMAN FESMIRE: Again, this is not sworn
20 testimony. These are personal opinions, public statements.

21 MS. FOSTER: Please note my objection.

22 CHAIRMAN FESMIRE: I'll note your objection.

23 MS. FOSTER: Thank you.

24 CHAIRMAN FESMIRE: It is not a valid objection.

25 Ms. Brandt, please continue.

1 MS. BRANDT: Okay. Again, there could be no best
2 practices in the Galisteo Basin without the special rules and
3 required studies such as monitoring wells. There are three
4 types of aquifer recharge areas that are in the Shoemaker
5 Report, the third category, that will need additional field
6 work of surveying, fracturing and faulting on the surface and
7 the shallow subsurface.

8 I believe all potential aquifers should be mapped,
9 including the deep aquifers, not only the known aquifers.
10 There's been drinking waters, good drinking water, documented
11 in the Dakota formation in this report where there's two wells
12 at depths of 1500 feet and 2,000 feet. There's a growing
13 understanding that deeper aquifers are both useful, and they
14 could be threatened by oil and gas development.

15 Many of us are already drinking out of 1,000-foot
16 wells. We're paying \$40,000 for those wells. So we're all
17 looking deeper for future drinking water for our communities.

18 Number three: Drilling and fracturing hard rock is
19 very tricky. The cement failure can and it does occur. The
20 tighter the rock, the tougher it is to get a clean fill. This
21 was demonstrated just recently in Colorado in 2004.

22 A poorly drilled gas well and fractured reservoir
23 very similar to the Galisteo Basin near Silt, Colorado, allowed
24 millions of cubic feet of natural gas to escape a formation
25 over 55 days. It travelled 4,000 feet through fractures in the

1 rock and exited into West Divide Creek. Testing revealed
2 elevated levels of benzene, a cancer-causing chemical in the
3 creek water. This incident has been well documented by the
4 Rocky Mountain News. How did it happen? The well was supposed
5 to be surrounded by cement from the bottom to the top, but the
6 cement collapsed falling to a depth of about 4,000 feet. This
7 failure allowed natural gas to seep into the well and drift
8 upward, exited at about 1500 feet where it travelled through
9 rock fractures to the creek.

10 The Colorado Oil and Gas Commission study found that
11 the area's unusual geology -- again, very similar to the
12 Galisteo Basin, unconventional fractured rocks -- could be
13 easier for natural gas to enter neighboring wells caused by
14 natural geologic wells caused by a natural geologic fault that
15 intercepted the production area of the well. Many people did
16 get sick.

17 So as you know, the Colorado Commission is imposing
18 new cementing rules throughout. This is not "may happen,"
19 "might happen," it is happening. It is more difficult to get
20 clean cement seals in tight, hard, fractured rocks. It's very
21 proper that OCD's special rules should address special
22 precautions related to cement jobs. Oil and gas operators
23 don't want these kind of failure. These special rules protect
24 them as well. I don't want to see Santa Fe County make the
25 same mistakes that Colorado has with similar unconventional

1 fractured oil and gas plays.

2 And number four: I also submit that the language
3 that be added to these special rules that would recognize that
4 special setback requirements may be in order by operators
5 designing permits depending on where their wells are located in
6 their E&D Plans. I think the State needs to have that kind of
7 flexibility in order to protect groundwater recharge areas in
8 residential drilling.

9 And then number five: I do recommend RFDs:
10 reasonable, foreseeable, development scenarios. I think that
11 that's something you should collect before permitting is
12 allowed. It's a full landscape study of the cumulative impacts
13 of oil and gas development on natural and human environments.
14 It's a planning tool that BLM has used for many years to assure
15 that it understands the likely effects of full field
16 development at the outset. And it does not base its planning
17 on piecemeal decisions.

18 A comprehensive picture of the environmental and
19 social disruption caused by full field development, the end
20 product should be deeply understood. Our State regs need to
21 catch up, in my opinion, to those of the federal regulations.
22 Let's be smart and begin with the end in mind with plans that
23 plan for accumulative impacts of future oil and gas
24 development, especially in a residential area such as Santa Fe
25 County.

1 I'm looking at the attorneys, and I'm hearing them
2 talk about the one-size-fits-all approach to regulation in
3 New Mexico; the oil and gas rules must be consistent,
4 quote-unquote, across the State. I don't understand the
5 argument. Oil and gas operator practices, themselves, are
6 situational. They're not consistent. They can't treat
7 drilling, conventional drilling, like unconventional drilling
8 or they would never be successful. So the approach is
9 different and so should the regulations be, depending on what
10 you're drilling for.

11 The Galisteo Basin is unique. It's not consistent
12 with other basins in New Mexico. Our State exploration and
13 development rules must reflect the unique attributes of the
14 basin.

15 I, in closing, believe the special rules you've
16 created are straightforward and reasonable. I think they're
17 fair. I think they're responsible, and they're responsible to
18 both sides, not just one.

19 And I'll close just by saying fresh groundwater is
20 our most precious resource. What I'm hearing that technical
21 data or studies are not supporting these special rules makes --
22 it's just extremely inaccurate. The OCD database is extensive.
23 Dr. Bruce Black's technical studies are all published. Recent
24 New Mexico publications, even by the newspapers, the journals,
25 hydrological reports have been published. Geologic reports,

1 New Mexico mining database -- Santa Fe County has an extensive
2 database and maps. There's extensive analogs to this reservoir
3 published by the Rocky Mountain News. I won't go on, but I
4 really disagree with the arguments that have been made that
5 there are not studies.

6 Thank you very much.

7 CHAIRMAN FESMIRE: Thank you, Ms. Brandt.

8 MS. FOSTER: Mr. Fesmire, if I may refer the
9 Commission to Rule 1204, Subsection A(2), "Any person may offer
10 exhibits in connection with their testimony so long as the
11 exhibits are relevant and six copies are provided the
12 Commission as well as all parties who have filed notice in the
13 case."

14 CHAIRMAN FESMIRE: That's 1204 under the old system.

15 MS. FOSTER: 1204 under the old one, yeah.

16 CHAIRMAN FESMIRE: What's the new rule say?

17 MS. FOSTER: I don't have that new rule, except that
18 I'm sure it hasn't changed because we haven't gone through a
19 hearing on it.

20 CHAIRMAN FESMIRE: Read 1204 again. Does 1204 apply
21 to rule-making?

22 MS. FOSTER: It applies to rule-making hearings and
23 participation of nontechnical testimony.

24 CHAIRMAN FESMIRE: Nontechnical testimony. What
25 about public comment?

1 MS. FOSTER: Well, this would be nontechnical
2 testimony.

3 CHAIRMAN FESMIRE: That is testimony. This is public
4 comment. Ma'am, why don't you come forward? We're going to go
5 ahead.

6 MS. FOSTER: I would ask for a copy of the lady's
7 exhibit, if she's going to be submitting that.

8 CHAIRMAN FESMIRE: You can ask her for anything she's
9 inclined to give you.

10 MS. MURRAY: Thank you. This will be public comment.
11 My name is Ann Murray, M-u-r-r-a-y. I live in the Village of
12 Cerrillos. I'm a resident of the Galisteo Basin, and I'm the
13 vice president of the Cerrillos Water Association.

14 I'm here in support of the proposed regulation. The
15 water sources for our village come from the San Marco Springs
16 and the Galisteo River, both of which can be impacted if strict
17 regulation is not enforced. Thank you for protecting villages
18 like Cerrillos with our 300 souls. I think we have all
19 recently learned the importance of regulation where money and
20 power are concerned.

21 What we are witnessing in this effort is good
22 government doing the job of governing. In the long run,
23 regulation protects the industries they regulate by setting
24 reasonable limits that protect us all.

25 Thank you.

1 CHAIRMAN FESMIRE: Thank you very much, ma'am. There
2 was someone else that couldn't make it this afternoon? Ms.
3 Spear?

4 MS. SPEAR: My name is Linda Spear. I'm a lifelong
5 resident of Santa Fe County. I'm a homemaker and a documentary
6 photographer. I've been involved as a community activist on
7 issues affecting Santa Fe County. My main concern is water.
8 I've been producing a photo project on the Galisteo Basin
9 during this past year during the time of moratoria.

10 I'm mainly concerned with the hydraulic fracturing
11 chemicals. These undisclosed proprietary mixtures that are
12 proven toxins to water sources, primarily, as well as the air.

13 Over this past year -- and this is for the
14 Commissioners -- I'd like to show us our water of northern
15 New Mexico. These are the principle waters of Albuquerque and
16 Santa Fe, of Heron Lake and the Heron Lake Marina and
17 connecting in between them comes the Chama River. And this is
18 a small State park along the Chama River -- above the Chama
19 River canyon going down into the El Vado Reservoir. This is
20 also osprey habitat. The osprey feed on fish.

21 Heron Lake -- it doesn't look so much in the
22 photograph -- but the waters are very blue and clean. And of
23 course, the Chama River runs through the eastern side of Rio
24 Arriba County and we believe that this whole groundwater
25 recharge area, the Chama River being part of the Rio Grande

1 rift valley, and our drinking water needs to have very good
2 protections on the quality of our potable water. This is in
3 the Galisteo Basin proper.

4 Speaking of the archeological resources, this is part
5 of the fine art project that over 50 renowned documentary and
6 high art photographers that are participating in from
7 New Mexico. And this is from Petroglyph Hill, which is in the
8 center of the basin. It's a most sacred site. It's a fault
9 outcropping covered with petroglyphs. And this view from
10 Petroglyph Hill shows a few of the petroglyphs here in front
11 and shows the Ortiz Mountains in the back.

12 And you can see the Galisteo River itself as it
13 meanders through the basin. It originates in Glorieta in the
14 Pecos Wilderness and enters the Rio Grande at Santo Domingo
15 Pueblo. It runs 55 miles. It is the groundwater sponge and
16 resource for all our pure water that we drink in our water
17 wells.

18 I recently had the water in my water well tested, and
19 I tested for arsenic and solids, and it's clean water. It
20 doesn't take any energy or distilleries or equipment to clean
21 it and to drink it. It's a great privilege. It's given by God
22 to have clean, fresh water to drink, and it's our commonwealth,
23 and it needs to be protected. And I thank the Commissioners
24 and OCD for protecting and making these special rules for this
25 basin.

1 Anyway, this other photo is -- I was standing on the
2 western bank of the Rio Grande at Santa Domingo Pueblo. A
3 tribal elder took me there. And the Galisteo River enters in
4 two mouths into the Rio Grande. And so this river that runs
5 dry for most of it, it dives underground into the red
6 sandstones underneath it. It does enter through springs on the
7 Santo Domingo Pueblo along the riverbed and feeds into the Rio
8 Grande.

9 And this is 90 miles south of where Heron and San
10 Juan Chama waters and El Vado waters are stored. And 96,000
11 acre feet a year are released from Heron and El Vado reservoirs
12 for the cities of Santa Fe and Albuquerque.

13 Lastly, I went to Sandia Crest, which is also a State
14 park, and I did a panorama at quarter to seven on September
15 25th of this year. This shows -- and you have to look
16 closely -- but it shows the interconnectedness of the basin and
17 these deep geologic rock formations that surround us.

18 And here we're looking to the north and underneath I
19 wrote, that you could barely see -- there were some forest
20 fires in the Jemez, and it was very smoky, but you can see the
21 vague outline of Tatilla Peak that sits on top of La Barraja
22 Mesa overlooking the basin proper, and the Cerrillos Hills are
23 in the distance. And of course, the Galisteo River is up in
24 the Santa Fe National Forest and meandering between the Ortiz
25 and the Cerrillos Hills and by all those traditional villages

1 that are located on it.

2 But I marked the Ortiz Mountains, the San Pedro
3 Mountains and going on to the end of the rift on this side of
4 Albuquerque are the Manzano Mountains. But behind them, if you
5 look closely, you can see on the flat plain where the Galisteo
6 Basin is intertwining -- and I don't know if I'm technically
7 correct with the names -- I call it the Estancia Basin. It
8 runs behind it. I've seen some of the New Mexico Institute
9 maps. And ultimately it's connecting with the Albuquerque
10 Basin. Now, we've hear that Tecton and the Atrisco Land Grant
11 have like 200,000 acres leased for drilling on the west mesa of
12 Albuquerque.

13 The Rio Grande Rift Valley, the Chama River, northern
14 New Mexico, this is our water; for us and for future
15 generations.

16 And I'd just like to read something from Texas.
17 There's a reason that hydraulic fracing chemicals have been
18 exempted from federal oversight. They've been exempted from
19 the Safe Drinking Water Act, the Clean Water Act, the Clear Air
20 Act, the National Environmental Policy Act, the Toxic Release
21 Inventory Under Emergency Planning and Community Right to Know
22 Act, and that's what I really take issue with.

23 I don't want to see anybody go out of business.
24 Everyone has a right to make a living. But in Texas, you know,
25 Betsy commented on the situation in Colorado. And I have a

1 very brief thing from -- and I have the link here that I can
2 give you -- from gas drilling in north Texas, the Barnett Shell
3 Range has been a worry for years, especially for homeowners,
4 ranchers and farmers who depend on well water.

5 Fracing involves forcing high pressure water and
6 chemicals into underground rock formations to fracture it and
7 free up gas trapped in it. We believe, the residents of Santa
8 Fe County, that this is primarily a gas play.

9 When the drilling starts, residents in many cases
10 have found their well waters going dry, some temporarily, some
11 permanently. In other places, the wells have come up full of
12 mud, the water brown, sudsy and foul-smelling. But the deeper
13 fears are what would happen if drilling somehow contaminated
14 the aquifers, the underground that the entire region depends on
15 and we depend on.

16 The Anasazi left this area centuries ago for a
17 reason. They ran out of water. They ran into a tremendous
18 drought period. But what happens if our water is contaminated?
19 How do you remediate an aquifer? We don't have a big reservoir
20 under us. We have pockets of fresh and potable water trapped
21 in these sediments.

22 Until now, continuing with Texas, gas companies have
23 pooh-poohed the fear, claiming their wells are dug at much
24 deeper levels than the Trinity and Woodbine aquifers which
25 provide commercial, industrial and livestock water for much of

1 Metroplex in northern Texas.

2 But the nightmare has become a reality for Beatles
3 and his neighbors. They have no water. And in rural Texas, if
4 you don't have water, you ain't got nothing. The presence of
5 toluene in the water was a red flag that something was terribly
6 wrong underground. And in the four months since the first
7 tests were done on water from his wells, levels of the deadly
8 chemicals haven't dropped, meaning, hydrologists say, that the
9 solvent, which never occurs naturally in fresh water, is
10 continuing to enter the aquifer.

11 We have a common gift that belongs to people in the
12 oil and gas industry and to the people who live here. And we
13 got to make it right for us all. But without water, we're all
14 going to be moving. And thank you for your special rules and
15 for considering this area that needs to be protected.

16 CHAIRMAN FESMIRE: Thank you, ma'am. You were
17 wanting to make a statement?

18 MS. HATTAN: Thank you, Chairman and Commissioners.
19 My name is Mary Ann Hattan, and I own land and have a business
20 at 29 High Feather Ranch near the Village of Cerrillos. It's a
21 bed and breakfast. And I'd like to thank you for the work
22 you're doing to protect us by instituting these up-to-date
23 regulations.

24 I believe the public has a right to be protected from
25 any industry practices, including oil and gas, that damage our

1 environment. And government has an obligation to provide these
2 protections. And yes, oil and gas would say that technology
3 has changed, but that cuts both ways. Oil and gas must be
4 regulated to be in step with current knowledge of the negative
5 environmental impacts of open waste pits and the use of fracking
6 chemicals.

7 Thank you.

8 CHAIRMAN FESMIRE: Thank you, ma'am. Is there
9 anybody else who won't be able to make it here this afternoon?

10 Ms. Brandt, after looking at the rules -- are you
11 still back there? After looking at the rules, it appears that
12 you can make the statement that you need to make, but that we
13 can't take the exhibits. So the record should reflect that no
14 exhibits were presented with unsworn testimony today. Okay?

15 Is there anybody else who needs to or would like to
16 make a statement today before we break for lunch and who is not
17 going to be around this afternoon?

18 Okay. With that, we will break for lunch and
19 reconvene at 1:30.

20 [Noon recess was taken from 11:45 a.m. to 1:33 p.m.]

21 CHAIRMAN FESMIRE: Okay. Let's go back on the
22 record. This is a continuation of Case No. 14255. The record
23 should also reflect that Commissioners Bailey and Olson and
24 Fesmire are present. We therefore have a quorum.

25 We were in the middle of the Commissioner's

1 examination of Will Jones, and I think it was my turn, and I
2 will proceed.

3 EXAMINATION

4 BY CHAIRMAN FESMIRE:

5 Q. Mr. Jones, could you put back up Exhibit 41,
6 please? Now, you were using the Black Ferrell No. 1 as an
7 example; is that correct?

8 A. That's correct.

9 Q. And if my memory serves me correctly, your
10 surface casing is set at 365 feet.

11 A. Yes.

12 Q. Now, Tecton has proposed another well to be
13 drilled from that pad, and they proposed a considerably longer
14 surface string. Do you know anything about that?

15 A. That's a good question. I don't know exactly why
16 because I did look at the logs on this well. And I assume --
17 and I couldn't tell if there was anything right below that
18 surface pipe, but I would only be making an assumption that
19 they were just trying to be extra careful or our district
20 manager made them be extra careful.

21 Q. Could it be that there's now an indication that
22 there's protectable water below that 365 feet?

23 A. It's possible.

24 Q. But you don't know for sure?

25 A. I don't know for sure.

1 Q. Okay. Now, the surface is never drilled with the
2 salt in mind, is it, the surface hole?

3 A. No, not -- no.

4 Q. And it's your testimony that more often than not
5 it's drilled with air; is that correct?

6 A. It's not necessarily. It could be -- sometimes
7 they get a different rig in there to drill a surface hole and
8 move it off and drill the rest of the hole with a bigger rig.
9 Sometimes it depends on the contracts that the companies come
10 up with on their drilling.

11 And, to answer your question, I don't know exactly
12 how they would drill that surface hole, whether it was air or
13 with a cable tool or a rotary drill.

14 Q. But if they had a mud logger on location, they
15 would be able to tell for sure where they would need to set
16 that surface casing, wouldn't they?

17 A. They would be able to tell where they encountered
18 the lithology that would possibly be containing the fresh
19 waters. And then somebody's got to make the decision that this
20 is it. This is it, and you've got to stop and set the pipe.
21 But once you drill out, then you know if you've -- and log, you
22 know if you've made the wrong decision or not.

23 Q. And another thing that the mud logger would be
24 looking for is a competent place to set that shoe for that
25 casing; is that correct?

1 A. That's exactly right. They want a good solid
2 rock to set the shoe in so they get a good cement job.

3 Q. Okay. Would you elaborate a little on that?

4 A. Well, for instance, if it was in the -- of
5 course, this is at least a sandstone-type basin at least for
6 the surface rocks, but -- I mean, for the -- I'm not so sure
7 once you get down past the Jurassic whether it turns into a
8 kind of a limestone or an evaporite basin or not because it
9 seemed that way on the logs.

10 But you always want to set your shoe in a competent
11 rock where you get a good cement job, because the cement has to
12 turn the corner and go back up. Now, you can always use a
13 stage tool or something like that.

14 Q. On the surface string?

15 A. On the surface string, like over on the eastern
16 side of the State, they always set the -- you know, hit it into
17 the Jurassic red beds. So that gets below those water sands
18 that are highly permeable.

19 Q. So in a complicated geology like a Galisteo
20 Basin, one of the reasons to have a mud logger there is to make
21 sure you get below the water sands. Another reason is to have
22 to make sure that you have a competent place to set your casing
23 in?

24 A. That's what I didn't point out earlier.

25 Q. Okay. Okay. Now, you mentioned there was an

1 18-hour wait time on the surface casing, by our rules; is that
2 correct?

3 A. That's correct. Except some counties in the
4 State have less, but Santa Fe doesn't fall into those counties
5 that can allow less than that.

6 Q. And one of the reasons is to make sure that the
7 cement doesn't U-tube back on you; is that correct?

8 A. Yes. You hold pressure on it and let it set up,
9 and you see what happens. And it's still out hardening time,
10 compressive strength to build to where you've got enough -- you
11 don't want to be moving that surface pipe when you drill out.

12 Q. And there's another significant reason to
13 maintain that pressure, isn't there? Don't you want to keep
14 that pressure on the casing so you don't create a
15 micro-annulus?

16 A. Yes. Yes. You start moving that cement, you've
17 got micro-annuluses. You let the cement move without
18 maintaining the pressure, and you've got some possible
19 micro-annuluses in spots.

20 Q. Or if you take the pressure off and you allow the
21 casing to contract, it can create a micro-annulus; is that
22 correct?

23 A. That's correct.

24 Q. So there are several reasons to keep pressure on
25 there until the cement sets up, right?

1 A. There's several reasons for the long wait time.
2 There certainly is.

3 Q. Now, you were asked -- and I forgot who asked
4 you -- about fracing and fracing fluids, and you didn't seem
5 particularly concerned about that. Could you elaborate a
6 little bit on that?

7 A. Okay. I think anybody that's worried about the
8 extent of the fracture, artificial fracture, should sit down
9 and go into Schlumberger's office or Halliburton's office and
10 sit down with one of their engineers and watch one of their
11 demonstrations of a simulation of a frac job.

12 Because when you get down to 2600 feet or so or -- I
13 would say, in most basins over 1,000 feet, you're going to have
14 your vertical stress in your rocks is going to be the dominant
15 stress. So you're frac is going to go in the direction of the
16 dominant stress, and then the other direction of the frac is
17 going to be in the next dominant stress direction, which will
18 be one of your horizontal directions -- or one of your planar
19 directions -- so your frac is going to go vertically, but it's
20 going to go out -- it's going to be confined vertically by your
21 shales above and below your zone of interest -- your high
22 stress rocks above and below your zone of interest -- and your
23 pressures that you observe during the frac job, you can
24 actually tell whether the frac has broken out of a zone or not.

25 And there's no way that it can break out from 2600

1 feet all the way to the surface; that just absolutely could not
2 happen. And the frac is widest near the well bore, narrowest
3 from away from the well bore, and it's carrying sand or
4 sometimes high concentrations -- hopefully higher
5 concentrations -- of sand near the well bore so you can pack
6 off the well bore with sand and that fracture that you induce
7 through high pressure.

8 Hydraulic pumping is when you shut off those pumps;
9 it closes on the sand and traps that sand and provides a good
10 conduit to the reservoir flow to linear flow into the
11 perforations and into the well.

12 And you can tell by your pressure plot, really, how
13 successful you are on the frac. And you can also tell by the
14 well, you know, how well it comes back. But you're limited by
15 your pressure in your formation. Obviously the higher the
16 pressure, the better to get you some good flow back. And if
17 you don't have good pressure, well, you try to use a nitrified
18 or an energized frac to help add some energy to the frac to
19 bring it back and clean up the well and stuff.

20 Q. But if there are materials in the frac, in the
21 frac fluids, that you don't want to be exposed, they will be
22 coming back in that frac, won't they?

23 A. Some of them will be, they will. It's mainly
24 water. It's a gel and it's a cross-linker, and it's nitrogen
25 and it's a breaker -- sometimes an enzyme breaker, sometimes a

1 chemical breaker -- and then the other breaking method is a
2 temperature, obviously. So there is some additives to it, but
3 it comes back, and it's not going to be allowed to -- in the
4 old days, they flowed it back to the pit and did something with
5 the pit.

6 Q. So as long as the operator maintains his waste
7 and the frac stays in the zone, it's --

8 A. Yeah. The frac is not going to stay. Even if it
9 grows out of zone, it's not going to grow that much out of
10 zone. And it's not going to be propped that far out of zone
11 because that sand can only go so far. It's got gravity acting
12 on it and where it didn't go, it's going to close up. So once
13 you stop pumping, that's it.

14 And as far as what comes back, it's going to be
15 contained in -- the service companies have been very good about
16 this for years and as far as what happens during the frac job,
17 you know, they're really strict on safety and on any kind of
18 release around the well. As far as what comes back after the
19 well has -- you let it come back, and you try not to sometimes
20 let it come back too fast, but the fluids that are coming back
21 are going to be contained in frac tanks or --

22 Q. Well, they're going to be contained as long as
23 you release them to a pit and don't allow the pit to leak,
24 right?

25 A. Exactly.

1 Q. Now, you talked a little bit about the rule
2 against migration of fluids. And I forget the cite. It was an
3 exercise where we looked it up, the anti-migration?

4 A. Yes. It's to prevent formations at different
5 pressures and different compositions from intermingling. So
6 there is a rule we've had against that.

7 Q. "We" being the OCD?

8 A. Yes.

9 Q. In fact, that rule has been in place for 70-some
10 years, right?

11 A. Yes, it has.

12 Q. But it was originally intended to keep the water
13 from harming the oil zones, wasn't it?

14 A. It does mention that in there, but because of a
15 prevention of waste.

16 Q. But now it's come to be interpreted as against
17 allowing fluids from any zone to migrate into any other area
18 zone; is that right?

19 A. Well, it's recognized that there is a problem
20 when fluids do migrate and intermingle.

21 Q. Okay. And --

22 A. And if you get a good cement job, you've gone a
23 long way toward preventing that.

24 Q. I'm going to read you the rule on that. It says,
25 "During the drilling of oil, oil well, injection well or

1 service well, the operator shall separate oil, gas and water
2 strata above the producing injection horizon to prevent the
3 contents from passing into other strata."

4 Section B, "The operator shall ensure that fresh
5 water and water that has present or probable value for
6 domestic, commercial or stock purposes are confined to their
7 respective strata and are adequately protected by Division
8 approved methods. The operator shall take special precautions
9 and methods satisfactory to the Division in drilling and
10 abandoning wells to guard against loss of Artesian water from
11 the strata in which it occurs and the contamination of Artesian
12 water by objectionable water oil or gas."

13 Is that the rule to your understanding, I assume?

14 A. That's exactly the rule.

15 MS. FOSTER: Chairman Fesmire, could I just ask you
16 for the cite of that rule? And if that's been changed, the
17 number?

18 CHAIRMAN FESMIRE: Well, it has officially been
19 changed as of December 1st. It's 19.15.16.9.8(B).

20 MS. FOSTER: Thank you.

21 Q. (By Chairman Fesmire): You mentioned using this
22 diagram that they -- I don't know whether it was on the Black
23 Ferrell No. 1 or on another well that you were talking about --
24 that they opened the Bradenhead and found fluids; is that
25 correct?

1 A. Yes.

2 Q. Was that the Black Ferrell No. 1?

3 A. Yes.

4 Q. Were those flows under pressure?

5 A. They mentioned some oil and water. They didn't
6 say anything about pressure.

7 Q. So there was some communication between that area
8 just under the surface there and the zones that were producing
9 oil and water; is that correct?

10 A. There must have been. It's a mystery as to how
11 it got in there, but unless it was swept with the original --
12 it could have been swept, I think, with the original cement job
13 up to the surface and then trapped there.

14 Because the records on the actual depths of the
15 intermediate casing was off at least 20 feet, and the mention
16 that it circulated was not verified with anything. So that's
17 why I didn't put those little cross-hair patches much further
18 than the 364 feet up.

19 Q. But later when they went into it and found the
20 casing -- that the casing wasn't competent so they probably
21 shouldn't have been surprised that they had corrosion problems,
22 apparently.

23 A. They had corrosion problems, and my theory is
24 that it is because of all those years of intermittently
25 producing the well on and off and it being open from 2600 feet

1 all the way to -- the annulus was open all the way to the
2 surface. So there was possible corrosion that happened due to
3 that.

4 It was bad enough for Tecton to feel like they needed
5 to set a scab liner all the way from the surface down to right
6 above the perforated interval. And then they tried to beat
7 that horse further by perforating again and re-fracing the
8 well. And so, just unfortunately, it hasn't been a good well.

9 Q. Did they set their pump above the perms?

10 A. No.

11 Q. Sorry. Now, Ms. Foster mentioned something about
12 the cuttings from water wells just are spread on the surface --
13 they are disposed of on the surface; is that correct?

14 A. That's -- from what the water wells I've seen
15 being drilled over on the eastern side of the State, they're
16 just, you know, water sand and caliche or whatever comes out.

17 Q. Are those cuttings generally contaminated with
18 salt water or drilling chemicals?

19 A. No. I don't think so.

20 Q. So that's not the same situation as spreading oil
21 and gas well cuttings on the surface; is that correct?

22 A. No, it's not.

23 Q. Now, you had a little discussion about waste.
24 And there was some things said about leaving oil or gas in the
25 reservoir if that oil and gas is not economically viable to

1 produce, if you're not capable of producing that oil and gas at
2 a reasonable profit: Is it waste to leave it in the formation?

3 A. No, it wouldn't be. I wouldn't think so.

4 Q. Why would you say that?

5 A. Because it's -- if you've got it trapped there,
6 someday it's like it was originally, and it can be produced as
7 a price goes up. Or if some other method of enhancing the
8 reservoir comes along, well, you may be able to do something
9 with it as far as -- there's a lot of reservoirs that have some
10 oil saturation in them. But they're not -- the oil's not
11 recoverable under the current -- and maybe never will be
12 recoverable.

13 Now, if you cover a good well with cement and try to
14 maintain the pressure the way it was originally, well, you
15 shouldn't -- I don't think that's called waste.

16 Q. But I know for a fact that you spent some time
17 running economics for oil and gas prospects.

18 A. Yes. If you've got competing opportunities, you
19 have to run economics, differential economics, to see if you've
20 got -- and I think even a regulatory body, a lot of them demand
21 that -- especially if there's competing issues -- they look at
22 that. I notice the OCD hasn't required that as much as I've
23 seen in like the Railroad Commission, the Southern Utes, the
24 Williston. I've had to present economics to all those, and the
25 only time we see economics presented here usually is for

1 waterflood proposals or for some competing -- oil companies are
2 fighting each other on whether to do a certain procedure or
3 not.

4 Q. Okay. The people that collect taxes and don't
5 pay the bills, a well will be economic to them a lot longer
6 than it will be for the operator, correct?

7 A. Exactly.

8 Q. But it's not waste if we cease producing at the
9 point when the operator's not making any money, is it?

10 A. No, no. It's got to be economical.

11 Q. And, in fact, have you ever heard of a regulatory
12 body demanding that somebody continue to produce because it was
13 waste to leave uneconomic resources in the ground?

14 A. No. Detroit comes to mind right now, but I don't
15 think -- that's a good point.

16 Q. Now, you ask a lot to compare Otero Mesa and the
17 Galisteo Basin. Am I correct in seeing Otero Mesa is
18 essentially a very water-rich region of the State; is that
19 correct?

20 A. Very water-rich.

21 Q. In fact, the Salt Basin is considered by some to
22 be the last of the big fresh water basins in New Mexico.

23 A. I think El Paso's acutely aware of that.

24 Q. But that's not the situation in the Galisteo
25 Basin, is it?

1 A. You know, along faults you may have some water.
2 I know you have water recharge in places, but from what I saw
3 in the logs, the only logs that are available -- of course, the
4 oil companies are not going to drill in areas that are going to
5 be water productive. But I didn't see a big water productive
6 capability here, especially below where they set their
7 intermediate -- or their bottom of their pipe -- from there on
8 down was really low resistivity.

9 And I think -- what is that, the lower Mancos and the
10 Dakota? So that's still Cretaceous stuff. But it was really
11 low -- high salinity stuff -- really high. But once you get
12 from 2500 up to 1800, there was some stuff that looked like it
13 was potentially 10,000 or so depending on how you interpret the
14 logs, but there was no -- so it was protectable.

15 But I didn't see any big, thick sands that you can
16 actually produce in any kind of quantities like they would in
17 the Rio Grande Rift area or something.

18 Q. I guess what I'm asking you is that the statement
19 was made earlier that a one-solution-fits-all probably wouldn't
20 work when you compare Otero Mesa to the Galisteo Basin; is that
21 correct?

22 A. That's correct.

23 Q. There are differences, aren't there?

24 A. There is differences in all of our basins, there
25 sure is.

1 Q. Okay. One of the things that you talked about in
2 your testimony was that there was a -- that we would be
3 affording the water in the Galisteo Basin greater protection.
4 Does that exist throughout -- if oil were to be discovered out
5 there and if a field were developed, would the same rules apply
6 throughout the life of that development?

7 A. They would. In the Galisteo Basin?

8 Q. Yes.

9 A. Yes, they would. The cementing rules --

10 Q. But I'm talking about some of the others things
11 in there, the proposed rules on development plans and things
12 like that. Would they apply to every well that was drilled out
13 there?

14 A. It would need to be included in the plan. The
15 plan would need to be comprehensive and -- it would include the
16 wells and then the impact around those wells. The surface
17 stuff -- I would need to refer that to Glenn, but it definitely
18 would include all the wells.

19 Q. Okay. But it would need to be a flexible plan.
20 You wouldn't incur the same costs for a development well, for
21 instance, that you would incur for an exploration well?

22 A. No, you wouldn't. And that's typical in
23 exploration and development. The exploration wells are the
24 most expensive, as all of you Commission members know, and that
25 the development wells progressively get cheaper as you learn

1 more about drilling methods and what pipes you need to set at
2 certain depths and get more efficient. And actually, the
3 contracting to do more wells at once, that kind of a thing,
4 less coring, it definitely gets cheaper.

5 CHAIRMAN FESMIRE: Ms. MacQuesten, do you have
6 redirect for this witness?

7 MS. MACQUESTEN: Yes, I do.

8 REDIRECT EXAMINATION

9 BY MS. MACQUESTEN:

10 Q. Mr. Jones, I'd like to take you back to a
11 question that Mr. Hall asked you in cross-examination. And
12 paraphrasing here, but he asked you something about whether the
13 OCD presented more hydrogeologic and geologic testimony when it
14 proposed its rules for Otero Mesa and Sierra Counties than it's
15 presented here today, and you agreed that was true, did you
16 not?

17 A. Yes.

18 Q. You were here for the hydrologic and geologic
19 testimony of Mr. Morrison from the State Engineer's Office?

20 A. I was.

21 Q. And do you remember him talking about the complex
22 geology in the basin?

23 A. Yes.

24 Q. And the faulting?

25 A. Yes.

1 Q. And do you remember him saying that the geology
2 conditions change if you move just a short distance?

3 A. Yes, I do.

4 Q. And do you remember him saying that water quality
5 will change if you move just a short distance?

6 A. And that's something he would uniquely know.

7 Q. Are you aware of any evidence that would
8 contradict Mr. Morrison's testimony on this?

9 A. I think his knowledge is from 500 feet up, but
10 that's the only thing I would say about that.

11 Q. Do you know anything about -- is there
12 information lower than 500 feet?

13 A. Well, I take that back, yes. There's obviously
14 wells north of Santa Fe that's drilled 1,000 feet, really good
15 water. But as far as potable water, that's -- I think your
16 question was --

17 Q. Do you disagree with Mr. Morrison's testimony?

18 A. No, I don't.

19 Q. Do you remember that he recommended a
20 site-specific analysis because the conditions were so
21 changeable?

22 A. He did.

23 Q. Do you agree with that?

24 A. Yes, I do agree with that. I think once a
25 structure gets identified, an oil and gas structure, and if

1 they ever hit a structure out here that actually produces, I
2 think then you know the limits of that structure and you're
3 going to -- then things will be a lot clearer within that
4 boundary.

5 Q. So are you saying that while -- when we are at
6 the point where conditions are not well known, we should do a
7 site-specific analysis?

8 A. Yes.

9 Q. But you're willing to say that at some point you
10 may get enough information to be able to generalize to a
11 certain extent?

12 A. Yes. I think -- site-specific meaning -- what
13 I'm looking at here, the logging and the mud logging and the --
14 I think that is fine on every well. There's nothing wrong with
15 doing that on every well. Because I agree, things can change
16 real rapidly.

17 If fresh water is encountered a lot deeper, it's
18 usually, in my experience, has been because of some kind of
19 fault that the oil companies did not want to drill into anyway.
20 But all of a sudden they encounter it, and it's fresh water at
21 great depths. And it gets turned over to a rancher or
22 something, you know.

23 But it can change really quickly, and he showed the
24 fault coming from Lamy all the way across, and you can see it
25 on the surface out there, that big fault when you're driving

1 through Lamy, you can see that. But there's definitely some
2 geologic events that have happened.

3 Q. You testified that the OCD already can put
4 site-specific conditions into an APD; is that right?

5 A. Yes.

6 Q. Is that done at the district level now?

7 A. Yes.

8 Q. What position in the district?

9 A. District geologist.

10 Q. Does the district geologist also review the
11 spacing of wells to make sure that the spacing that the
12 operator is proposing is applicable spacing rules?

13 A. They do, on the bottom producing interval
14 proposed in the well.

15 Q. What district is Santa Fe County in?

16 A. District 4.

17 Q. How many people staff the District 4 office?

18 A. One person.

19 Q. So that one person handles well spacing issues
20 and the setting of conditions on APDs?

21 A. Handles everything.

22 Q. Inspections?

23 A. Inspections -- well, he can ask for help from our
24 Environmental Bureau, but it's one person.

25 Q. Have you worked with the person who is

1 District 4?

2 A. Yes.

3 Q. For how long?

4 A. He's been in that -- the current position
5 District 4 has been filled since -- the last guy, Roy Johnson,
6 retired. And Roy had been there for 20-plus years, and I think
7 Ed Martin is the current one, and he's been there for, I would
8 say, three years.

9 Q. Okay. Did you work with him before he became
10 District 4?

11 A. Just barely. He was in the Environmental Bureau.

12 Q. Are you aware of his educational background?

13 A. Yes.

14 Q. Is he a geologist?

15 A. No.

16 Q. So under the current rules, a non-geologist would
17 be looking at well spacing and would be imposing conditions on
18 the APDs for wells in this area?

19 A. Yes. But he'd have to follow our rules. But the
20 rules are there, but whoever mans the district has to follow
21 the rules.

22 Q. So we have an area of complex geology with a
23 non-geologist imposing conditions on APDs under current rules?

24 A. Yes, that's true. He could always ask for help.

25 Q. Under the proposed rules, does he get that help

1 automatically?

2 A. Yes.

3 Q. Under the proposed rules in Section 10, do the
4 rules provide default provisions that would apply to APDs
5 unless an operator can come forward and show that they're not
6 necessary?

7 A. They do. They do.

8 Q. And in Section 9 that involves Exploration and
9 Development Plans, does that provision allow for the OCD to
10 impose conditions on an Exploration and Development Plan?

11 A. They do. And that would be after notice and
12 hearing.

13 Q. Could that provision be used to address
14 situations such as the one Commissioner Olson brought up about
15 saltwater disposal wells that might be proposed in this area?

16 A. Yes.

17 Q. There was another question from Mr. Hall to the
18 effect that the OCD have not mapped the aquifers in the
19 Galisteo Basin?

20 A. Yes, I remember that question.

21 Q. And I believe there was also a question about
22 whether we had conducted studies based on the water well
23 information that was available?

24 A. Yes.

25 Q. Are you aware of the two hydrologic studies that

1 have been introduced into evidence from the Office of the State
2 Engineer?

3 A. I -- yes, I am.

4 Q. At least from being present for testimony?

5 A. From being here.

6 Q. And were you present when Mr. Morrison testified
7 that that information was based on the available information
8 from the water wells?

9 A. Yes, that's true, it was.

10 Q. Before an area is developed for oil and gas, does
11 the OCD go out and dig wells to gather data for the operators?

12 A. No.

13 Q. Do we have the authority to go out and dig wells?

14 A. No.

15 Q. There was some questions about protection of
16 fresh water, and I would like you to think back to the
17 testimony from Mr. Morrison from the State Engineer's Office.
18 Do you recall him stating that the State Engineer's Office is
19 going to assume that any water in the Galisteo Basin is fresh
20 water unless shown otherwise?

21 A. Yes, I remember. And also the discussion about
22 the 2500 and possibly hydrologically connected below that.

23 Q. And was it your testimony also that the OCD's
24 obligation under the statute is to protect fresh water?

25 A. Yes.

1 Q. So what is our obligation as to any water found
2 while drilling in the Galisteo Basin given the assumption of
3 the State Engineer's Office that it is fresh?

4 A. We determine on a well-by-well basis whether it
5 is fresh or not. But we plan on it -- the operators will have
6 to drill their wells with one size too big a casing, basically,
7 which will add a little bit of cost to basically almost
8 every -- especially every delineation or wildcat well so they
9 can have the capability of running one extra string of --
10 casing. And it will protect any -- and fresh waters will be
11 determined as the well is logged or mud logged or both, and
12 that any fresh water -- anything less than 10,000 TDS will be
13 covered with two strings.

14 Q. Do I hear you saying then, that the assumption is
15 that the water is fresh and will require protection unless it
16 is shown by the operator through the process of gathering
17 information that it's not protectable water?

18 A. Yes. And they can't afford to drill a well that
19 doesn't have the capability of running the extra string of
20 pipe, so they will plan on that accordingly.

21 Q. I'd like to refer back to a question from
22 Commissioner Bailey who was asking about if an operator drills
23 a well in an undeveloped area -- something to the effect that
24 he won't know where to put his second well until he drills his
25 first one. Do you remember that?

1 A. Yes.

2 Q. How many wells is Tecton currently proposing?

3 A. I saw three. I think they had proposed more
4 earlier, and now the current proposal is three.

5 Q. In your position at OCD, do you deal with
6 administrative permit applications?

7 A. Not to drill.

8 Q. Okay.

9 A. Just for exceptions to our rules.

10 Q. Could you give us some examples?

11 A. Surface commingling, downhole commingling,
12 saltwater disposals, nonstandard locations.

13 Q. And you also serve as a Hearing Examiner when
14 these matters are disputed?

15 A. Yes. Or they are required to go to hearing for
16 other reasons.

17 Q. In your experience in hearing those cases, do
18 operators make representations to you about their plans for
19 future developments?

20 A. No.

21 Q. How about a waterflood situation? Do they talk
22 about it one well at a time, or do they tell you what they plan
23 to do for the project?

24 A. The project -- for a waterflood, it's the only
25 situation where multiple wells are discussed.

1 regulatory agencies; is that right?

2 A. Yes.

3 Q. Do operators tell investors what their plans are
4 for future development?

5 A. Yes.

6 Q. In your experience dealing with the applications
7 that you see from operators, if an operator doesn't think
8 through its plans for future development, can that cause
9 problems for the operator down the road?

10 A. Oh, yes. What really comes to mind is pipelines
11 and facilities. That needs to be -- you have to have enough
12 reserves that you can develop before you can justify big
13 pipelines or, for oil facilities, it's not as bad, but you
14 still need to handle your gas coming from oil wells.

15 Q. Does it make sense -- you talked about the
16 economic analysis. Does it make sense to go into an
17 undeveloped area that doesn't have infrastructure and drill one
18 well without thinking forward as to what your next step is
19 going to be?

20 A. No, it doesn't.

21 Q. What purpose do you think an Exploration and
22 Development Plan serves in requiring operators to give
23 information of their intentions regarding future developments?

24 A. I think a plan is valuable. It's valuable not
25 only -- the operators have a plan, whether we see it or not.

1 Q. What about pooling orders?

2 A. Pooling -- you mean special pool rules?

3 Q. Special pool rules or pooling an area?

4 A. The geologist basically decides if one stratum of
5 oil or natural gas is one common source of supply, so they
6 determine that to be one pool of oil or natural gas. And then
7 if an operator or the OCD decides there needs to be special
8 pool rules for that pool, well, then, it's heard at the notice
9 in hearing.

10 Q. And in deciding the special pool orders, is well
11 spacing one of the issues that can come up?

12 A. Most commonly well drainage area is one of the
13 big things that come up.

14 Q. And do the operators make representations as to
15 the number of wells that they're going to have to properly
16 drain the area?

17 A. They do. For a -- yeah, they do. And by that
18 time, they've -- at least they think they have the area
19 delineated enough to -- and they have enough knowledge on it to
20 decide whether -- how much well density or the spacing, which
21 is two different things, but anyway --

22 Q. So are operators willing to come forward with
23 representations about their future plans when they need to?

24 A. Yes.

25 Q. You've worked in the industry as well as in

1 They have some sort of plan. Oftentimes, preparing a plan for
2 view by a regulatory agency, they actually -- it actually gets
3 debated a little bit even more thoroughly even within the
4 company itself.

5 But as far as the purpose it serves, it would serve
6 to put everybody on notice who statutorily is responsible for
7 different things that would be affected by oil and gas
8 drilling.

9 Q. Does it serve a purpose for the operator as well?

10 A. Oh, yeah.

11 Q. How so?

12 A. Well, it -- you need to know your plan. When
13 you're drilling rank wildcats, you're looking sometimes just
14 for statistics to know how to step further in drilling like on
15 structure wildcats or something like that, and then drill some
16 more development wells.

17 But if you don't have -- you can't roll the dice to
18 drill a wildcat well without knowing how big the prize is that
19 you're going to find. So you need to have to make some sort of
20 estimate about the reserves that you're going to potentially
21 find when you drill wildcat wells. So operators in exploration
22 groups traditionally run risk economics. And what that is, is
23 it'll do a Monte Carlo simulation of drilling where you put in
24 the minimum and maximum reservoir size that you think you're
25 going to find, and then the model rolls the dice enough times

1 and spins the money for each well.

2 And then you have a certain risk factor so if your
3 risk factor is one in four, which is a really -- actually a
4 good risk factor for a wildcat well, well then, if it rolls the
5 dice enough times, then 25 percent of your wells will hit. And
6 then 75 percent of your wells will be dry holes.

7 But then the wells that do hit will have a certain
8 size of reservoir that will be developed from those. So it's
9 just a quick summary of risk economics, but somebody has to do
10 it, unless you can talk some investor somewhere into investing
11 a bunch of money where you don't give them an idea of what they
12 can get, but most investors should be smarter than that.

13 MS. MACQUESTEN: No more questions. Thank you.

14 CHAIRMAN FESMIRE: Mr. Hall?

15 MR. HALL: Thank you.

16 RE-CROSS-EXAMINATION

17 By Mr. Hall:

18 Q. Mr. Jones, I want to ask you since you were asked
19 about economics, in the course of the Division's crafting of
20 the proposed rule, did the Division consider the economic
21 effect on operators of implementing these rules at all?

22 A. I thought about it, at least as far as the
23 surface on down what will happen. As you know, the cost of
24 drilling have both skyrocketed in the last ten years, along
25 with the prices.

1 Prices of drilling are so fluid, but undoubtedly
2 there will be more cost to having to start your hole bigger in
3 size and then possibly running an extra string of casing, so I
4 thought about it. As far as the surface stuff, that will be --
5 I didn't work on that.

6 Q. Okay. I'm still struggling to understand what
7 the Division's expectations are when an operator is to describe
8 a plan area and its E&D Plan submittal. And Commissioner
9 Bailey asked you about some of the special pool rules cases you
10 recently sat through and participated in, and as I understood
11 your response to her, are you looking for an operator to try to
12 delineate the productive limits of a common source of supply?
13 Is that what you're --

14 A. The surface impacts, obviously, there needs to be
15 some estimate of what might be developed, but the way I
16 envision it, the plan would come forward and there would be
17 some kind of estimate made about how many wells will be drilled
18 and what spacing and well density, at least. And then that
19 would be accounted for. And then if there was a revision due
20 to some fortunate fact that they actually discovered something,
21 then they would come back for a revision.

22 Q. After five years, we convert from an approved
23 plan to special pool rules, correct? Is that the way it works?

24 A. I am not probably -- I better defer to the next
25 witness on that. That is something I'm not --

1 Q. Well, you addressed it briefly to Commissioner
2 Bailey is why I'm asking you.

3 A. Yes. The special pool rules has to be only for
4 the wells that are for the pool boundary. You know, you have
5 to have a pool, so you have special pool rules for it, and you
6 don't have a pool until you have at least one producing well in
7 that pool. And then everything within a mile around the
8 boundaries of the spacing unit that that well is in would be
9 included -- would have to obey the special pool rules.

10 Q. Okay. Are we going to follow the process
11 currently in place for nomenclature cases and pool extension
12 cases where you step out of pool boundaries a proration unit at
13 a time? Is that what you envision?

14 A. I haven't -- I wasn't even asked to cover that in
15 this plan, but I better not. But I can't imagine it not being
16 that way.

17 Q. Okay. And so then anything within a mile of the
18 boundary of the E&D Plan then converted to special pool rules
19 area would be undesignated portions of that same pool, correct?

20 A. Correct.

21 Q. And those same provisions would apply to that
22 new, one-mile area as well. Is that the way it works?

23 A. I would -- we would have to hear the plan. I
24 hate to -- I wouldn't want to extend the effect of the pool
25 beyond the one-mile boundary, if that's what you're saying. I

1 wouldn't want to do that. If the effect of like a well drilled
2 real close to the one mile outside of it, I don't think, unless
3 there's other surface effects, that basically Wayne Price's
4 group would be concerned about.

5 Q. Okay. And you're aware of some of the one-well
6 science projects we're doing around the State like in the
7 Tucumcari Basin right now out in the middle of nowhere?

8 A. Yes.

9 Q. Could you do a single well E&D Plan in Santa Fe
10 County?

11 A. Yes. I don't see why not.

12 Q. You don't want to preclude that, do you?

13 A. No, definitely not.

14 Q. So it wouldn't be necessary for an operator to
15 give you a full-blown plan for future development when all they
16 are looking at is a single well?

17 A. No, it wouldn't, if that's definitely all they're
18 looking at.

19 Q. Let me ask you one more question, since you had a
20 hand in 9(B)(7), (c)&(d). And (7)(c) -- (B)(7)(c), your mud
21 logging program provision --

22 A. Okay.

23 Q. -- you used the term -- well, the term is used
24 "fresh water zones."

25 A. Yeah.

1 Q. And my question is: Is there a special
2 connotation to the use of zone? In other words, is that an
3 established geologic term such as "member" or "interval"?

4 A. That was put in there, and I kind of objected to
5 that as a non-geologic terms myself. So I think I better --
6 the only thing we can say on that is it's a lens. It's a
7 geologic lens.

8 Q. Well, you're asking for mud logging data on fresh
9 water zones. So what is the operator to do, in your view, if a
10 formation contains fresh water but not through the entirety of
11 its vertical extent: Do you have to provide data for the full
12 extent for that formation or just the saturated portion? What
13 are you looking for?

14 A. The logs would be surface to TD. As far as the
15 mud logs go, they would be that way, too. But it would just be
16 the lithologic description of the thickness of that sand and
17 anything else that the mud logger can show, you know, drill
18 times, basically the -- are you saying a fresh water zone above
19 a producing zone? What would the mud logger show on that?

20 Q. Well, what I'm driving at is when the Division
21 would act to protect fresh water and do so in a fresh water
22 zone, is it looking only for, say, special casing and cementing
23 protocols in the saturated portions of the zones or the
24 entirety of the formation?

25 A. We didn't zero out potential produceable fresh

1 water from this. We just proposed to the Commission fresh
2 water, which is defined by the Sate. So we didn't -- even if
3 it can't be produceable, I mean -- or like, you know, ten
4 barrels a day of water, if it's fresh, we propose it to be
5 covered with two string of pipe.

6 Q. Okay. I understand. No further questions, Mr.
7 Chairman.

8 CHAIRMAN FESMIRE: Ms. Foster?

9 MS. FOSTER: Thank you.

10 RECCROSS-EXAMINATION

11 BY MS. FOSTER:

12 Q. I'm following up on the same line of questioning:
13 The operator would need to put down a second string if he's in
14 fresh water or there is fresh water detected?

15 A. Yes.

16 Q. Okay. And how is this operator supposed to
17 detect that he's less than 10,000 TDS?

18 A. That would be the communication, the daily mud
19 log to the Division. Obviously, the operator has a geologist
20 watching his well also and an engineer, and a log analysis of
21 the logs would show whether there is fresh water, and at that
22 point, you have to either look at your casing program. So you
23 have to have enough casing on site to do all this. You would
24 have to.

25 Q. But you would actually be able to determine and

1 test the quality of the water on site without stopping
2 operations or halting --

3 A. The electric logs is the only way unless you stop
4 and do a drill test and we didn't propose that.

5 Q. So but you can determine the quality by electric
6 logs?

7 A. Yes. Infer -- it's an inferred quality.

8 Q. Okay. And this is going to be an inferred
9 quality by the company geologist?

10 A. It's going to be presented by the geologist or
11 the petri-physicist from the company and agreed upon by the
12 OCD.

13 Q. By the non-geologist that's heading up District 4
14 right now?

15 A. He would have to review that analysis.

16 Q. Okay. Now, what were to happen in an instance
17 where you have operator that decides to air drill, for example,
18 his first string and the cuttings at some point start coming up
19 wet. Is that an assumption that you've hit a fresh water zone?

20 A. You would log it and then determine whether it
21 was considered less than 10,000 or not.

22 Q. Okay. But is there going to be any sort of a
23 question in terms of the porosity of the cuttings? Is there a
24 determination that operators would have to know when cuttings
25 would be considered wet enough to be considered a fresh water

1 zone?

2 A. No. The mud log, or the sample descriptions,
3 would help determine whether it's a big, thick saturated sand
4 or sand that would be capable of definite production of water.
5 And then the logs would have to be run to determine that. So
6 you're not going to know until you either run logs or case it
7 off and then run interior, inside logs, on your casing -- your
8 cased hole logs.

9 Q. So it sounds like there's a possibility that you
10 would have to stop and case it off if you end up with wet
11 cuttings?

12 A. Yes. And that's -- drillers like up in Wyoming
13 or in the Gulf Coast, they have to allow for potential changes
14 in lithology that would cause them to stop and set pipe,
15 something like that.

16 But, you know, in this case, all we're asking for is
17 two strings of pipe cemented would cover that. You know, you
18 could always keep drilling and then do it later.

19 Q. Okay. Now, you stated on direct that companies
20 make estimates on how big the prize is going to be and that's
21 when they do the risk economics?

22 A. Yes.

23 Q. As it sounds like to me -- and correct me if I'm
24 wrong -- that this type of information, this risk economics
25 information, would be useful to you as part of the E&D Plan.

1 A. They're not going to know -- they're going to be
2 able to present maybe a most likely, you know, a geometric
3 mean, maybe, size of the reservoir that they're hoping to get.
4 In order to drill a \$3 million well, you're not going to drill
5 one if you think you're only -- if you hit something, you're
6 only going to be able to drill offset and that's it, because it
7 wouldn't be worth the cost of the risk. So it would be useful
8 information. Yes, it would.

9 Q. Okay. But isn't this having the OCD kind of
10 enter the foray and making business decisions for a company?
11 In other words, you're reviewing their business decisions and
12 risk economics if we have to give you that information?

13 A. The plan, as I envision it, is just the amount,
14 the size of it, will determine the potential impact of surface
15 impact reasons. But you're right in what you're looking at if
16 you're strictly looking at it from that standpoint, is that if
17 they come -- and Mr. Hall probably was getting to the same
18 point -- is, you know, what we're going to drive them to do is
19 come to us with a one- or two-well plan.

20 Q. Well, that was going to be my next question.
21 With the EDP, the Economic and Development Plan, being as
22 stringent as it is presented here in the rule, wouldn't it make
23 more sense for an operator if you are going into a wildcatting
24 area to do an Exploration and Development Plan for one well to
25 see what you're going to find?

1 A. It does, and there's nothing wrong with that.
2 But then when you go to expand it, then you'd have to get a
3 revised plan. You'd have to go to hearing to get a revised
4 plan.

5 Q. Well, you would require us to expand it? In
6 other words, amend the original Exploration and Development
7 Plan? Or could we come in and say: We've done one, it's
8 reasonably successful, and now we'd like to do or we think
9 that, you know, there's a pool here, and we'd like to do four
10 or five more. And, therefore, we will do a larger Exploration
11 and Development Plan for the second request?

12 A. That's the way I envision it. I was just focused
13 on downhole stuff, but that's definitely -- this is not
14 something to stop development. It's something to prevent
15 waste, protect correlative rights -- but to protect the fresh
16 water. And put everybody on notice that this is happening.

17 Q. Right. Put everyone on notice that this is
18 happening. Now, correct me if I'm wrong, but the Exploration
19 and Development Plan really is to look for statistics and
20 information on this potential pool, correct, to give you
21 information at the OCD?

22 A. As far as the downhole part of it, we would be
23 looking at -- different groups would be looking at the effects
24 on their -- what they're looking at. Wayne Price's group would
25 be looking at surface impact of, like, drilling ten wells, and

1 the cultural affairs people, they could get involved if they
2 want to or something, but as far as the downhole stuff, you
3 know, every well is going to be pretty much logged and mud
4 logged, so it's not -- as far as from what I was looking at
5 here, it's not --

6 Q. But we'll be giving you more information as you
7 develop a potential future pool, the downhole stuff --
8 information that we give you?

9 A. Yes.

10 Q. Okay. But for everybody's Economic Development
11 Plan there has to be public comment and a hearing, particularly
12 if there's a new one or if there's an amendment, correct?

13 MS. MACQUESTEN: That misstates the rule,
14 Mr. Chairman.

15 CHAIRMAN FESMIRE: Is that an objection?

16 MS. MACQUESTEN: Objection.

17 CHAIRMAN FESMIRE: And the objection is?

18 MS. MACQUESTEN: She's assuming facts not in
19 evidence. The rule states -- speaks for itself. It provides
20 for an automatic public hearing at the initial Exploration and
21 Development Plan stage and a public hearing may be held on
22 amendments. It's not required to be.

23 CHAIRMAN FESMIRE: Okay. Ms. Foster, would you like
24 to rephrase the question?

25 MS. FOSTER: No. I just appreciate the correction.

1 Thank you.

2 Q. (By Ms. Foster): Now, Commissioner Fesmire asked
3 you about the quality of the sands that come up when people
4 drill a water well. Is it possible that those sands could come
5 up with greater than 250 milligrams or kilograms of chlorides?

6 A. Yes, it is. According to this, from what I saw
7 here from the State Engineer, he did show that some waters -- I
8 thought I saw some 2500 TDS waters that were sampled when they
9 tried to get fresh water.

10 Q. Okay. So they could come up with -- it's not
11 fewer sands when you're drilling a water well. They have
12 contaminants in the sands?

13 A. Yes.

14 Q. Naturally occurring contaminants?

15 A. Yes.

16 Q. Now, listening to your testimony on both direct
17 and cross-examination and recross-examination, it seems to me
18 that this rule really should apply to wells that are in the
19 exploration phase, or basins that are in exploration phase, as
20 opposed to a development phase. Is that an accurate statement?

21 A. The downhole stuff that I was talking about, I
22 definitely think that any wildcat all over the State would be
23 benefitted by that. As far as the potential surface impact and
24 the notification to, you know, the local authorities, that
25 would be a different thing I would assume. I'm just not as up

1 on the surface stuff as --

2 Q. But then for the downhole stuff, would it be fair
3 to say this could actually be for wildcat rules for the State?

4 A. It could be. I would go through a -- you know,
5 obviously, you know, it would need to have enough flexibility,
6 because all basins are a little bit different, and you don't
7 want to, you know -- just the more rigid you are with
8 requirements, the less, you know, chance you have to let people
9 actually get the drilling done.

10 Q. Right. But if the purpose of this rule is to get
11 more information to understand those basins, then requiring the
12 information in your Exploration and Development Plan with the
13 additional monitoring and the mud logging from the surface and
14 all that, would eventually give you that information. In other
15 words, you wouldn't need as much information in a developed
16 basin than you would in a wildcat basin?

17 A. No. You definitely need more information, not
18 only where the potential -- where the lithology, where the oil
19 saturation is and where the protectable water is, then you
20 definitely don't need that in all areas.

21 Q. Okay.

22 MS. FOSTER: I don't have any other questions.

23 CHAIRMAN FESMIRE: Mr. Hall, do you have any more
24 questions?

25 MR. HALL: One question. I asked you about the

1 horizontal limits for E&D Plan areas in special pool areas. I
2 didn't ask you about the vertical limits. Are there to be any?

3 THE WITNESS: I think as far as from the well to the
4 surface, that would be -- and then on the surface from the
5 well's TD to the surface. But that is kind of a good point
6 because Tecton's other wells are proposed to be actually deeper
7 than this Black Ferrell well, so it would be from, you know --
8 that would have to be presented as part of the plan as to what
9 the proposed depths would be and how they would affected.

10 That's a good point. Thanks.

11 MR. HALL: Thank you.

12 CHAIRMAN FESMIRE: Commissioner Bailey or Olson?

13 COMMISSIONER BAILEY: No.

14 COMMISSIONER OLSON: I just have one question.

15 FURTHER EXAMINATION

16 BY COMMISSIONER OLSON:

17 Q. I know I brought it up before, but you had just
18 gone over it a little while ago. It's back to the potable
19 water again. You seem to be implying that people in the
20 Galisteo Basin are only using potable water as a source for
21 residential wells. Are you aware that there are a number of
22 wells in the Galisteo Basin that use water that's considered
23 non-potable for residential uses?

24 A. Actually, I wasn't aware of that. And I'm sorry
25 I gave that impression, but what I'm trying to say is that the

1 naturally occurring shallow, fresh water sands that should be
2 protected -- but we've got it in our rule to protect all fresh
3 waters that are anything less than 10,000 TDS. But you know,
4 the depth of setting the surface pipe is the main thing I'm
5 talking about.

6 Q. Well, I guess I just come back to the protection
7 of fresh waters in the rules. And, I guess, would it surprise
8 you that there are a lot of wells in the Galisteo Basin that
9 supply water for residential use that are considered
10 non-potable?

11 A. Over 1,000 TDS?

12 Q. Yes.

13 A. It would. I didn't know that. Did I use the
14 reverse osmosis units on them?

15 CHAIRMAN FESMIRE: He asks the questions; you give
16 the answers.

17 THE WITNESS: I definitely was not aware of that.
18 But I'm not implying that only potable water should be
19 protected. But, you know, I guess from what I saw in the
20 induction logs -- I didn't see any induction logs from
21 1800 feet up. That's a good point.

22 But from 1800 feet down to 2500 feet in that
23 particular well, I didn't see any sands that could give up any
24 measurable quantities of water to actually -- you know, maybe
25 one or two households. But, you know -- and it definitely is

1 in our plans to protect that water, but it's not something that
2 you could drill into for a big -- at least in that well. You
3 know, we didn't have enough logs, I admit.

4 And geology, as you know, is so variable, and there
5 is faults that can have high-volume waters, but there's a
6 difference between tight reservoir rock that might have some
7 waters less than 10,000 TDS in it than the Rio Grande Rift
8 where you've got tertiary sediments that fell in on the last
9 less than ten million years. And they're unconsolidated and
10 they're charged up with fresh water, you know, like Rio Rancho
11 might be doing.

12 That's what I'm saying. You can't get that much
13 water. They can't even get that much water out of their
14 perforated zone, and that's the biggest sand in that well.
15 And, you know, it don't come out with the oil. So the
16 permeability is not there.

17 Q. (By Commissioner Olson): But you seem -- I'm
18 getting confused. You seem to be implying that if it doesn't
19 have good permeability, then the water quality is poor.

20 A. No. The water quality is definitely not poor.
21 But it's not very good, but it's not poor. But it's
22 protectable, and we are proposing in this rule to the
23 Commission that those types of waters be detected and protected
24 with two strings of casing and two cement sheets over the whole
25 thing.

1 Q. And I might point out -- I guess it was presented
2 earlier in OCD Exhibit 40, if you look at Figure 2, which had
3 TDS water quality from water wells within the Galisteo Basin.
4 That if you look at that map, there's approximately 50 wells
5 within the basin that are being used as water wells of what you
6 consider to be non-potable water; is that correct?

7 A. That's what -- it shows that a sample was
8 collected, and they got that high TDS. I don't know exactly
9 what they're doing with those wells.

10 COMMISSIONER OLSON: That's all I have.

11 FURTHER EXAMINATION

12 BY CHAIRMAN FESMIRE:

13 Q. Okay. Mr. Jones, in response to a question from
14 Ms. Foster, you said that if they got 2500 parts per million
15 water sample that the cuttings would have 250 milligrams -- 250
16 parts per million salts, the cuttings to get down to that zone.
17 Did you mean to say that?

18 A. As I understood, it was --

19 Q. You described one water sample in there at 2500
20 parts per million, and her question was: Does that mean that
21 it -- the way I understood her question was -- does that mean
22 that the cuttings have 2500 hundred parts per million salts in
23 them, the cuttings that might be left on the surface after a
24 water well is drilled?

25 A. What I meant by that is that the waters that are

1 in the rock that might have that TDS. It's just what
2 Commissioner Olson just said.

3 Q. So it didn't have anything to do with the
4 cuttings that might have been left after?

5 A. No. They're -- no.

6 CHAIRMAN FESMIRE: Okay. Anything further,
7 Ms. MacQuesten? You want to do this again?

8 REDIRECT EXAMINATION

9 BY MS. MACQUESTEN:

10 Q. Mr. Jones, you were asked about the economic
11 consequences of the proposed rules, and you suggested that this
12 will increase the cost for operators. Did you also consider
13 costs associated with cleanup if protected measures were not
14 taken?

15 A. No. And it would be obviously considerable.

16 Q. There was a question about what would happen if
17 an operator wanted to show that water encountered was more than
18 10,000 TDS and therefore not protectable, and the suggestion
19 was made that the non-geologist supervisor of District 4 would
20 be the person to consult. Is there anything in the rule that
21 would prohibit the consulting person to be the hydrologist with
22 our Environmental Bureau?

23 A. No, not in the proposed rule.

24 Q. And could that, in fact, be a condition imposed
25 in the Exploration and Development Plan that a hydrologist with

1 our bureau be consulted in this?

2 A. The Commission could specify that the logs and
3 mud logs be reviewed by a geologist or hydrologist or both.

4 Q. But not only the Commission could do it in this
5 rule, but as each Exploration Plan is developed --

6 A. Oh, yes.

7 Q. -- that's the sort of the condition that might be
8 built into some of these programs?

9 A. Yes.

10 MS. MACQUESTEN: That's all. Thank you.

11 CHAIRMAN FESMIRE: Mr. Hall?

12 MR. HALL: Nothing more, Chairman.

13 CHAIRMAN FESMIRE: Ms. Foster, on that subject?

14 RE-CROSS-EXAMINATION

15 BY MS. FOSTER:

16 Q. And in the instance where you have a hydrologist,
17 a geologist, and whoever at OCD wants to review the rule, is
18 the drilling going to be halted at that point?

19 A. The drilling would be halted to run your logs,
20 and they would evaluate the logs right then and decide if --
21 and then the drilling engineer would have to be told basically
22 what's going to happen from then on. He would need to know
23 that or she would need to know that so they could make a
24 decision about how to comply with this rule about double
25 cementing of fresh water intervals.

1 Q. What I hear you saying, then, is every day the
2 logs are going to run, and every day the operators are going to
3 have to stop at some point for a review by the OCD until we get
4 an answer back and then we can continue and decide if we're
5 going to direct casing?

6 A. No. I apologize for that.

7 Q. Okay.

8 A. The mud log would be faxed in or electronically
9 sent in every day. And that information would be continuously
10 monitored, but that's the electric logs would have to be run to
11 actually tell you on the intermediate and the final string
12 what's going to be done, and you don't do those until you
13 finish drilling. So you definitely would not stop drilling.

14 Q. But don't you have to run daily mud logs?

15 A. But that's actually continuous. As the well is
16 being drilled, that mud log is being created, so it's a
17 continuous log. They do electric logs continuously in some
18 areas of world, but we don't do them here in New Mexico.

19 Q. Okay. And what do you do in instances if the
20 person you are electronically mailing your mud logs to happens
21 to be out of the office that day or on vacation or on leave?
22 Is there an automatic person that would cover for that so that
23 you get a quick response?

24 A. That would have to be accounted for, yes. The
25 rule can say that.

1 Q. Okay. Could we put in the rule something like it
2 has to come back in four hours or something, the answer?

3 A. Whatever the Commission wants to do. But I
4 definitely agree that it should be a rapid turnaround.

5 Q. Thank you.

6 MS. FOSTER: No further questions.

7 CHAIRMAN FESMIRE: Commissioners?

8 COMMISSIONER BAILEY: No questions.

9 COMMISSIONER OLSON: No questions.

10 CHAIRMAN FESMIRE: At this time, we're going to take
11 a break until ten minutes after 3:00. It's my intention today
12 to go until 4:30. I guess Mr. von Gonten will be the next
13 witness; is that correct?

14 MS. MACQUESTEN: That's right.

15 CHAIRMAN FESMIRE: To go until 4:30, take public
16 comments and be adjourned by five o'clock, okay? We'll see you
17 at ten minutes after 3:00.

18 [Recess taken from 2:52 p.m. to 3:10 p.m., and
19 testimony continued as follows:]

20 CHAIRMAN FESMIRE: Let's go back on the record. Let
21 the record reflect that this is a continuation of Case 14255,
22 that all three Commissioners are present. We therefore have a
23 quorum.

24 I believe we were going to start with the direct
25 examination of Mr. von Gonten. Mr. von Gonten, would you

1 please stand and raise your right hand?

2 GLENN VON GONTEN

3 after having been first duly sworn under oath,

4 was questioned and testified as follows:

5 DIRECT EXAMINATION

6 BY MS. MACQUESTEN:

7 Q. Would you state your name for the records?

8 A. Glenn von Gonten.

9 Q. And where are you employed?

10 A. I'm an employee of the Environmental Bureau of
11 the Oil Conservation Division.

12 Q. What is your title there?

13 A. Senior hydrologist.

14 Q. Would you please summarize your educational
15 background for us?

16 A. I have a Bachelor's degree in geology from Texas
17 A&M University, and I have a Master's degree in geology from
18 the University of Texas at Arlington.

19 Q. Could you summarize your work experience relevant
20 to geology and hydrology?

21 A. I've been a geologist for the past 30-some years,
22 the first 14 years of which were in the oil and gas industry.
23 I worked initially as a mud logger, as a well-site geologist.
24 Then after receiving my Master's degree, I went to work for a
25 couple of major oil companies. After that, I worked for the

1 Commonwealth of Virginia in their Department of Environmental
2 Quality and hazardous waste program as their senior geologist.

3 In 1999, I moved from Virginia to Santa Fe and worked
4 from 1999 to 2005 in the Hazardous Waste Bureau as a supervisor
5 doing permitting and corrective action for facilities. Four
6 years ago, approximately, I moved or transferred over to the
7 Environmental Bureau in the OCD, and I've been working there as
8 a senior hydrologist.

9 Q. Have you testified before the Oil Conservation
10 Commission in other cases?

11 A. Yes, I have.

12 Q. And were you accepted as an expert in
13 hydrogeology?

14 A. Yes, I was.

15 Q. I offer Mr. von Gonten as an expert in
16 hydrogeology.

17 CHAIRMAN FESMIRE: Is there any objection? Mr. Hall?

18 MR. HALL: No objection.

19 CHAIRMAN FESMIRE: Ms. Foster?

20 MS. FOSTER: No objection, Chairman.

21 CHAIRMAN FESMIRE: Mr. von Gonten is so accepted.

22 Q. (By Ms. MacQuesten): Mr. von Gonten, your
23 testimony is going to address some of the items that have been
24 included in the Exploration and Development Plan?

25 A. That's correct.

1 Q. Specifically the items listed in numbered
2 paragraph 1 through 8 of Subsection B of Section 9?

3 A. That's correct, with the exception that Mr.
4 Jones, Mr. Will Jones, testified on the mud logging program and
5 the logging programs.

6 Q. Okay. And would you give us an overview of
7 remaining items in paragraphs 1 through 8 and why they need to
8 be included in the application?

9 A. Well, that section requires operators to submit
10 an application for an Exploration and Development Plan and that
11 application must include general information, maps,
12 hydrogeologic and site reports, plans to minimize the overall
13 impact on the environment and written contingency plans to
14 address releases.

15 The intent of Rule 9(B) is to ensure that human
16 health and the environment and fresh water is protected by
17 requiring the operator to proactively address his operating and
18 development program holistically, that is, rather than on an ad
19 hoc basis as certain foreseeable events occur. Rule 9(B)
20 requires operators to do its homework up front and to provide
21 OCD and all interested persons with the results of advanced
22 planning.

23 Q. You've been present for all of the testimony so
24 far in this case, haven't you?

25 A. Yes, I have.

1 Q. Some of the questions that have been asked have
2 characterized the rule as solely a rule to gather information.
3 Do you agree with that assessment of the rule?

4 A. No, I don't.

5 Q. Why not?

6 A. Well, it does have that aspect, but it also
7 requires the operators to put into effect the proposed plans
8 that actually require activity such as a monitoring program,
9 also such as the mud logging program and the logging program.
10 Those programs have the impact of gathering information, but
11 they also require the operator to perhaps take a response as
12 the result of a release that might be defective at a monitoring
13 program.

14 The contingency plan would require action. It isn't
15 just information gathering. In fact, it doesn't really address
16 any information gathering. It just requires the operators to
17 submit a plan to address any releases that might occur. They
18 should have a plan in place that addresses proactive prevention
19 of releases in the first place.

20 Q. Mr. Brad Jones, who testified on the 11th, went
21 through a number of the items that you are also addressing. Do
22 you recall his testimony regarding those contingency plans?

23 A. I do.

24 Q. And was there anything that Mr. Jones said that
25 you disagreed with?

1 A. Yes. I think he misstated that -- I believe
2 Mr. Hall asked him a question as to whether a spill of
3 something like one quart of transmission fluid or whatever
4 example he brought up, whether that would be addressed by the
5 contingency plan. I believe that Mr. Brad Jones answered that,
6 no, it only dealt with things around the well site.

7 The intent of OCD's Exploration and Development
8 Plan -- the purpose of the contingency plan is that operators
9 deal with releases when they do occur in a proactive manner.
10 They are not allowed to just say, "I don't have to worry about
11 that. It's only transmission fluid. It's not near the well
12 site."

13 If a truck were to turn over on the road some
14 distance away and it was hauling crude oil, until such time as
15 a pipeline was there, they would certainly have to address
16 traffic accidents. And there is the language -- specifically
17 it says there is no de minimus provision. And this is to
18 compare and contrast with our Rule 116, which requires
19 reporting. We would expect operators under an ED Plan to
20 report any spills and take proactive action that was needed at
21 the time, whether it was a five-gallon bucket of pipe dope or
22 one quart of transmission fluid or a blowout.

23 Q. Would you require them to file reports under 116
24 for amounts that wouldn't be otherwise covered by 116?

25 A. Yes. They would -- I would envision they would

1 at least have to make a verbal report and that might also be
2 something that should be noted on the daily report that is
3 given at the same time as the copy of the mud log. Let's use
4 the example that was proposed to Mr. Jones about a small spill
5 of transmission fluid or something like that. What sort of
6 action would you expect, or what sort of plan would you want to
7 see, in a contingency plan to deal with such things?

8 The contingency plan doesn't have to take into
9 account every possible scenario, but you can certainly say that
10 there would be a commitment that any leak or spill would be
11 addressed first by remediating or mitigating the release; if
12 there's no further release then cleaning up the release. If
13 it's reportable under Rule 116, then it would also be
14 reportable. But also to take steps -- a commitment to take
15 steps to fix what's broken.

16 Valves do break; they do wear out; there is
17 vandalism; for example, someone may have a tank battery and
18 somebody with too much time on their hands may decide to drive
19 by and shoot a hole in it, and it would result in a release.
20 It doesn't mean that the operator is operating in an
21 irresponsible manner, but for the special provisions of Santa
22 Fe County and Galisteo Basin, we would expect that they would
23 take immediate action. And that action could be as simple as
24 taking the one-quart spill, shoveling it into a 55-gallon drum
25 and then disposing it properly at the end of the -- at the

1 well -- and they're getting rid of all their other surface
2 waste or their other oil field waste.

3 Q. Mr. Brad Jones ended up testifying and being
4 cross-examined on a number of these items numbered paragraphs 1
5 through 8. Were there any other statements that he made or
6 discussions that he had with counsel that you would like to
7 comment on?

8 A. I think there is. There was one comment that I
9 think he made, and I think his answer was a little incorrect.
10 And, again, I think it was posed to him By Mr. Hall -- is that
11 the purpose of a monitoring well is not merely to determine the
12 top or the depth to water, but to determine the entire
13 saturated thickness.

14 A monitor well program, as proposed by the operator
15 and subject to an E&D Plan, could have a lot of flexibility as
16 we've heard testimony before. They may not have to have a
17 1500-foot monitoring well. They may need to have one but they
18 might not have to. So at some point, the information gathering
19 aspect of this is addressed by the monitoring program.

20 They certainly want to know the depth to water. We
21 also like to know the water quality. That would also be part
22 of the monitoring program, but we also want to know the
23 saturated thickness. Because as we learned from Mr. Morrison
24 from the State Engineer's Office, this area is not sufficiently
25 understood by the State Engineer's Office that they feel

1 comfortable declaring anything other than the entire water
2 column to be protectable in the absence of more specific
3 information.

4 Q. Do you see the monitor well program as being used
5 to detect fresh water or detect releases or both?

6 A. I think it could be used for both. I think one
7 of the earliest thing that would be needed in an Exploration
8 and Development Plan is for the operator to get information on
9 the fresh water that is in the area that is covered by the
10 plan. As I mentioned earlier, that could be any possible
11 combination of monitoring points. It could be newly installed
12 monitor wells. It could be sampling the water wells. It could
13 be -- also as we've testified, you can get useful information
14 from the mud logs and the electric logs.

15 After that is determined, and they're into the
16 production phase, it may become appropriate for those monitor
17 wells to become a monitoring point for a long term monitoring
18 program.

19 Q. So there's no one-size-fits-all for that?

20 A. No. And the monitoring program would need to be
21 proposed to us by the operator. They're the ones who know the
22 most about what their Exploration and Development Plan consists
23 of, and they would have to propose to OCD what they thought was
24 appropriate.

25 This rule does not specify that for each well that

1 you drill that you have to have a monitor well, but you have to
2 have a monitor program.

3 Q. Okay. You were here today for Mr. Will Jones'
4 testimony also; is that right?

5 A. Yes, I was.

6 Q. And we had discussion of protection of fresh
7 water during his testimony.

8 A. Yes, I remember that.

9 Q. Mr. von Gonten, do you serve on the Water Quality
10 Control Commission?

11 A. Yes. I'm a commissioner designated for Chairman
12 Fesmire.

13 Q. And so you are familiar with the Water Quality
14 Act as well as the OCD rules on water?

15 A. I would not say I was an expert on that, but I am
16 familiar with both sets of regulations.

17 Q. In connection with your work with the OCD, are
18 you familiar with how the Water Quality Act interacts with our
19 jurisdiction?

20 A. Yes, I am.

21 Q. Did Mr. Will Jones say anything in his testimony
22 that you would like to comment on?

23 A. Yes. There were a couple of items that I would
24 think that my testimony was prepared to address. In no
25 particular order, but the one that comes to mind first is the

1 waste disposal facilities. That would include saltwater
2 disposal facilities. That's one of the items, and I would have
3 to look at the specific rule to see where that is. But it
4 talks about surface or waste management facilities, and that
5 would include your disposition of produced water.

6 It does not, apparently, have the same -- I'm not
7 familiar with the Otero Mesa rule. I don't know that it's as
8 specific as that rule was, but it would certainly address all
9 waste management issues, and saltwater disposal would be
10 waste -- an oil field waste management issue.

11 Q. So then if an operator was planning to have its
12 own saltwater disposal wells, that would be something that he
13 would need to include in his plan?

14 A. Yes.

15 Q. And that would be something that you would
16 evaluate to make sure that --

17 A. That would be evaluated at the hearing.

18 Q. Was there anything else in Mr. Will Jones'
19 testimony that you wanted to address?

20 A. I would like to just make an observation -- is
21 that the question came up about the identification of fresh
22 water zones. That has always been -- well, not always -- but
23 it's certainly on the OCD forms where operators are required to
24 identify water sands.

25 Many times they do not -- they -- they're allowed and

1 unfortunately do not provide that information, even though they
2 may penetrate it. But that kind of information has been
3 required for a very long period of time on standard OCD
4 forms -- and I can't remember if they say which form it is, but
5 there is a column in there in which they will identify the
6 geologic formations that they encountered, and they would also
7 identify any water sands that they encountered.

8 Q. What does that mean to you?

9 A. That it has always been important to OCD that
10 water sands be identified and that data be collected and that
11 the water zones would be protected.

12 Q. Are those two terms interchangeable or do you
13 have a preference as to which is used?

14 A. I think a lot of these terms are interchangeable.
15 The term was -- could have been an aquifer. But then you get
16 into the definition of an aquifer. In common oil field usage,
17 it's a water sand. Well, it could have been a water-bearing
18 limestone as well. So the intent, as I take it, as I
19 understand it, is that any water-bearing zones would be
20 identified.

21 Q. Is it relevant how much water is produced from a
22 water-bearing sand?

23 A. I don't believe so. It's just that that is part
24 of whatever the rule is. I should know what the rule number --
25 the form number is. It's the identification of it. One

1 comment came up -- I believe this was Ms. Foster's -- about,
2 you know, basically what we would refer to as a monitor well is
3 first water, and you're drilling with an air rotary rig or a
4 hollow stem monitor, that's commonly how you detect the first
5 water-bearing zone that you encounter.

6 You may also be doing things like, you know, cores as
7 you go along and you would see the saturation in the core
8 material, but you would also note that when your cuttings start
9 coming up wet. And all throughout environmental programs, the
10 determination of the first water or depth to water and
11 saturated water thickness is extremely important.

12 Q. Do you recall Mr. Morrison's testimony that the
13 Office of the State Engineer considers -- and I may misstate
14 it, so correct me if I'm wrong -- any water encountered in the
15 Galisteo Basin to be assumed to be protectable?

16 A. That was my understanding of Mr. Morrison's
17 testimony.

18 Q. What does that mean? What does that mean in
19 terms of what the OCD needs to do to protect it?

20 A. Well, the State Engineer's designation is very
21 important to us; I believe we looked at one of the memos from
22 1985 from the State Engineer's Office to the Division Director
23 or a member of his staff. It means that we have to presume
24 that all the water we encounter is protectable; that is, fresh
25 water.

1 I mean, they've certainly designated in writing that
2 the 10,000 milligrams/liter TDS concentration is the point at
3 which it's considered to be protectable fresh water. Until we
4 get additional information that would show what depth that
5 horizon that you would get into non-protectable waters, we
6 would presume that the water encountered is going to be
7 protectable. Whether we had water quality information from,
8 let's say a chlorides test or salinity determination, or even
9 in a log analysis.

10 Q. Now, there are certain provisions in the proposed
11 rules that are designed to help us find out if we've
12 encountered water in drilling; is that right?

13 A. Yes. Part of it is that information gathering
14 aspect of it that a monitor wells would be useful for. Logs
15 are useful information. The mud log can be very useful
16 information. But that's part of why we have these special
17 provisions is because the water resources in Santa Fe County
18 and the Galisteo Basin are not adequately known according to
19 the State Engineer.

20 Q. Can the tools that you mentioned help us know
21 whether the water is fresh water or non-protectable water?

22 A. Yes, they can help you. There's actually some
23 ways of actually determining water quality. Mr. Jones talked
24 about a drill stem test. That would certainly be one way.
25 During the logging program, you could also do a repeat

1 formation test, which would allow you to collect a few
2 gallons -- if I remember correctly -- of the fluid by pressing
3 a downhole tool against the wall and allowing the fluids to
4 flow into that. You could sample that and determine what the
5 water quality was. You can also do log calculations as well.

6 Q. If only the tests were done that the rule
7 proposes right now -- the water salinity, the water saturation
8 porosity test, the mud logs -- and no further tests were done
9 on the water, and it was inconclusive whether the water was
10 fresh or not, would the operator simply have to take all
11 precautions to protect fresh water?

12 A. Yes. In the absence of information that the
13 operator is responsible for collecting, we would assume that it
14 was protectable water.

15 Q. If the operator wanted to go to the extent of
16 doing additional tests to prove that the water was beyond
17 10,000 TDS, that would be something the OCD would consider and
18 whether the protective measures were necessary?

19 A. Yes.

20 Q. But it would be up to the operator?

21 A. The operator would have to provide that
22 information.

23 Q. And if they don't want to, they need to take all
24 the protective measures?

25 A. That would be true. That's true.

1 Q. Was there anything else that Mr. Will Jones
2 testified to today that you need to address?

3 A. Well, I think there are two more items. One,
4 there's been some discussion to what's been referred to as a
5 single well EDP. The language of Rule 39(9)(B) talks about the
6 best estimate. And I would not say that we would exclude
7 consideration of such an EDP, but I think it would be very hard
8 to convince the Hearing Examiners or the Commission that
9 somebody is going into the Galisteo Basin with a one-well
10 prospect given the lack of infrastructure to support that sort
11 of prospect.

12 And you can drill off that all day long down in the
13 Permian Basin and the San Juan Basin. One-well prospects may
14 be economic, but it would sound to me like it would be an
15 attempt to avoid providing the information that would be put
16 into the public notice, and we think that the public notice is
17 very important so that other interested persons including
18 agencies, both State and federal, would be put on notice that
19 there's an Exploration and Development Program that is going to
20 go on in an area that they're responsible for and that they
21 would have rules and regulations that would apply to that area.

22 Q. Okay.

23 A. I think that the single well EDP concept is not
24 something that we could 100 percent exclude, but I think it
25 would be something that is somewhat unlikely. I would be very

1 skeptical. I think the plan needs to show in good faith an
2 outline on the map that shows where the exploration is planned
3 or development is going to occur and also include the required
4 infrastructure; roads, pipelines, surface waste management
5 facilities. These things are spelled out in the rule.

6 Q. So on the single-well EDP, are you saying it's
7 possible that that would get past the administrative
8 completeness review, but it would be up to the operator to
9 convince the Hearing Examiner that it truly was a best
10 estimate?

11 A. Exactly.

12 Q. What do you consider the requirement for a best
13 estimate of productive area -- well, let me back up.

14 The Exploration and Development Plan requirement
15 talks about describing the area covered by the plan including
16 at a minimum, the operator's best estimate of the productive
17 area. What does that mean to you?

18 A. Well, it means that they should actually give us
19 notice of how big a program -- drilling program or development
20 program -- that they're contemplating. I wouldn't quibble with
21 them if they wanted to say that they have mapped a structure
22 and they're going to show 50 percent of that structure and
23 presumably the entire structure would not be productive.

24 But it's their best estimate. I don't expect to see
25 their supporting seismic and well log interpretations which

1 they put together for that, but we do want to focus on the
2 surface impact for protection of the environment, but we also
3 want to focus on the saturated thickness of any aquifers or
4 protectable fresh water that we would find underneath that
5 Exploration and Development outline.

6 If an operator wants to basically tight-hold the
7 Division, then they run the risk of having to come back in and
8 having to get a -- I'm not sure if it's referred to as an
9 amendment -- but they would have to go through the EDP hearing
10 process again before they could continue, because they only
11 have approval for the number of wells that they put down on
12 there.

13 I would agree that they can be flexible and put in
14 proposed locations, and they don't have to know where they're
15 going to end up in two or three years, but this has to be their
16 best estimate before they kick off their exploration program.

17 Q. And to the extent they can accurately predict
18 what they want to do, they can avoid having to come back in for
19 amendments?

20 A. Right. That would be the upside for being
21 forthcoming in the scope of their operations. There were some
22 numbers tossed about that I saw in the newspaper a
23 100-million-barrel-field. Well, that would be a pretty
24 significant piece of territory.

25 Q. Is that for the Galisteo Basin?

1 A. Yes. Doing the numbers for justification for
2 this drilling program. That's an awful round number, but it at
3 least shows that they have more than a single well prospect in
4 mind when they came here. At least that's what Tecton, I
5 believe, was proceeding -- or some release about that.

6 The more that they can show us up front, the more
7 they can get on with their drilling and production program.
8 They will have -- if it was something that large, they would
9 have to build infrastructures from scratch. There is no
10 existing infrastructure as far as pipelines. The road may not
11 be adequate. Power lines may be necessary, plus there will
12 necessarily be pump stations or transfer stations if there was
13 gas. If it was necessary, they would have a gas pipeline. If
14 it was oil, they could truck it out for a while until they
15 decided it was important enough to get a crude oil pipeline
16 into the region.

17 So the plan really should be comprehensive, and
18 trying to downplay it so much, you lose some creditability with
19 us. You wouldn't be coming into a rank wildcat area if you
20 didn't think there was some significant upside potential.

21 Q. Would it be possible for an operator to propose
22 an Exploration and Development Plan that discussed different
23 stages or phases of their operations? For example, you
24 mentioned they might want to truck the oil initially and move
25 to a pipeline later?

1 A. I think so. What they're talking about is at one
2 point kind of conceptual, but it needs to be based on their
3 best estimate. Obviously, they had to go in front of somebody
4 with some maps and cross sections and discuss these sorts of
5 things.

6 A discussion came in about economics. I would
7 disagree with Mr. Jones about whether we need economics. Maybe
8 it would be nice to have, but it really wouldn't be something
9 that we could make a decision on because economics vary from
10 company to company.

11 Q. Those were the economics that the company was
12 running internally on the project?

13 A. I believe that was what came up in one of the
14 cross-examination questions. Mr. Jones was, I believe, talking
15 about risk factors for drilling. He used the number of
16 25 percent, which I would agree with him would be a favorable
17 outcome. He talked about Monte Carlo simulation.

18 But all those things, the detailed economics, we're
19 not interested in. But if they got to the point of discussing
20 economics and presumably offering to provide it to the OCD, I
21 would recommend that we not accept it. But that means they
22 would have to consider all that infrastructure that would have
23 to be built from scratch, because any management team is going
24 to look at and say, "Where's the nearest place I can get my
25 crude oil refined and actually get some money for it?"

1 If they start looking at that, this all becomes what
2 a frontier area is. You move into frontier areas because of
3 significant upside potential. But you realize that the risk is
4 there and the upfront initial costs are likely to be much
5 greater than being in a developed area such as the San Juan
6 Basin or the Permian Basin.

7 Q. One of the requirements in the rule is that the
8 operator has a plan for addressing waste. What does that mean
9 to you?

10 A. Well, it's inevitable with any business venture,
11 that you generate waste, and there's no waste management
12 facility in the Galisteo Basin that I'm aware of. So they're
13 going to have to truck any oil field waste that is generated
14 through drilling -- say, closed-loop system, they're going to
15 have to take that some place and dispose of it.

16 So they can be as specific as they want, or they can
17 say it will be taken to another OCD-approved facility. But we
18 need to have a commitment that they're going to pick up the
19 waste that is there: Whether it's a 55-gallon drum that
20 they've been using to contain little leaks and spills that have
21 stained a couple cubic feet of soil or, in the closed-loop
22 system, the drying pad, if they were to have one, the
23 content -- if they were going to get an exception -- all the
24 waste that is there would have to be addressed, and primarily
25 it doesn't have to be specific about what you're going to do

1 about it. But it would have to be a commitment that the waste
2 will be collected and stored appropriately.

3 Q. Does waste include produced water?

4 A. Yes, it does. And I was talking about that
5 earlier. Certainly this term does include produced water and
6 at some point, they're going to have to have some sort of
7 disposal of the produced water that they would be separating at
8 the well site.

9 Q. And would you expect to see their plan for having
10 produced water in the Exploration and Development Plan?

11 A. Yes.

12 Q. That's part of the waste plan?

13 A. Yes. Although I would certainly agree that if
14 the Commission wanted to change that language to be more
15 specific such as it is for the Otero Mesa area, that would be
16 something the OCD would support.

17 Q. We talked about the contingency plan earlier when
18 we were discussing Brad Jones' testimony. One of the
19 requirements for the contingency plan is best management
20 practices for the prevention and detection of their leaks. Can
21 you explain what is requested in that?

22 A. Well, as OCD has put out in its guidance, this is
23 actually a plan that people should follow, the operator should
24 follow, that actually prevents releases in the first place.
25 It's much easier to have a plan that prevents releases than

1 actually have a plan for remediating releases. It's far less
2 expensive to have an ounce of prevention.

3 And that is what we're wanting people to do is put
4 something together that perhaps changes the corporate culture;
5 perhaps changes the culture of, "Well, I just dumped a quart of
6 transmission fluid on the ground. I can kick a little dirt on
7 it and move on."

8 We want it to be in writing so also there is the
9 thought process that has been engaged in this: "Now, how do we
10 actually go about doing this? What can we do to actually make
11 sure that we don't have this?"

12 I kind of think of it as being a health and safety
13 plan for the infrastructure just as you would have a health and
14 safety plan for the people that are actually in there. Its
15 intent is not really to be overly burdensome but it's to put
16 people on notice that spills and releases are going to be
17 inevitable. They will happen. You should try to minimize them
18 to the extent possible with pollution prevention in the first
19 place. And then also the contingency plan would come in and
20 say, "If you have a spill, unfortunately, this is what you do
21 to address it."

22 Q. Are such plans common in the industry?

23 A. You know, that would probably be something -- we
24 do not require that; we encourage it; we put it out in our
25 guidance. For example, health and safety plans are required by

1 OSHA; we don't require it. I would suspect -- although I don't
2 know. I'm speculating now -- I would suspect that a lot of the
3 better drilling contractors have something in effect. They can
4 actually get in your way when you're trying to go on site until
5 you jump through all their health and safety rules and also put
6 on the appropriate coveralls and make sure that you have
7 hearing protection, eyeglasses and so on and that you're aware
8 of any sort of flags that are flying.

9 I think the people who are going to be that rigorous
10 would probably also be rigorous about having a pollution
11 prevention program in place. But, again, I don't know that.
12 I'm speculating. But I am afraid that some operators will not
13 have that.

14 Q. You had mentioned that there were several items
15 in Mr. Will Jones' testimony that you wanted to address. Have
16 we addressed all of the items that you wanted to address?

17 A. I don't know that he actually answered this
18 question directly, but I think Ms. Foster asked him about -- or
19 she made the comment that she thought that this plan would
20 apply only to exploration.

21 I would say that OCD's position is that it definitely
22 applies to exploration and development. It's the --
23 exploration is a few number of wells. You have a discovery
24 well, a compilation well, and at some point you say you're no
25 longer in the exploration phase; you're in the development

1 phase. And that's where likely if this was to be a productive
2 basin, a new discovery, it's like that during the production
3 process, this plan needs to be in place most of all. That's
4 when you're going to have the infrastructure being built and
5 installed, the tank batteries, the pipelines, all the other
6 things that are necessary to get the natural resource to
7 market.

8 Q. Is there anything else in Mr. Will Jones'
9 testimony that you wanted to address?

10 A. I don't believe so.

11 Q. Did you prepare written testimony describing the
12 requirements in photographs 1 through 8 with the exception of
13 the drilling program and the mud logging program?

14 A. I did.

15 Q. And is that OCD Exhibit 4?

16 A. It is.

17 Q. Have you reviewed your written testimony?

18 A. Yes, I have.

19 Q. And do you accept it today under oath?

20 A. I do.

21 MS. MACQUESTEN: I would move for the admission of
22 OCD Exhibit 4.

23 CHAIRMAN FESMIRE: Mr. Hall?

24 MR. HALL: No objection.

25 CHAIRMAN FESMIRE: Ms. Foster?

1 MS. FOSTER: No objection.

2 CHAIRMAN FESMIRE: Exhibit 4 will be admitted.

3 [Applicant's Exhibit 4 admitted into evidence.]

4 MS. MACQUESTEN: No more questions on direct.

5 CHAIRMAN FESMIRE: Mr. Hall, do you have a cross for
6 this witness?

7 MR. HALL: A couple.

8 CROSS-EXAMINATION

9 By Mr. Hall:

10 Q. Mr. von Gonten, for the operators who will not
11 have had the pressure of sitting through this hearing for the
12 last few days, when they look at the rule as proposed itself,
13 they won't be able to tell what the Division is expecting them
14 to supply consistent with your testimony here today. Would you
15 agree?

16 A. Well, the rule -- it does not specify, let's say,
17 for example, what a contingency plan must have. I do think
18 that operators generally have access to consultants who do put
19 things like this together. The hydrogeology and geology
20 reports, that's routinely done by environmental consultants.

21 I don't think it is -- it is not carved in stone
22 exactly with a checklist of everything that must be in there,
23 but, again, this goes along with the line of best estimate.
24 There may be some questions that people have, and they can
25 certainly ask the Division and call in and ask questions about

1 this.

2 Q. So you would agree with Mr. Jones, Mr. Will
3 Jones', testimony that it's preferable to have some flexibility
4 in the application of rules?

5 A. I do agree with that, generally speaking.

6 Q. Would you be willing to provide us with simpler
7 or a template of an acceptable E&D Plan so that the industry
8 can take a look at it and give you what you need?

9 A. I don't really have a firm opinion on that. That
10 would have to be a question posed to the Division management to
11 decide whether we were going to undertake that effort. We have
12 done so for the Pit Rule for certain parts of it. So I assume
13 that at some point, when the rule is finalized, there might
14 necessarily need to be some outreach training. And in which
15 case, that would be something that might be very useful.

16 Q. Let's work our way through the rule proposal.
17 First, let me ask you: Did you draft the rule proposal?

18 A. I did not. I was involved, I would say, about
19 four or five times during the drafting of it from the initial
20 outreach last winter. I was involved with the drafting -- I
21 was asked to do a technical review of the report and also
22 provide some proposed language on parts of the report. I did
23 do a technical review of it -- and I'm speaking now of the
24 Galisteo Basin Report.

25 As a result of that, there was another executive

1 order, and I sat down with Ms. MacQuesten, who was the
2 principal drafter of the rule, and she asked me some questions,
3 and we started talking about what special provisions would be
4 appropriate, and I was involved in some discussions and made
5 some suggestions at that point.

6 At a later date, I did have an opportunity to do a
7 technical review and to pose any sort of changes to the draft.
8 And then I did author this testimony, Exhibit 4.

9 Q. Let's see if we can get a better understanding of
10 what might constitute an acceptable E&D Plan according to you,
11 and let's pick up with some of the commercial definitions in
12 the rule under 9(B). You briefly touched on your preferences
13 for operator best estimates of conductive area under 9(B)(2),
14 and you may have sat through some of the earlier testimony on
15 this.

16 Again, is the Division looking for an estimate of the
17 productive limits of a common source of supply such as the
18 Division uses for its nomenclature in pool rules?

19 A. Sir, I have to tell you that I'm not familiar
20 with that nomenclature.

21 Q. You're not familiar with the Division's pool
22 rules and how that works?

23 A. No. I'm in the Environmental Bureau, and we
24 don't get into that.

25 Q. And it sounds like you're going to regard single

1 well E&D Plans for, say, science project wells with some
2 skepticism?

3 A. That would be my inclination.

4 Q. And you are aware there are some of those wells
5 drilling right now in this State, are you not?

6 A. I was not aware of that. I believe you mentioned
7 the Tularosa Basin.

8 Q. Tucumcari.

9 A. Tucumcari. No, I'm not familiar with those.

10 CHAIRMAN FESMIRE: Mr. Hall, I'm not familiar with
11 that concept either. Could you enlighten us just a little bit
12 on what it is? What is a science project well?

13 MR. HALL: How about a single well that's probably 30
14 miles from the next closest well. It's a single well plan.

15 CHAIRMAN FESMIRE: You mean an absolute rank wildcat?

16 MR. HALL: Pretty wildcat.

17 Q. (By Mr. Hall): When the operator provides you
18 with supporting materials for its best estimate of the
19 productive area, do you know whether the Division has any
20 provisions to protect the confidentiality of any of that data?

21 A. No. And I think that, in fact, that's contrary
22 to one of the major intents of this proposed rule is to go to
23 public notice. One of the primary requirements is that all
24 other interested persons be put on notice.

25 So if you have, say, an outline of your best

1 estimate, and let's just say it's 5,000 acres -- not that
2 that's the 50 percentile or 100 percentile -- but for the
3 purposes of getting an approved plan, you put down inside these
4 5,000 acres is where we propose to explore.

5 And then later on you put your proposed well
6 locations with a little tank battery off to one side and, you
7 know, potentially dash in a proposed pipeline route. This is
8 something that the OCD will look at. And I think it's been
9 clearly testified to that we do not have the authority to go in
10 and deal with threatened or endangered species the way the BLM
11 does -- or archaeological sites.

12 That isn't our -- we're not given that authority
13 under the Oil and Gas Act. But other agencies do have that as
14 their responsibility so they're put on notice that here's a
15 substantial piece of the Galisteo Basin that's going to
16 potentially have significant oil and gas development. And,
17 therefore, they may have some obligations under their own
18 statutes and their own regulations to get involved with this.

19 Q. As I understand the rule as written, when you're
20 asking for the operator to submit its best estimate, it can be
21 supported by any data at all; is that accurate?

22 A. That is true. We're not asking for maps and
23 cross sections that depict the play. The structure of the
24 prospect, we would consider that to be something that we do not
25 need to have to meet our goal of providing people -- other

1 people are interested in the surface impact. We are also
2 interest in the surface impact, but also with the impact of
3 potentially in the third dimension of protecting fresh water
4 which may go -- the testimony I've heard, it may go 1500 feet
5 to 2,000 feet in some areas. So we do think of the third
6 dimension, but we are not requiring something you would show to
7 sell the prospect in Houston or Dallas.

8 Q. So you're interested at a minimum in having a
9 description of the horizontal extent of the E&D Plan area?

10 A. That's true. But it also has to include your
11 potential -- I forget the exact term -- but target zone or
12 zones. So that would be the third dimension as well. I notice
13 that is information that isn't required on the APD, but it is
14 required -- it is reported on other forms. So that may be one
15 of those things that would be an exercise in making our forms
16 consistent.

17 It seems that you would want to have that
18 information -- OCD would want to have that information for the
19 APD. Later on they require -- and I forget for which form it
20 is -- maybe it's for the allowable -- I don't remember.

21 Q. Okay. So it's important for you to know the
22 vertical extent as well?

23 A. That's right. And in context with we're not
24 interested in whether something at 8,000 feet is productive or
25 not. We're very interested in 8,000 feet if it actually is

1 still fresh water and protectable at 8,000 feet. And I don't
2 think that any of the other agencies would have any interest in
3 really the subsurface. And we're interested in the subsurface
4 primarily for the protection of fresh water.

5 Q. I understand. Okay. But describing the, quote,
6 "productive area" does have certain ramifications as we convert
7 from an approved E&D Plan area to a special pool, wouldn't you
8 agree?

9 A. Yes. I think that it -- certainly, I would
10 expect that if exploration was successful, it's highly unlikely
11 that the company won't learn something during its exploration
12 program that changes -- that would require a change to the ED
13 Plan. And probably even some changes when you finally go to
14 the special pool orders.

15 So assuming that you don't have perfect vision up
16 front and that every drop of oil that you predicted to be there
17 was actually there and that you didn't encounter some bonus
18 zones, so I think there could be -- we talked about
19 flexibility, but at some point there may be substantial changes
20 that would require an amended or resubmitted ED Plan.

21 Q. So you anticipate another review process
22 including a hearing when we convert to special pool rules?

23 A. I believe -- this was not something I testified
24 on -- and I believe Ms. MacQuesten made a statement earlier in
25 an objection that the rules provide that there may be a hearing

1 when we go to special pool orders. I don't think it's
2 mandatory.

3 Q. Who decides that?

4 A. I don't know the answer to that question.

5 Q. If you would look at 9(B)(5)(a), that addresses
6 notification. But is it the Division's intent that E&D Plans
7 would be required for all types of ownership; State, federal,
8 private and tribal?

9 A. It would be required for State and federal
10 because we regulate the operators. I don't know the answer
11 about tribal.

12 Q. Private?

13 A. Private, yes, it would be. And, you know, with
14 the tribes, you get into sovereign issues that I don't know the
15 answer to that.

16 Q. Then in subparagraph 5 you discuss -- or the rule
17 discusses what you'd like to see in the mapping of the area.
18 Let me ask you for unsurveyed areas such as land grants, what
19 would be satisfactory to the Division in terms of delineating
20 the boundaries of the E&D planning area? How do you do that?

21 A. Well, I think you would have had to already have
22 that information before you started to drill because you have
23 mineral leases. I would assume that there would be a legal
24 description on those mineral leases that tells you that you
25 have a right to drill there in the first place.

1 The land grants -- the grants are not in a township,
2 section, range, but they do have a legal description of some
3 sort. Whatever a surveyor comes up with or the patent or
4 whatever the document is you go find at the courthouse is
5 adequate.

6 This is not necessarily -- we're not interested at
7 this point, Mr. Hall, in, you know, to a centimeter accuracy.
8 That's not the intent. The intent is that when we do public
9 notice, that we're able to describe this area so that people
10 who are interested in it know what we're talking about because
11 you told us where it is -- or your client, the operator.

12 Q. So if your E&D planning area is contained within
13 the inner boundaries of a land grant, would GPS coordinates of
14 the owners or the courses suffice?

15 A. I don't think so. I think that those would
16 suffice for -- let's call the infrastructure such as the wells
17 and things like that. But we want the legal description so
18 that somebody looking at it will say, "I know where this is.
19 This is something I care about. This is something that we've
20 already got an archaeological site on, or there's a threatened
21 or endangered species, or there's a wildlife corridor."

22 That could certainly be supplemental information that
23 could be provided at the same time. I know that's very easy to
24 obtain nowadays. But we're looking for that thing that's on
25 the deed or the patent that described it. That way, you know,

1 somebody -- you know, you might also be able to say that it's
2 5,000 acres in the southeast corner of this land grant.

3 Q. Okay. Or would you find the use of imputed or
4 projected township, sections, acceptable?

5 A. I would have to -- I don't know the answer to
6 that. I see that it is done. I've seen some wells that
7 actually had township, section, range on them and had some
8 people come in and ask me about them, and when you look at it,
9 it's just not there. We have a database that has a little well
10 site locator that you plug in the township, section, range and
11 the corner calls and it doesn't have the information on that.
12 Because you're extrapolating an irregular grid, and you're
13 extrapolating in a perfect grid fashion, and therefore it's not
14 accurate.

15 Q. By more than a mile in some cases, right?

16 A. I wouldn't be surprised.

17 CHAIRMAN FESMIRE: It's much more than a mile.

18 Q. (By Mr. Hall): You're also for -- at
19 Subparagraph 5(E), Locations of Water Courses. Is there a
20 definition for water courses that you're relying on?

21 A. I believe we do have water courses defined in our
22 rule book.

23 Q. Is that one of your exhibits?

24 A. I don't think we have the entire rule book as an
25 exhibit.

1 MS. MACQUESTEN: Actually, Exhibit 29 covers a couple
2 of terms that have been used in this proceeding.

3 THE WITNESS: I would also point out that it is in
4 the new section of the citation. It is 19.15.1(W)(8), NMAC.

5 MS. MACQUESTEN: 19.15.2.7?

6 THE WITNESS: No. That would be the old one. I'm
7 looking at the one I printed out yesterday.

8 MR. HALL: Are you using outdated rules?

9 Q. (By Mr. Hall): I only want to establish which
10 definition we're relying on.

11 A. The real answer that it is in our definitions.

12 Q. You're relying on the Division's definition of a
13 water course?

14 A. Yes.

15 Q. Okay. Do you know if any well head protection
16 areas exist in the Galisteo Basin or Santa Fe County?

17 A. As I understand the term, that would be the area
18 surrounding the water wells that we saw depicted, and, again, I
19 would defer to the definition which is 200 feet from a private
20 domestic fresh water well or spring or within 1,000 feet,
21 horizontal feet, of any other fresh water well or spring. So
22 that also is as defined in our regulations, Mr. Hall.

23 Q. Okay. It needn't necessarily be designated by
24 the Water Quality Control Commission or State Engineer's Office
25 to qualify?

1 A. No. They are covered by our regulations.
2 Certainly, it's referred to in the Surface Waste Management
3 Facility Rule and in the Pit Rule.

4 Q. If we look at your testimony, Exhibit 5, when you
5 discussed some of the information you'd like under Rule 9(B) (5)
6 for your mapping, you say do this because you want to evaluate
7 the sensitivity of a particular site. What does that mean,
8 "sensitivity"?

9 A. Environmental sensitivity. We have a general
10 provision or requirement to protect human health and the
11 environment, and in particular, we would be looking at things
12 like that water course feature that we were requiring
13 specifically to be depicted on a map.

14 And I would also point out that with our recent Pit
15 Rule, which would -- if you were to drill out here with a
16 closed-loop system or get an exemption for the Pit Rule, that
17 would also be something that you would have to consider
18 setbacks for.

19 Q. Okay. And you discuss setbacks on page 3 of your
20 testimony about line 115. That would be part of the Division's
21 review and approval process be to dictate appropriate setbacks;
22 is that accurate to say?

23 A. What it really is -- we do not have in our
24 regulations a specified setback for a well to be from say, a
25 barn or a house or anything else. We don't have that in our

1 regulations. We do have setback requirements for pits and
2 closed-loop systems. So in that respect, since you're
3 presumably going to have your wellhead very close to where
4 you're going to have your pits, we do have a setback
5 requirement.

6 Q. Okay. But we're not using pits here, right?

7 A. That's correct.

8 Q. So what would be the criteria the Division would
9 apply to determine appropriate setbacks from, for instance,
10 playas and spring channels?

11 A. Well, since you will have something to have your
12 drilling fluids in, that would probably be covered under the
13 Pit Rule, which also covers closed-loop. So that would be
14 something you would tell us, and then we would look and see how
15 the Pit Rule applies.

16 Q. And if you're using closed-loop with tanks, the
17 operator could rely on the provisions in current Rule 17 to
18 determine siting sufficiency?

19 A. I would assume so, yes.

20 Q. Okay. When you say the Division wants to
21 determine setbacks, it's not just for well locations; is that
22 correct?

23 A. That's right. That would be part of the overall
24 exploration and development footprint that we're interested in.
25 And that's why we're requiring that the operator submit maps

1 and plans that would show the infrastructure or the proposed or
2 potential infrastructure.

3 Q. So do you contemplate that the Division might
4 have specific requirements in its approvals to tell the
5 operator where to locate tank batteries, pipelines, access
6 roads?

7 A. I think we would. And one of our other
8 requirements here -- perhaps you'll get to it -- but we're
9 wanting people to reduce their footprint similar -- in the
10 Galisteo Basin -- similar to what the BLM might require. So we
11 want someone to have a thoughtful analysis of how many roads
12 they might have to have, how many well pads they would have to
13 have.

14 Because they actually, potentially, develop their
15 reserves from a pad that is centralized and will have
16 directional wells drilled from it, the size and spacing of
17 those well pads, the tank battery placement and the pipelines,
18 obviously, minimizing the linear impact to the environment by
19 these pipelines. That should be considered. I don't think
20 that we're going to have a hard and fast answer, but by
21 requiring the operator to consider it and put it in their
22 application, then we have a starting point to see if there's
23 some way of improving it to where other people or other
24 agencies who might have some concerns with the proposed
25 pipeline or road.

1 Q. All right. And, in fact, on page 4 of your
2 testimony you refer to making submittals along the line of what
3 the BLM requires pursuant to its Gold Book procedures. Is that
4 what the Division has in mind here?

5 A. I think that's a good starting place for people
6 to do. They may be even more protective. As some testimony
7 has kind of dealt with this issue, we do not in the Division
8 have that authority to deal with, say, restoration in
9 necessarily the same way or threatened and endangered species
10 or really this whole thing that BLM does have special authority
11 that Congress granted or imposed on BLM. We don't have that,
12 so other agencies have that authority to deal with these
13 things.

14 Q. So would you be satisfied to see an operator
15 provide you with an APD and supporting materials sufficient to
16 satisfy the BLM's requirements for its APDs?

17 A. It might very well. I wouldn't commit to saying
18 that that's all, that we won't come up with something else that
19 the BLM doesn't require. BLM doesn't have the special
20 requirement for the protection of groundwater which is a major
21 function of the Environmental Bureau and the OCD. They're more
22 surface focused as far as restoration and protection of, you
23 know, scarring and damage to the environment.

24 Q. Okay. One more question about the setbacks.
25 Will the Division take into consideration the provisions of

1 lease terms or SOPA agreements that have prescribed locations
2 of surface infrastructure already?

3 A. I think we would take it into consideration. I
4 don't know that I would say that those things would rule, that
5 they would trump our authority or our other -- you know, we
6 have our issues and what's covered by the Surface Owners
7 Protection Act is not really our business. So we're still
8 going to have protection of human health and the environment
9 regardless of what some landowner has agreed to with an
10 operator.

11 Q. Some landowner. So the OCD feels it has the
12 authority to override private agreements?

13 A. Sure. If they were going to come in and say that
14 you can dump all your oil field waste into this ditch in the
15 back of my house, we're going to say, no, you can't.

16 Q. Have you ever seen an agreement that says that?

17 A. I have not.

18 Q. Me either.

19 A. I haven't seen a single SOPA.

20 Q. Let's look at your testimony on page 3 in your
21 Exhibit 4. At 96, what you're asking Alfredo's to provide
22 there, you're asking for a hydrologic and site report. Is that
23 one report or two?

24 A. I think they could be combined.

25 Q. You want to evaluate the effect of development

1 on, among other things, soils. What sort of information are
2 you looking for there?

3 A. Well, the site report might address the soil
4 information, and you might have a soil horizon in your
5 particular location or some part of it that might be
6 particularly susceptible to erosion, for example, that might
7 come out in review of this report, and it might become
8 important to OCD that that be addressed. Or it might become
9 important to another agency.

10 Again, this is foundation information. It's a
11 general report that's prepared for the area that will be
12 covered by the plan. And, you know, it's basically a
13 literature research. We are not proposing that anybody go out
14 and do a field mapping exercise. You might have to go out and
15 do an archeological survey according to somebody else's rules,
16 but we're not requiring a field mapping, a geological field
17 mapping exercise.

18 Q. I see. And if we look at page 3 of your
19 testimony about line 127, as I understand what you say, you're
20 asking for the reports to be based on available data and other
21 reports. Can you tell us what databases are acceptable to the
22 Division these days?

23 A. Well, certainly it's been mentioned many times --
24 I think iWATERS is an excellent source to get to. There is the
25 problem that some older wells may have been installed and

1 drilled before the basin was declared are not in the iWATERS
2 database.

3 You might have to make a trip to the State Engineer's
4 Offices to get those driller logs or any other information that
5 was available. But certainly the State Engineer's office is a
6 major source. The USGS. Mr. Morrison based a lot of his
7 testimony on two USGS reports, if I remember correctly. That
8 would certainly be acceptable.

9 The Bureau of Geology and Minerals -- or whatever
10 their title is nowadays -- those kind of reports are excellent
11 sources of information.

12 Q. So you're looking for a literature search and
13 database searches. You want that packaged and presented to
14 you?

15 A. Yes.

16 Q. Okay.

17 A. And I would say that this is, you know, something
18 that is usual and customary that is provided to the OCD during
19 any sort of environmental investigation. We're not looking
20 particularly for more than that. Some reports are better than
21 others, certainly.

22 Q. Let's talk about proposal Rule 9(B)(7). You're
23 asking in your proposed plans and, in fact, on page 3 of your
24 testimony at the bottom of the page, you're asking for quote,
25 "several plans," and one is a plan for a monitor well. We

1 discussed that briefly earlier. When an operator looks at this
2 rule for the first time and it just says give us a plan for a
3 monitor well, could you elaborate for us and give us an example
4 of what you'd like to see?

5 A. Well, it's not just a monitor well. I would
6 start off by saying it's a monitoring program. If you're going
7 to come in and say you have a hypothetical, 5,000-acre ED Plan,
8 then you may have to propose several monitor wells. This is
9 the part in which I think we're flexible.

10 I think the plan should be reasonably specific. But,
11 for example, we're interested in something that you can
12 actually determine, as we say, the depth to water, saturated
13 thickness, baseline water samples, and later on, perhaps after
14 the exploration or development well is completed, to perhaps
15 monitor it for releases.

16 We could consider other monitor points such as a
17 water well. We're not thrilled about water wells as being
18 monitoring wells, but they might suffice for the depths of
19 water and the saturated thickness and so on. It might include
20 actually screening several different levels. You might have to
21 have clustered wells. It depends on the scope of the area.

22 When we look at it, you may find that your target
23 zones are de-coupled from the groundwater -- fresh water
24 aquifers -- that we're seeking to preserve. So they can
25 actually not correspond one-to-one to each other. In other

1 words, what might be off structure and presumably not as much
2 interest to the operator may be into an area that is saturated
3 alluvium.

4 So we would be interested in knowing how you propose
5 to gather the information to answer these questions to fill in
6 that data gap as well as potentially monitor for releases.

7 Q. So there's no requirement that a monitor well be
8 drilled in each and every circumstance?

9 A. There probably will be a requirement that there
10 will be a monitor program. Again, I'll just reiterate that
11 while you may not have to put a monitor well in, if you're in
12 an area that coincidentally has pretty good information --
13 that's where you chose to explore -- and you have adequate
14 information, and you can actually say, "Look, here's the depth
15 to water map and here's the water quality of it, and we know
16 the saturated thickness. We were just lucky."

17 We may not require a well be installed for that
18 purpose; we may require a well for long term monitoring
19 purposes.

20 Q. Mandatory to capture some baseline water samples?

21 A. Yes, we would want that. I don't think that
22 you -- well, certainly if you're going to have a monitor -- if
23 your well is being used for long term monitoring, we have to
24 compare it against the baseline sample.

25 And I always recommend to people that the more

1 background samples they can collect, the better off they are in
2 the long term. But you can build what I call statistical
3 variance by sampling, say, quarterly or even more frequently.
4 If you just want to hang your hat on one, I don't recommend
5 that people base background on a single sample because of the
6 natural variation and the water quality.

7 Q. And an operator would have to know exactly what
8 we are monitoring. Is it the Division's intention to monitor
9 individual production wells?

10 A. It could be. I'll hedge a little bit on that and
11 say that we need to see what your overall plan is and make our
12 determination of what we need based on the size of your
13 operations.

14 And also it may be the comments of some other people.
15 We would expect as a result of public notice that somebody will
16 come out and say, "They gave you a map that depicted all the
17 water wells on it, and my three water wells aren't on there."

18 Well, they may not be in there, despite the fact the
19 operator made a good-faith effort to get that information from
20 the State Engineer's Office. The State Engineer may not have
21 that information and the landowners may not be providing that
22 to the State Engineer.

23 So we will have to consider during that hearing
24 process all information before we can come up and make a final
25 recommendation and determination. I would think the Hearing

1 Examiners would want to do that -- and the Commission. And if
2 the Environmental Bureau would find that they are either in
3 support of or in opposition to, or say we think it's great, but
4 they need to make these changes -- that kind of information
5 will have to be determined on a site-specific basis.

6 CHAIRMAN FESMIRE: Mr. Hall, would this be a good
7 place to break?

8 MR. HALL: I just have one more question.

9 CHAIRMAN FESMIRE: Is that all you've got?

10 MR. HALL: No.

11 CHAIRMAN FESMIRE: Okay. One more question and then
12 we'll take a break.

13 Q. (By Mr. Hall): Again, so it's conceivable that
14 the monitoring plan could cover an area immediately adjacent to
15 a producing well or encompass the entirety of the E&D Plan
16 area?

17 A. Yes, sir.

18 Q. Wouldn't it be helpful for the operator to know
19 which you would like when it makes its application?

20 A. Well, again, that depends on the scale of their
21 operations and their proposed plan. Again, we do want to be
22 flexible, but we do have a real need to -- I wouldn't call this
23 a data-gathering exercise -- but that information is really
24 necessary for us to have to be able to protect fresh water.

25 Certain areas, you know, it has been testified, is

1 simpler geology. We know the depth of water; we know the
2 saturation in the alluvial aquifers; we know where the Ogallala
3 is; you know, we know the other water sources, the fresh water.
4 So we have a pretty good handle on that.

5 There's also a lot of reports that have been
6 generated by either the State, you know, the State Bureau of
7 Geology or the USGS. Here's an area where I made a fair effort
8 during the outreach proceedings to go and get familiar with the
9 hydrogeology of the area, and I didn't feel like I grasped it.
10 And I understand from Mr. Morrison's testimony now why that is.

11 Q. Okay. Can we assume that we're not thinking
12 about monitoring plans as you would require for a remediation
13 program? You don't need that?

14 A. That is correct. This is not a program with the
15 goal of detecting, say, hazardous waste being released from a
16 hazardous waste surface or hazardous waste landfill. It is not
17 that scope.

18 And, in fact, I would just observe that at some
19 point, it might be satisfactory to the Division that the well
20 could be plugged and abandoned once we've got sufficient
21 information out of it to determine it -- if we decided that it
22 has to become a long term monitoring well, then we're not
23 talking about that.

24 It may be turned over to the landowner. We might
25 want it to be plugged and abandoned so there's no potential for

1 direct communication to the aquifer; there's no vandalism.

2 Q. Okay. And among the three stated purposes for
3 requiring a monitoring plan, the last is to detect releases.
4 And my question is: Releases of what?

5 CHAIRMAN FESMIRE: It's a good thing you're a better
6 lawyer than you are a counter. Go ahead and answer the
7 question.

8 THE WITNESS: That is included in there as one of the
9 purposes of the monitoring program. As I said, not every well
10 necessarily would have to be a monitor well -- I mean, would
11 have that as its purpose to detect releases. But at that point
12 it does begin to resemble an investigation or remediation
13 program.

14 Q. (By Mr. Hall): But we're limiting our
15 consideration to releases of hydrocarbons; is that correct?

16 A. Well, any subsurface fluids. It could be
17 produced -- water, produced water from -- that would be
18 released through perhaps, you know, people speculated that
19 hydraulic fracturing might be a pathway for this. I have no
20 opinion on whether that's likely or not.

21 But, for example, if there was a release through the
22 fracture, that might be detected by a properly situated monitor
23 well.

24 MR. HALL: Thank you.

25 CHAIRMAN FESMIRE: Mr. Hall, I understand you still

1 have some additional questions for this witness?

2 MR. HALL: Yes.

3 CHAIRMAN FESMIRE: We're going to take a quick break,
4 stand up and stretch, and Commissioner Olson is going to get
5 his calendar.

6 When we come back, we'll take public comment. Please
7 make sure if you intend to give public comment, that you are
8 signed in and have indicated that you want to give public
9 comment.

10 And then when we get done with public comment, we
11 will continue this hearing, and we'll decide then exactly when
12 we'll continue it to.

13 [Recess taken from 4:28 p.m. to 4:37 p.m., and
14 testimony continued as follows:]

15 CHAIRMAN FESMIRE: Let's go back on the record. At
16 this time, we will reconvene Case No. 14255. The record should
17 reflect that all three Commissioners are present and a quorum
18 is present.

19 We have asked those who would like to comment now
20 please indicate so on the sign-in sheet. I have four people
21 who want to comment. I have one person who has to be up at the
22 Roundhouse by five o'clock and would like to go first. Is that
23 acceptable to everybody?

24 Johnny?

25 MR. MICOU: I forgot to write my name on there that I

1 want to comment.

2 CHAIRMAN FESMIRE: I have five people who want to
3 comment.

4 MS. TRUCKER: Six. I don't think I put my name, Amy.

5 CHAIRMAN FESMIRE: Okay.

6 MR. KRAMER: Is Richard Kramer on? It's on the list.
7 I just added it.

8 CHAIRMAN FESMIRE: Okay. Well, we're going to get
9 started, and we're going to stay with the folks who signed in
10 first, and then we're going to on from there.

11 Mr. Byers, you were first?

12 MR. BYERS: Thank you, Mr. Chairman, members of the
13 Commission. My name is George Byers.

14 CHAIRMAN FESMIRE: Mr. Byers, before you start, we
15 have two ways of doing this: One is to just give a statement
16 where you won't be questioned; the other one is to be sworn in
17 to give testimony where you do have the potential to be
18 cross-examined. Do you have a preference?

19 MR. BYERS: I just have a statement. I just want
20 to -- I will say I have been involved with natural resource
21 development in New Mexico since 1976: Coal development,
22 railroad construction for -- between coal, mines, and power
23 plants, isotope separation and now uranium exploration and
24 development.

25 And I would like to speak in objection to this. I

1 think doing what you're proposing or what is being considered
2 on a county-by-county basis or on a basin basis is really at
3 the edge of a slippery slope. There's probably no telling
4 where it might lead. It's the "camel's nose under the tent"
5 for who knows how much regulation. You've got proven
6 technology and capable regulators in this State, and all of us
7 whose job it is to produce things from the ground, to turn on
8 lights, to help us move things, and to move ourselves around,
9 to the clothes we wear -- everything in this room came from the
10 ground somehow.

11 You're going to make it extremely difficult. This
12 State has got serious financial problems already. They're
13 getting worse. If you go to a county-by-county and
14 basin-by-basin basis on this, where might it stop? Are you
15 going to do solid waste transfer stations or water treatment
16 plants on a county-by-county basis for one reason or another?
17 Ultimately, it could lead to that. I think the only winners
18 may be the legal profession, and the rest of us will be doing
19 our best to support them.

20 I think it's very dangerous, and the economy of this
21 State is slowing down fast. Something like this could stop it
22 faster than that poor cow stopped the Rail Runner yesterday.
23 That's my statement, Mr. Chairman.

24 CHAIRMAN FESMIRE: Thank you, Mr. Myers. Marita
25 Noon?

1 MS. NOON: I have no time limit, and if someone has
2 to leave, they're welcome to go first.

3 CHAIRMAN FESMIRE: Is there anybody else that needs
4 to leave? It looks like we're here for the duration, ma'am.
5 Go ahead.

6 MS. NOON: My name is Marita Noon, and I'm the
7 executive director at CARE, Citizens Alliance for Responsible
8 Energy, and I thank you, Mr. Chairman and Commissioners, for
9 giving me this opportunity to share with you my thoughts and my
10 opinions on this particular matter.

11 As I mentioned, I'm the executive director of CARE,
12 so as I stand before you here, I stand before you not just as
13 myself and not just as a single voice, but I'm representing
14 nearly 1,000 citizen members of our organizations who in the
15 four short years this organization has been in existence have
16 entrusted me to speak on their behalf. And these are citizens
17 who have chosen to join this organization because they believe
18 strongly in the right of abundant, affordable and available
19 energy. So that's the background from which I speak to you
20 today.

21 I'm here to oppose these new regulations. I believe
22 that they are overreaching; that they go beyond the
23 Commission's authority; that this is something that should be
24 determined by the legislature; that, in fact, is why there is a
25 bill that is being introduced in the legislature for this next

1 session that will give the legislature authority over
2 these overreaching decisions. I feel that these actions go
3 against the will of the people.

4 Now, you have more people in this room today who are
5 opposed to this -- excuse me -- who are for this particular
6 regulation and this process. However, when you look at the
7 Statewide opinions of New Mexicans in energy -- and my
8 organization did a poll which I have right here; it's available
9 on our website; anyone can look at it if you would like -- we
10 did a Statewide poll of New Mexicans' attitudes towards energy
11 and the vast majority of people in this State favor a strong
12 energy industry in this State, realizing that it impacts the
13 price of gas at the pump and realizing it impacts national
14 security, et cetera.

15 Now, if this rule was only about Santa Fe, which it
16 appears to be at the moment, but those of us who follow these
17 things know that it's really not just about Santa Fe, that it
18 has a much wider and a much broader implication, I guess, is
19 the right word; that it's part of a larger plan to demonize the
20 oil and gas production in America, and that it's not just about
21 Santa Fe.

22 Now, you may think I'm some kind of whack job in
23 coming up with this. I'm kind of out there playing; however,
24 the proponents of this increased regulation, some of whom are
25 in this room, are involved in other organizations such as the

1 executive director for Common Ground, an organization who, if
2 you study their website, their goal is to demonize oil and gas
3 production in America. That's a part of a larger group which
4 is called Earthworks. Their website states the same thing.
5 And Earthworks now has finally acknowledged a plan that many of
6 us have been tracking for a long time, and the plan is called
7 "No Dirty Energy." It evolved from a plan called "No Dirty Oil
8 and Gas." They've been denying this for a couple of years as
9 I've been tracking it. Just earlier this year, Earthworks
10 claimed that they have launched officially this plan called "No
11 Dirty Energy."

12 They aim to make the regulations that are in this
13 State nationwide and as Mr. Jones stated earlier today, he even
14 stated, "I prefer statewide rules."

15 So while what we're supposedly talking about here in
16 Santa Fe County, his comments were, "I prefer Statewide rules."

17 Now, additionally, I had a conversation out here in
18 the hallway today with some of the people who support this
19 regulation. And as we began talking, the conversation quickly
20 led to a ranting conversation about how we must get off of
21 fossil fuels because fossil fuels are killing the planet.

22 Now, you see if this is just about drilling in
23 Galisteo Basin, I believe that's an issue that we can resolve.
24 Amy and I had a very pleasant conversation during the break
25 earlier today. But this is not really about just drilling in

1 Galisteo Basin because the plan is much bigger, including the
2 comment: "We must get off fossil fuels because it is killing
3 the planet."

4 And it's these very regulations that have chased
5 business out of the State. As Mr. Byers mentioned, this State
6 is in serious economic trouble. We have historically in this
7 State, while we are 43rd in the nation in per capita personal
8 income, we have historically in this State enjoyed a surplus of
9 funds. However, the policies -- many of them that come from
10 this organization -- the policies have chased business out of
11 the State.

12 It was mentioned earlier today that Tecton Energy now
13 has their properties up for sale. They have chosen to leave
14 the State because the policies here are such that it makes it
15 too difficult to do business in the State.

16 In the San Juan Basin, Key Energy, one of the world's
17 largest oil service companies, pulled their pressure pumping
18 service out of the San Juan Basin because the Pit Rule made it
19 so difficult to do business, they moved their equipment to
20 Midland, Texas, hurting the New Mexico economy and New Mexico
21 jobs.

22 The well count in the San Juan Basin is now down
23 60 percent due to regulations that make oil and gas production
24 in this State just onerous, just harder and hard. And this is
25 one more layer on that particular process.

1 Everywhere else -- not everywhere else in the
2 country, but including here. Amy and I were talking earlier
3 about the film industry as my husband is involved and their
4 ranch is involved in the film industry. This State has spent a
5 lot of money -- and I don't have documented numbers with me --
6 but this State has spent a lot of money trying to attract
7 business to this State. We did that with Eclipse Aviation. We
8 lost a lot of money on all of these ventures. The oil and gas
9 industry and the uranium industry which I know is not the
10 issue, but which I address as well -- have the potential to
11 bring money here without costing the State money. And yet the
12 State continues to chase these industries out of the State.

13 New Mexico is already at the bottom of the chart in
14 nearly every statistic, and regulations such as this will only
15 push New Mexico into an irretrievable abyss. Earlier when
16 Ms. Spears said, "Without water, we are all going to be
17 moving," I agree with that. Without water, we're all going to
18 be moving.

19 But you know what? Without a strong economy, every
20 one of us except for the extremely wealthy are going to have to
21 be moving because we aren't going to be able to afford to live
22 here even if we have water. We will not be able to afford
23 housing; we will not be able to afford electricity; we will not
24 be able to afford to drive our cars; we will not be able to
25 afford to buy clothes; so yes, water is important.

1 We can have water, but if we have no economy, the
2 water does us little good. She also mentioned that there are
3 wells going dry and wells that have bad water. I live in a
4 rural community myself. I live on a large tract of land, and I
5 have a well on my land. There is no oil and gas or production
6 anywhere near my land. But you know what? The well on my land
7 is bad. The water that comes out of the well on my land is not
8 worth a darn thing.

9 I have water trucked in every five weeks. Yesterday
10 the big truck backed down my driveway that my husband
11 snow-blown so the big truck could get down my driveway and
12 deliver 4,000 gallons of water into my tank.

13 So there's other reasons why a well might be bad.
14 Certainly there's no oil and gas production anywhere near where
15 I live, and my well is bad. We in this State have abundant
16 resources that regulations like these that we're talking about
17 here today make those resources unavailable and therefore
18 unaffordable and disproportionately hurt New Mexico's large,
19 poor population.

20 And I hope that you will take this into consideration
21 as you evaluate this proposed rule.

22 Thank you for listening.

23 CHAIRMAN FESMIRE: Thank you, Ms. Byers. Mr. Clemma?

24 MR. CLEMMMA: My name is John Clemma. I'm a recent
25 resident to Santa Fe. I moved back to the U.S. after 40 years

1 overseas. I'm a geologist, exploration geologist by
2 profession, company director, many public companies around the
3 world which I've mostly gotten off the boards of and a couple
4 of small ones. I come here not knowing quite the right
5 protocols, but I'm truly amazed.

6 I've had the pleasure over many years of negotiating
7 deals in various countries in Southeast Asia and Australia in
8 all levels of government. Frankly, I think you guys have got
9 it backwards. If there's a problem, the Department of
10 Environment should be saying what the deal is. I think it's a
11 terrible idea that companies that want to take risks here and
12 invest money have to prove their innocence first with all sorts
13 of jumping at shallows. It might be this. It might be that.
14 With all these lawyers in the room, I'm just amazed that nobody
15 says that there's some sort of equality in that.

16 Nothing has been done wrong by these people or -- as
17 near as I can figure out -- by anybody else. Yet last year or
18 the year before, I was at a meeting here where one of the
19 people from the environment stood up and said, "Well, we
20 haven't given any permits, but" blah-blah-blah and we've
21 permitted you to pollute.

22 Well, that philosophy, of course, I oppose. I
23 believe that as a human being on this planet, whether I evolved
24 naturally or that God put me here, I do what I do as a human
25 being, and that everything that you see has been invented by

1 us, by us people, for our use, for our benefit, and is natural,
2 is correct. And there are some things that we can do better.

3 And I can remember testifying in front of the Senate
4 Committee back in 1972 in Missoula of all places, about the
5 Clean Air Act. We have way passed most of these things. We
6 are way into the law of diminishing returns that set in some
7 time ago. We're wasting people's lives and time and
8 intellectual capital arguing about how many angels can dance on
9 the head of a pin or could or should.

10 The first thing that we need to do is to decide what
11 the regulations are and just giving a government department the
12 ability to decide who's going to come up and be able to do this
13 or that is absolutely wrong, absolutely.

14 As a tax payer, I'll attack it from another
15 direction. I want to know if you implement this, I really want
16 to know how it's going to make it better -- not just people
17 feeling better. How many jobs are you going to take away from,
18 say, the Department of the Environment because they won't be
19 needed. Why not do the simple things, like perhaps if somebody
20 wants to do something, ask them for a bond and say, "Here's
21 what we expect."

22 You've got a house of cards here that is falling in
23 on us. We see this economically around the world. We are not
24 liked overseas. We are viewed as liars. We're stupid. That's
25 one of the reasons I came back. I got tired of defending the

1 indefensible.

2 I only hope that you can do this and start working
3 backwards, as it were, to get the resources flowing here, to
4 get some profits into this State, let those of us who can do
5 something do something, and work together rather than
6 singularly -- and I'll look forward to these other gentlemen
7 who have gotten their instructions as to what they have to say
8 before I leave -- but please, please, do not allow this to
9 happen. This micro-breaking up as was previously said: This
10 county, that county. It's bad enough just with the difference
11 in the State regulations. What I'm asking you to do perhaps in
12 part, is to fire yourselves.

13 Thank you.

14 CHAIRMAN FESMIRE: Mr. Droz? Is Mr. Droz in the
15 room? I'm sorry. I apologize. I read that wrong.

16 MR. DROZ: You don't mind if I sit down?

17 CHAIRMAN FESMIRE: Not at all, sir.

18 MR. DROZ: Also, if you don't mind, I would like to
19 do something a little new. I don't mind being sworn in and
20 taking any questions.

21 CHAIRMAN FESMIRE: Okay. Will you raise your right
22 hand, please?

23 MR. DROZ

24 after having been first duly sworn under oath,

25 was questioned and testified as follows:

1 THE WITNESS: Mr. Chairman, members of the
2 Commission, my name is Matthew Droz. I am an attorney with the
3 law firm of Baker Botts, and I'm here today representing
4 Halliburton Energy Services Incorporated.

5 I wish to take a moment just to respond to several
6 comments that have been made both today and in the earlier days
7 that this hearing began. Specifically, I'd like to address
8 comments that have requested that the proposed rule require
9 disclosure of chemicals, and more specifically, frac fluid,
10 hydraulic fracture fluid.

11 Halliburton agrees with the State Minerals and
12 Natural Resources, as well as with the OCD, that no such
13 disclosures are necessary. The reason for that -- there's two
14 reasons for that: First of all, there is little or no risk --
15 and that's a term I'm borrowing from the EPA. Second, adequate
16 disclosures already exist.

17 Getting to the little or no risk thought, Mr. Jones
18 the second, Will, I thought he did a very good job of
19 explaining the science that keeps contamination or limits the
20 risk of contamination, and he described some of the engineering
21 protocols, the casing and cementing jobs. He described some of
22 the geological processes and zone of isolation as well as some
23 of the flow-back methods and operational methods that
24 essentially create little or no risk of any contamination
25 underground.

1 He also commended -- this caught me a little off
2 guard -- Halliburton and Schlumberger for their strict
3 adherence to safety. I agree with them. I think Halliburton
4 does a good job of adhering to safety regulations, and I think
5 that limits any risk of contamination. I also think that your
6 proposed rule moving away from pits will further reduce the
7 risk of surface contamination. And with the risk of
8 contamination essentially eliminated, the need for disclosure
9 also seems to become eliminated.

10 However, there are existing federal regulations that
11 do require disclosures. We heard a very heartfelt testimony
12 today earlier today claiming that frac fluids and other fluids
13 are completely exempted from federal regulation and disclosure.
14 That's not true. There are several regulations that do require
15 disclosure. Just to mention a couple of them, the Emergency
16 Planning and Community Right to Know Act, also known as EPCRA,
17 also known as Title 3, does require specific disclosures.

18 Halliburton is regulated by EPCRA, and as such, it
19 must submit on an annual basis specific chemical information to
20 local emergency planning committees, the State emergency
21 response commission and to local fire departments throughout
22 the State.

23 The information that is required to be disclosed
24 through EPCRA is significant. You must disclose chemical
25 names, physical hazards associated with such chemicals, OSHA

1 permissible exposure limits, health hazards associated with the
2 chemicals, including signs and symptoms of the exposure,
3 emergency and first-aid procedures, an estimate of the maximum
4 amount of chemicals present in the facility, a description of
5 the manner in which these chemicals are stored and the location
6 of the chemicals at the facility.

7 In the unlikely event that a reportable quantity of
8 any hazardous chemical is released or spilled, EPCRA requires
9 the immediate notification of local, state and federal
10 officials.

11 Another applicable regulation is OSHA's hazardous
12 communications standards. An emergency medical situation --
13 and this is a topic of much misunderstanding -- in emergency
14 medical situations, OSHA's hazardous communication, HAZCOM,
15 requires all companies, including oil and gas service companies
16 such as Halliburton, to immediately disclose -- in quotes,
17 "specific chemical identity" to a treating physician or nurse
18 regardless of whether the product is protected as a trade
19 secret.

20 Despite allegations to the contrary, there are no
21 exceptions to this requirement and trade secret chemical
22 constituents are not exempted from this disclosure. It is not
23 my intention today to exhaustively list all of the federal
24 disclosure requirements, but simply to point out three things:
25 One, robust federal disclosure requirements exist. Two,

1 companies like Halliburton and other service providers must
2 comply with those obligations. And, three, State and local
3 officials are the recipients of this information as required to
4 be disclosed.

5 In conclusion, let me just reiterate that sufficient
6 disclosure requirements exist. They are in place to protect
7 both human health and the environment. As such, Halliburton
8 agrees with OCD that no additional disclosure requirements
9 should be included in today's proposed amendments to the State
10 Oil and Gas Rules.

11 I appreciate your time. If there are questions, I
12 would love to attempt to address them. If not, I can certainly
13 take them back to the people who know and try to get you an
14 answer.

15 CHAIRMAN FESMIRE: Ms. MacQuesten, do you have any
16 questions of this witness?

17 MS. MACQUESTEN: No questions. Thank you.

18 CHAIRMAN FESMIRE: Mr. Hall?

19 MR. HALL: No questions.

20 CHAIRMAN FESMIRE: Ms. Foster?

21 MS. FOSTER: No questions.

22 CHAIRMAN FESMIRE: Commissioner?

23 COMMISSIONER BAILEY: Yes. Are you familiar with the
24 Leaf case?

25 THE WITNESS: I'm not. Is that here in New Mexico?

1 COMMISSIONER BAILEY: No. That was in Alabama,
2 having to do with the potential contamination of frac fluids
3 for drinking water.

4 THE WITNESS: I am familiar with most of the
5 allegations that have occurred recently. I think I have heard
6 the case that you're discussing, and it was one that not many
7 people are speaking about and talking about right now, so I
8 don't know all the facts and allegations in that situation.
9 But I am aware of various other allegations of contamination.

10 CHAIRMAN FESMIRE: Commissioner Olson?

11 COMMISSIONER OLSON: Well, just following up on that,
12 what can you say about some of these other cases of reported
13 contamination from frac fluids?

14 THE WITNESS: What I can say is two things: EPA,
15 other studies, have concluded that there is -- no case has been
16 concluded or determined through investigation in which the
17 hydraulic fracturing process has contaminated an underground
18 source of drinking waters.

19 That is not to say there haven't been surface spills.
20 That is not to say that surface spills have not contaminated
21 water. That is an issue.

22 We and other service providers attempt to operate
23 safely and when there is an unintended release, it is addressed
24 immediately; proper officials are notified; it's cleaned up and
25 responded to appropriately. But as far as underground

1 contaminations, every case that I've looked at, every case that
2 I've read about, every study I've read, has concluded that the
3 process itself, hydraulically fracturing a natural gas well,
4 has not contaminated a source of drinking water.

5 COMMISSIONER OLSON: That's all I have.

6 CHAIRMAN FESMIRE: Mr. Droz, I appreciate what you
7 said, especially about the Pit Rule. But you understand that
8 there are some companies -- not all -- but some companies in
9 New Mexico are vehemently opposing the Pit Rule right now.

10 They fight local regulations and specific rules for
11 local entities saying that the rules should be Statewide and
12 that the State should make, you know, definitive rules for the
13 State, and they point to the pit -- to the OCD rules as the
14 reason.

15 The OCD rules are becoming more effective. They're
16 becoming stronger. And yet at the same time, they're appealing
17 those rules. And then, you know, I was pleasantly surprised to
18 hear what you have to say about the Pit Rule. That's not the
19 industry -- that's not some of the industry opinion in
20 New Mexico.

21 THE WITNESS: And, well, I guess what I'm saying with
22 the Pit Rule, it's not the Pit Rule specifically, it's the use
23 of closed-system tanks that has reduced some environmental
24 risks. That's not to say it eliminates all risks. It can
25 cause other problems. I can certainly see why members of

1 industry would be opposed to that, because every sort of
2 correction leads to other problems.

3 And so I'm not here to endorse that, but simply to
4 say I understand that it does have at least some benefits while
5 at the same time it may have additional drawbacks. So I don't
6 want to come across as endorsing the Pit Rule, but simply to
7 say if what you propose is enacted, it does eliminate at least
8 one risk.

9 CHAIRMAN FESMIRE: Thank you very much, Mr. Droz. I
10 appreciate it.

11 Mr. Micou, I guess you're next.

12 MR. MICOU: This will be public comment. Mr. Chair,
13 Commission, I'm here representing Drilling Santa Fe, which has
14 1,350 concerned citizens participating, and they're mostly in
15 Santa Fe County.

16 I'm also here as the executive director of Common
17 Ground United. We have over 30 members. Half of those members
18 are nonprofit. Some of those are national. Some are local.
19 We also have -- the other half are businesses, local
20 businesses. And why would they join up with us? Because
21 they're concerned that oil and gas moving to Santa Fe County
22 would adversely affect their business because of the kind of
23 economy we have here.

24 As we move from an era of etiology to one of
25 pragmatism, I'd like to address the issue about the following

1 rig count numbers I keep hearing in the press. The rig count
2 must be taken into context of contango versus normal
3 backwardization. And those are -- I'm not going to get into
4 detail on those. Those are talking about spot oil and futures
5 contracts.

6 Oil prices are dropping. There is a hoarding of oil
7 futures for higher prices, plus OPEC slashed historically
8 output. Likely prices will go lower short term given the short
9 speculating position. But they will reverse and go higher
10 given credence to the lack of supply. In the meantime,
11 drilling programs will pull back. Thus, the lack of drilling
12 and drilling permits are due to market forces and not due to
13 regulations such as the Pit Rule or the rules that you're
14 looking at here in Santa Fe County and the Galisteo basin.

15 Once prices are higher, drilling will begin again and
16 will be willing to speculate in exploratory areas. That would
17 also depend on a line of credit, which I would like to add is
18 created by regulation. Thank you.

19 CHAIRMAN FESMIRE: Amy, I guess you're batting
20 cleanup.

21 MS. TRUCKER: I'm batting cleanup?

22 CHAIRMAN FESMIRE: Yes.

23 MS. TRUCKER: Good. I'm going to be brief and
24 pleasant. My name is Amy Trucker. I live in Galisteo. I love
25 the Galisteo Basin, and that's why I'm here to support, of

1 course, anything that can help to regulate but not to shut down
2 oil and gas development.

3 I think today, just being around you guys and
4 listening -- I do try to be pleasant. That's really important
5 to me, and I wish we all could be a little bit more pleasant in
6 everything we're doing here. But I think that I learned so
7 much in listening to your questions and how the questions could
8 actually help the regulations and maybe clean them up a little
9 bit and clear up some questions.

10 I really think that you're wonderful, Ms. MacQuesten,
11 in what you wrote, and I completely support the regulations and
12 everything that you guys are doing. I know you got to do what
13 you guys are doing.

14 CHAIRMAN FESMIRE: Thank you. Is there anybody else
15 who would like to make a comment? Sir?

16 MR. KRAMER: I suppose I can just give you a
17 statement. I've lived in Santa Fe County for the last eight
18 years. I was asked to come and speak to you about the issue
19 that Mr. Droz also just raised because I'm -- I have a lot of
20 expertise in the area of predicting biological effects from
21 chemical structures. I'll just hold it at that.

22 I have chemistry degrees from Harvard and MIT. The
23 methods I've created are used by pharmaceutical companies
24 everywhere in the world, and I've spent the last 20 years as
25 the chief scientist for the leading company in the field. So

1 we work for farm companies, of course, the oil and gas, I don't
2 know much about that. So I got on the web, and I started
3 looking, since I was being asked.

4 And certainly Mr. Droz' remarks come as quite a
5 surprise when you've spent your time trolling around the web.
6 You can go to any site you want, you can look up, you know,
7 just type in the obvious things, and everybody says that every
8 chemical used is a secret, it's a trade secret. You can't talk
9 about it. It's a trade secret, and it's valuable stuff, and we
10 can't tell you.

11 Well, it's very hard for me to see how that can be
12 consonant with the maintenance of public health issues. If you
13 don't know what the stuff is, how can you or anybody else tell
14 me whether it's safe or not? There are alternatives,
15 certainly, and again, I'll go to the pharmaceutical industry to
16 look for examples. The pharmaceutical industry is all about
17 putting chemicals into people's bodies, and it's a highly
18 regulated sort of enterprise. And sometimes you don't know
19 what the stuff is you're putting into people's bodies.

20 But in general, for example, you have to do all sorts
21 of things to ensure -- and I've prepared a list -- and I
22 understand you can't have the list because I haven't circulated
23 it to your opponents -- but this is what you have to do. You
24 have to fully disclose everything you can.

25 The IP issue exists, of course, in the pharmaceutical

1 industry as well. They have to deal with it in the context of
2 full disclosure. They simply file patents. That's the way IP
3 is protected. It's not usually done by trade secrets. If you
4 don't have anything valuable enough to merit a patent, why in
5 the world are you trying to keep a secret from the public?

6 I don't understand. I don't understand how this is
7 in the public's interest or anybody's interest. You have to
8 share reproducibility, if you can make the same stuff the same
9 way before it goes into people's bodies. You have to worry
10 about the formulation.

11 In my understanding, the way the chemicals are
12 handled at the moment is they're basically supplied by third
13 parties and the oil and gas companies in turn buy this stuff
14 from people who are primarily economically driven. They aren't
15 in the position to do the kind of safety precautions. Let me
16 list the safety precautions that we in the drug industry must
17 undergo simply before they put a chemical in a man for the
18 first time.

19 They have to do acute toxicity in two species. They
20 have to do subacute toxicity which involved dosing a single
21 species for six months. In some cases, they have to do chronic
22 toxicity for two years. They have to show effect on
23 reproductive performance. They have to test for
24 carcinogenicity, and they have to test for immunities.

25 As far as I can tell from trolling around the web,

1 the only tests that are occasionally done on the additives that
2 you're putting on oil and gas here is acute toxicity against
3 certain kinds of aquatic species and only some of the time.

4 I'm surprised by what Mr. Droz has to say, but it
5 certainly seems like it's not practice, whatever the principle
6 may be. So I'll conclude my remarks there. Thank you. What
7 Mr. Droz says is a surprise to me. It doesn't fit the context
8 of everything else I've been reading and everywhere else.

9 CHAIRMAN FESMIRE: Thank you very much, Mr. Kramer.
10 Anyone else?

11 MS. NOON: May I make one more comment?

12 CHAIRMAN FESMIRE: Sure.

13 MS. NOON: In response to his comments? Marita Noon
14 from CARE.

15 I just want to comment on the propriety issue.
16 Simple thing: How many people know the formula to Coca-Cola?
17 I mean, it's like -- my understanding is it's one person or
18 maybe two, and they're not allowed to go on the same plane
19 together because they're the only people who know the formula
20 to Coca-Cola.

21 MR. KRAMER: I think the human toxicity of Coca-Cola
22 is well-established.

23 MS. NOON: Also, I had a privilege of touring the
24 National Enrichment Center for the Uranium Enrichment last
25 Friday. And I was amazed as they toured me through that how

1 nobody knows the entire process. There's a certain amount of
2 people who know how to make the centrifuges. And then there
3 are people who know how to assemble them. Then there are
4 people who know how to operate them. But no one person knows
5 the entire process. And that's for security reasons.

6 So that's proprietary information as well, that
7 nobody knows -- no one person knows how to do the entire
8 process. That's all.

9 CHAIRMAN FESMIRE: Thank you, ma'am. Okay. At this
10 time, we are going to continue this case until the regularly
11 scheduled OCC meeting on January 15. It will be one of several
12 cases on the docket, and it may need to be continued from that
13 point. But it will be continued from now until in the 15th.

14 I want to remind the attorneys that we are going to
15 ask for findings of fact and conclusions of law at the end.
16 We're going to ask you to present proposed rewrites to the rule
17 the way you think the evidence supported it and should be
18 addressed.

19 MS. FOSTER: Chairman Fesmire, when would you be
20 asking for the supported findings?

21 CHAIRMAN FESMIRE: At the end of the hearing.

22 MS. FOSTER: At the conclusion of the last witnesses'
23 testimony?

24 CHAIRMAN FESMIRE: Yes. Within two weeks after that.

25 MS. FOSTER: Thank you.

1 CHAIRMAN FESMIRE: The way I understand it, you still
2 have not identified any rebuttal witnesses, Mr. Hall?

3 MR. HALL: Not yet.

4 CHAIRMAN FESMIRE: Okay. Ms. Foster?

5 MS. FOSTER: I have not either, but I should know
6 within the next couple of days and when I find out, I will
7 notify all parties.

8 CHAIRMAN FESMIRE: Okay. It's my understanding we
9 have Mr. Jones' testimony to complete and Mr. von Gonten's
10 testimony to complete, and there are no other primary witnesses
11 after that?

12 MS. MACQUESTEN: That's right.

13 CHAIRMAN FESMIRE: With that, we will adjourn this
14 hearing until January 15, 9:00 a.m., in this room for the
15 regularly scheduled OCC meeting. Thank you all.

16 * * *

1

2 **REPORTER'S CERTIFICATE**

3

4 I, JOYCE D. CALVERT, Provisional Court Reporter for
5 the State of New Mexico, do hereby certify that I reported the
6 foregoing proceedings in stenographic shorthand and that the
7 foregoing pages are a true and correct transcript of those
8 proceedings and was reduced to printed form under my direct
9 supervision.

10 I FURTHER CERTIFY that I am neither employed by nor
11 related to any of the parties or attorneys in this case and
12 that I have no interest in the final disposition of this
13 proceeding.

14 DATED this 18th day of December, 2008.

15

16

17

18

19

20



21 JOYCE D. CALVERT
22 New Mexico P-03
23 License Expires: 7/31/09
24
25

1 STATE OF NEW MEXICO)
)
2 COUNTY OF BERNALILLO)

3
4 I, JOYCE D. CALVERT, a New Mexico Provisional
5 Reporter, working under the direction and direct supervision of
6 Paul Baca, New Mexico CCR License Number 112, hereby certify
7 that I reported the attached proceedings; that pages numbered
8 1-244 inclusive, are a true and correct transcript of my
9 stenographic notes. On the date I reported these proceedings,
10 I was the holder of Provisional License Number P-03.

11 Dated at Albuquerque, New Mexico, 18th day of
12 December, 2008.

13
14 

15 _____
16 Joyce D. Calvert
17 Provisional License #P-03
18 License Expires: 7/31/09

19
20 

21 _____
22 Paul Baca, RPR
23 Certified Court Reporter #112
24 License Expires: 12/31/09
25