

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
7 July 1983

COMMISSION HEARING

IN THE MATTER OF:

Application of El Paso Natural Gas
Company for the reclassification of
marginal gas wells in the prorated
gas pools of southeast New Mexico
and the suspension of certain pro-
ration rules.

CASE
7858

Application of Doyle Hartman for
classification as marginal of all
wells in the prorated gas pools of
southeast New Mexico.

CASE
7905

BEFORE: Commissioner Ramey and Commissioner Kelley

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Commission:

W. Perry Pearce, Esq.
Legal Counsel to the Commission
State Land Office Bldg.
Santa Fe, New Mexico 87501

A P P E A R A N C E S

1
2
3 For El Paso Natural Gas: John F. Nance, Esq.
Senior Attorney
4 El Paso Natural Gas Company
P. O. Box 1492
El Paso, Texas 79978
5
6 For Doyle Hartman: William F. Carr, Esq.
CAMPBELL, BYRD, & BLACK P.A.
7 Jefferson Place
Santa Fe, New Mexico
8
9 For the Gulf Companies: Anthony V. Sorrentino, Esq.
The Gulf Companies
P. O. Box 3725
Houston, Texas 77253
10
11 For Moran Exploration, Ernest L. Padilla, Esq.
Inc.: P. O. Box 2523
Santa Fe, New Mexico 87501
12
13 For Southern Union Andrew M. Ives, Esq.
Exploration: RODEY, DICKASON, SLOAN, AKIN &
ROBB
P. O. Box 1357
Santa Fe, New Mexico 87504-1357
14
15 For Amoco Production Clyde A. Mote, Esq.
Company: Amoco Production Company
P. O. Box 3092
Houston, Texas 77001
16
17 For Mesa Petroleum Co.: Steven C. James, Esq.
Mesa Petroleum Co.
Vaughn Bldg. Suite 1000
18 Midland, Texas 79701
19
20 For Mesa Petroleum and Owen M. Lopez, Esq.
Bass Enterprises: HINKLE, COX, EATON, COFFIELD, &
HENSLEY
P. O. Box 2068
Santa Fe, New Mexico 87501
21
22 For the State Land Jeff Taylor, Esq.
Office: State Land Office
P. O. Box 1138
23 Santa Fe, New Mexico 87504-1148
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

For Belco, Lewis Burleson, W. Thomas Kellahin, Esq.
Jack Huff, Bob & Dan Hanni- KELLAHIN & KELLAHIN
fin, Alpha Twenty-one, P. O. Box 2265
Geo-Energy Corp., and Santa Fe, New Mexico 87501
John Yuronka:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

STATEMENT BY MR. CARR	7
DANIEL S. NUTTER	
Direct Examination by Mr. Carr	8
Cross Examination by Mr. Kellahin	21
Cross Examination by Mr. Nance	35
Questions by Mr. Stamets	62
Cross Examination by Mr. Ramey	76
Cross Examination by Mr. Pearce	84
Questions by Mr. Stamets	92
H. L. KENDRICK	
Direct Examination by Mr. Nance	95
Cross Examination by Mr. Carr	107
Cross Examination by Mr. Kellahin	122
Questions by Mr. Stamets	129
STATEMENT BY MR. ADAMS	130
STATEMENT BY MR. MOTE	132
STATEMENT BY MR. PICKENS	135
STATEMENT BY MR. LYON	136
STATEMENT BY MR. KELLAHIN	139
STATEMENT BY MR. COLL	139

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

STATEMENT BY MR. SORRENTINO	140
STATEMENT BY MR. LOPEZ	140
STATEMENT BY MR. CARR	141
STATEMENT BY MR. NANCE	152

E X H I B I T S

Hartman Exhibit Twenty-three, Tabulation	9
Hartman Exhibit Twenty-four, Tabulation	9
Hartman Exhibit Twenty-five, Proration Schedule	11
Hartman Exhibit Twenty-six, Tabulation	16
Hartman Exhibit Twenty-seven, Schedule	16
Hartman Exhibit Twenty-nine, Graph	18
Hartman Exhibit Thirty, Graph	18
EPNG Exhibit Eighteen, Graphs	95
EPNG Exhibit Nineteen, Graph	98

1
2
3 MR. RAMEY: The hearing will
4 come to order.

5 This is a continuation of the
6 June 8th hearing in Case Number 7858 and Case Number 7905.

7 Is there anyone here today who
8 wishes to make an appearance who did not make an appearance
9 at the June 8th hearing?

10 Mr. Pearce, did you have some-
11 thing you wished to say?

12 MR. PEARCE: Mr. Chairman, one
13 order of business before we begin.

14 I have been handed a
15 stipulation and order of dismissal, which has been agreed to
16 by counsel for El Paso Natural Gas Company and Doyle
17 Hartman, and with your permission, I will read this stipu-
18 lation to other parties to this matter in the audience, and
19 if they can indicate if they have an objection to this mat-
20 ter, I think we can proceed a little more quickly.

21 The stipulation and order of
22 dismissal states:

23 The undersigned applicants and parties by
24 and through their counsel of record hereby stipulate and
25 agree that Indian Basin Upper Pennsylvanian Gas Pool be, and
is hereby dismissed and deleted from application and fur-
ther consideration in the above styled cases.

Subsequent to signature blocks for El

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Paso Natural Gas and Doyle Hartman and Moran Exploration Company, there is an order provision to be signed by the Commission, which states:

It is ordered that the Indian Basin Upper Pennsylvanian Pool is hereby dismissed and deleted from further consideration in the above styled cases.

At this time I would ask other counsel in this proceeding if they can on the basis of hearing that stipulation indicate any objections, and there being none, I would suggest that the Commission can enter this order and the case can proceed a little more quickly.

MR. RAMEY: Being no objections, we will so enter the order.

MR. PEARCE: Thank you, sir.

MR. RAMEY: I think we had Mr. Nutter on the stand at the end of the hearing the other day. I would request that he take the stand.

You may proceed, Mr. Carr.

MR. CARR: Mr. Ramey, as you will recall, at the June hearing on Mr. Hartman's proposal some confusion developed as to how that plan would be implemented. The confusion seemed to stem from Exhibit Number Twenty-two, which was offered on behalf of Mr. Hartman.

In an effort to clarify how Mr. Hartman's proposal can be implemented, I would request permission to present limited direct examination with Mr. Nutter. This examination will be limited to how Mr. Hartman's

1
2 proposal will be implemented and it all springs from Exhibit
3 22 previously submitted into evidence.

4 MR. RAMEY: I think that might
5 be a good idea, Mr. Carr, personally.

6 DANIEL S. NUTTER,

7 being called as a witness and being duly sworn previously
8 upon his oath, testified as follows, to-wit:

9
10 Q Mr. Nutter, will you please refer to Ex-
11 hibit Number Twenty-two and just briefly, using that as a
12 starting point, explain how Mr. Hartman's proposal would be
13 implemented?

14 A Yes. You'll recall that Exhibit Number
15 Twenty-two was a handwritten, sloppy looking, exhibit that
16 was a tabulation of 1982 average adjusted nominations; 1982
17 average top allowable factors for the fifteen prorated gas
18 pools in southeast New Mexico, and also a tabulation of the
19 1983 June nominations and the so-called June '83 ceiling
20 which would be placed on wells in each of the prorated gas
21 pools.

22 Confusion developed as to just what this
23 meant and how this so-called ceiling would be applied. I
24 therefor prepared several exhibits which are based on the
25 data and are background for the data which was presented on
Exhibit Number Twenty-two.

Now does the Commission have the exhi-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

a

bits?

MR. CARR: No, just a second.

Mr. Nutter, would you please now refer to what has been marked as Hartman Exhibit Twenty-three and review this for the Commission?

A Yes, I will. The first two columns on the previously mentioned Exhibit Number Two were the 1982 average adjusted nominations and the '82 average top allowable factors.

Exhibit Number Twenty-three is a tabulation of the actual nominations and factors for each month in 1982. Over in the righthand column, then, is the average, which was developed for 1982, both of adjusted nominations and factors.

The nominations, as indicated by the footnotes are in thousands of Mcf; the factors are in Mcf; therefor, we would see for the Atoka Pennsylvanian Pool the nominations for the -- the average nominations were 188,400 Mcf for each month. The average factor for each top allowable well would have been 47,204.9 Mcf for the month.

All right, the -- so that's the derivation of the first two columns on Exhibit Number Twenty-two.

Q Will you now refer to Exhibit Number Twenty-four and review this for the Commission?

A Exhibit Number Twenty-four is entitled Hypothetical Fair Share Factors for 1983 Based on Ratio of

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Average Adjusted Nominations for 1982 to Average Nonmarginal Factors as Compared to 1983 Monthly Nominations.

Now, the last two columns on Exhibit Number Twenty-two were June nominations and June ceiling factors only. What I've done here, I've taken from Exhibit Number Twenty-three the average adjusted nominations, they're in the first column to the left on Exhibit Number Twenty-four. I've taken the average factors which were derived on Exhibit Number Twenty-three, and listed them in the second column from the left on Exhibit Number Twenty-four. This gives us our average adjusted nominations, our average factors for each one of the pools for 1982.

Then I've taken the January nominations and developed by the same ratio method that was discussed before what the fair share factor -- I'm calling it a fair share factor rather than a ceiling now -- but what a fair share factor for each top allowable well would have been in 1983, based on those nominations and the ratio of nominations to factors in '82.

Now, for June we come over here and we have the same figures that were in columns three and four on Exhibit Number Twenty-two with a couple of exceptions, a couple of minor errors were found.

There was a substantial error in the calculation of the allowable -- of the adjusted nominations for the Monument-McKee. There was a misplaced decimal point and whereas the factor, the nominations had been shown in --

1
2 in Exhibit Number Twenty-two to be 556,600. The actual
3 nominations averaged 92.3 thousand in that pool. That's the
4 only one with any substantial change.

5 But on Exhibit Number Twenty-four we ar-
6 rive at these fair share factors, which is the -- what a top
7 allowable well would be. It would also be the limit at
8 which no well, theoretically, would produce in excess under
9 Mr. Hartman's proposal of reclassification as marginal.

10 This would be the ceiling, the cap, the
11 maximum fair share factor.

12 Q Will you now refer to Exhibit Number
13 Twenty-five?

14 A Exhibit Number Twenty-five is a mini-
15 proration schedule for the first six months of 1983. I've
16 taken six proration units and applied the Hartman formula
17 for those six proration units.

18 The first well is Alpha Twenty-one's El
19 Paso Plant. This well currently is -- or in the June
20 schedule, at least, was classified as a nonmarginal well.
21 It's overproduced; has a small acreage factor of .50.

22 The next well is the ARCO Oil and Gas
23 Company Shipley' Awn-6 in Unit E of Section 27, 22, 36.
24 These are all in the Jalmat Pool, by the way. This well is
25 also a nonmarginal well. It's on a standard sized unit. It
has an underproduced status in the proration schedule.

The next proration unit is Conoco's
Vaughn B-1, which is a multi-well unit. The 320-acre unit

1
2 has an acreage factor of 2. It is classified as marginal.

3 The next well is a marginal well on a
4 standard sized 160-acre unit. It's the Gulf Jonda No. 3 in
5 Section 11 of 23, 36; has a low production history.

6 The next two wells are Doyle Hartman
7 wells, the first being the Bates BB&S in Section 29 of 25,
8 37. This well has an acreage factor of .75 and carries in
9 the proration schedule as a nonmarginal well a small amount
10 of overproduction.

11 The next well is the Husky Woolworth
12 Well, which is a nonmarginal well on an acreage factor of
13 in the June proration schedule.

14 Now, what I have done here for each one
15 of these months, I have taken the ratio of the nominations
16 for that respective month and compared them to the nomina-
17 tions, the average adjusted nominations for 1982. We'll see
18 that January's nominations, which totaled 1,409,100, rounded
19 off, were 134.91 percent of the 1982 average adjusted nomin-
20 ations. This would give us a factor of 1.3491.

21 Now, I've arrived at two fair shares
22 here. The first fair share, which is listed under the
23 heading January Fair Share, at 134.91 percent, would be the
24 fair share based on average 1982 production for that well.

25 Then over to the right of that two
columns is the maximum fair share with acreage factor. Now
that is based solely on the application of the ratio of
January nominations in 1983 to average adjusted nominations

1
2 lin 1982 times the top unit allowable in 1982, and we will
3 see that in January that .50 acreage factor Alpha Twenty-one
4 Well would have an allowable based on its 1982 production of
5 7069. It would have a maximum fair share with the acreage
6 factor applied of 8,269.

7 Now, we'll go down to the Shipley Well.
8 Based on its 1982 production it would only have a fair share
9 factor of 10,831, because that well was curtailed a great
10 deal in 1982, so its production was not high. So when we
11 apply the -- the allowable factor of 134.91 percent to that,
12 we only come up with an allowable of 10,831 for a fair
13 share; however, under maximum fair share with acreage
14 factor, because that well is on a full size unit, it would
15 have a maximum fair share allowable of 16,539.

16 Now we'll go to the Conoco Vaughn Unit
17 there. This is a marginal unit. The wells do not normally
18 produce very much, and under the calculation applied to the
19 '82 production it would have an allowable of 11,385; how-
20 ever, based on its large acreage factor it could have an
21 allowable, a maximum fair share allowable, if the wells
22 would make it, under the January formula of 33,077. The
23 wells won't make that but if they were in condition to do
24 so, that would be the maximum they could produce.

25 The Gulf Jonda Well is also a very small
well. While it gets a fair share allowable of only 2169, it
could produce up to 16,539.

Now, the Bates BB&S Well of Hartman had a

1
2 1982 average production of 9849. Its fair share based on
3 production only would be 13,287; however, its maximum fair
4 share, applying the proposed formula, would be 12,403, be-
5 cause it's on a short acreage factor, so that well would not
6 be permitted to produce the fair share based on production.
7 It would be limited to the fair share based on acreage fac-
8 tors.

9 The other well of Hartman averaged 5556
10 Mcf per month in '82. Its fair share, based on 1982 pro-
11 duction would be 7496; however, its fair share based on the
12 application of the acreage factors would be 8269. So in
13 these two wells Hartman has one that would be limited by the
14 maximum; he has another one that would be limited by his '82
15 production.

16 The '82 production figure is a tentative
17 figure, however, it's not proposed as a limit. The limits
18 are in the maximum fair share with acreage factor column.

19 Now we go on through the mini-proration
20 schedule, we'll see that the February factor was 122.18 per-
21 cent, because that month nominations were 1,276,000 as op-
22 posed to 1,044,000 in -- average in 1982.

23 So the allowables are a little bit less
24 than they were in January.

25 We go down to March, this time the nomin-
ations totaled only 864,100, so the allowable factor applied
to average adjusted nominations becomes only 82.73 percent
and the allowables are getting less in March of '83.

1
2 Now we go to April, allowables dipped
3 down to 535,000 and the acreage factor became 51 percent.

4 In May allowables climbed back up a
5 little bit and the total nominations were 657,600. The
6 theoretical maximum would be 62.96 percent and allowables
7 have improved somewhat over the depressed allowables in
8 April.

9 June, however, was the month that you'll
10 recall from previous testimony that the allowables were
11 very, very low. Nominations only totaled 32 percent of the
12 average for 1982, and you'll see that the factors, the maxi-
13 mum factors, are the lowest of any time there. The maximum
14 factor for an acreage -- maximum fair share, with acreage
15 factor of 1.00 is only 3922, while these wells on short
16 acreage factors have less than that.

17 Q Now, Mr. Nutter, to be sure there's no
18 confusion on this point, the figure on this proration
19 schedule that actually controls is the maximum fair share
20 with acreage factor.

21 A That is correct. The other -- the other
22 figure, the other column of fair share, is a guide. If the
23 1982 production is an indication of what the well will pro-
24 duce, that would give you an indication of what the well
25 would produce under this month's allowable factor; however,
we know that it's not truly indicative of what the wells
will produce, because some of them were curtailed rather
seriously in 1982; others were not curtailed quite so ser-

1
2 iously.

3 Q Will you now refer to what has been
4 marked as Hartman Exhibit Number Twenty-six and review this
5 for the Commission?

6 A Exhibit Twenty-six is a graphic depiction
7 of what I've been trying to say. It simply is the depiction
8 of the formula in which A equals B divided by C times D.

9 A is the curved month production ceiling,
10 or, if you will, the fair share factor. That's equal to the
11 current month pipeline nominations for a given pool, divided
12 by the average adjusted monthly nominations for 1982 for
13 that pool, times the average monthly allowable for an
14 acreage factor of one in the pool.

15 It tabulates those figures which were
16 depicted earlier, then, on Exhibit Number Twenty -- in the
17 righthand column of Exhibit Number Twenty-three and in the
18 first two columns on Exhibit Number Twenty-four, the nomin-
19 ations and the average factors developed for 1982.

20 Q Will you now review Exhibit Number Twenty-
21 seven?

22 A Exhibit Number Twenty-seven shows how
23 this would be applied. It's an example of how it would be
24 applied. It's pretty much a repeat of the mini-proration
25 schedule which was previously discussed, only it's for the
month of June.

Here the nominations were 334,211 Mcf.
The average nominations for the previous year were

1
2 1,044,000. You divide the current month nominations -- cur-
3 rent nominations of B by C, and come up with the -- you mul-
4 tiply that by the average factor for the Jalmat Pool in
5 1982, which 12,000,259 per month and you come up with A,
6 which is the fair share maximum for the month of June.

7 Now, these figures show that a factor of
8 1 would get a fair share allowable, or fair share factor, of
9 3,000, 922 for an acreage factor of 1.

10 If you went up to a 640-acre unit, that
11 figure would be increased to 15,668; a 40-acre well would
12 get 981.

13 This is the application of the formula.

14 Q Now, Mr. Nutter, in an effort to bring
15 this all together, could you briefly summarize for the Com-
16 mission how Mr. Hartman's proposal can be implemented?.

17 A Yes. One, all southeast prorated wells
18 would be classified as marginal.

19 Two, each gas purchaser to implement any
20 necessary production cutbacks by as equally as is
21 practicable restricting on a time basis each prorated well
22 access to that purchaser's gathering system.

23 Three, any southeast prorated well that
24 is truly nonmarginal and which has sufficient excess pro-
25 ducing capacity shall be further restricted in its
production by being assigned a monthly fair -- a maximum
fair share factor, which shall be calculated by the formula
set out in Exhibit Number 26, Entitled Formula for Calcula-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

tion of production ceiling.

Four, for a given prorated well each pipeline purchaser is to balance out with all other wells in the pool over a specified period of time access that the well has to the pipeline system. The ultimate responsibility for policing the actual time access to the pipeline system shall be left to each individual operator.

Q Mr. Nutter, will you now refer to Exhibits Twenty-nine and Thirty and review those for the Commission. There is no Exhibit Number Twenty-eight.

A You will recall that in the previous testimony I was discussing the hypothetical case where you had a 5-well prorated pool and the normal conditions, market demand was 1000 Mcf per day. Well No. 1 would make 450 Mcf a day; Well No. 2, 250; No. 3, 148 -- 140,000; Well No. 4, 128; and Well No. 5 would make 32.

Now, under the proposal by El Paso all of those wells would have been reclassified as nonmarginal and -- except No. 5, and they would have all been cut back to 117 Mcf.

Well No. 1 would lose 333 Mcf, or 74 percent of its previous production, based on a 50 percent cut in nominations.

Well No. 2 would lose 133 Mcf, or 53 percent.

Well No. 3 would lose 23 Mcf, or 16 percent.

1
2 Well No. 4 would lose 11 Mcf, or 8.5 per-
3 cent.

4 Well No. 5 would stay the same with no
5 loss.

6 That's depicted on Exhibit Number Twenty-
7 nine.

8 Exhibit Number Thirty is a depiction of
9 the same market situation where normally the wells were pro-
10 ducing 1000 Mcf, where the pool and market went down 50 per-
cent.

11 Under the Hartman proposal of limiting
12 access to the pipelines by 50 percent, Well No. 1 would lose
13 50 percent of its production. Well No. 2 would lose 50 per-
14 cent of its production; Well No. 3, 50 percent; and No. 4
and 5 would also lose 50 percent.

15 This is a depiction of the figures that I
16 was trying to read into the record in the previous
17 testimony, I think I didn't do a very good job of. I
18 thought it would be clearer if I showed them in black and
19 white.

20 We feel that case one of Attachment B, or
21 Exhibit Number Thirty is a fairer and more equitable distri-
22 bution of the depressed market that we have today than case
-- that Exhibit Number Twenty-nine is.

23 Q Mr. Nutter, in your opinion, would
24 granting the application of Mr. Hartman be in the best in-
25 terest of conservation, the prevention of waste, and the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

protection of correlative rights?

A I certainly think it would. Previous testimony indicated that this would result in a violation of correlative rights, the application of the El Paso formula.

Also, the testimony showed that you would have situations in which waste would actually occur as a result of the El Paso formula.

So I believe that this does protect correlative rights. It cuts everybody back equally. It's in the interest of the protection of correlative rights. The New Mexico Supreme Court has held that the protection of correlative rights is a necessary adjunct to the prevention of waste; therefor, I think it would also prevent waste.

Q Mr. Nutter, if Mr. Hartman's application is granted, does Mr. Hartman have staff available to work with the Commission in implementing the plan?

A I would like to stress that if the Hartman plan should be adopted, we would be most happy to work with Mr. Garcia and any other of the Commission or the Commission staff to implement the actual mechanics of this, and also to participate in any further hearing if it was found necessary in order to adopt the actual procedures.

Q In your opinion is it a proposal which can be practicably implemented by this Commission?

A Well, I certainly believe so. My little mini-proration schedule here was not worked on Harold Garcia's big computer; it was worked on my little pocket

1
2 culator, and if I can do it here for six wells, he could do
3 it for 1200 wells with his big computer.

4 Q Mr. Nutter, were Exhibits Twenty-three
5 through Twenty-seven and Twenty-nine and Thirty prepared by
6 you or for you under your direction and supervision?

7 A Yes, they were.

8 MR. CARR: At this time, Mr.
9 Ramey, we would offer into evidence Hartman Exhibits Twenty-
10 three through Twenty-seven, Twenty-nine and Thirty.

11 MR. RAMEY: Hartman Exhibits
12 Twenty-three through Twenty-seven, Twenty-nine and Thirty,
13 will be admitted.

14 MR. CARR: We would tender Mr.
15 Nutter for cross examination.

16 MR. RAMEY: Any questions of
17 the witness? Mr. Kellahin.

18 MR. KELLAHIN: Thank you, Mr.
19 Chairman.

20 CROSS EXAMINATION

21 BY MR. KELLAHIN:

22 Q Mr. Nutter, when was gas prorationing es-
23 tablished in southeastern New Mexico, do you recall approxi-
24 mately when?

25 A Yes, 1954 was the original implementation
of it. One of my exhibits showed -- well, Exhibit Number --

1
2 Exhibit Number One shows the annual production for each pool
3 in southeast New Mexico, commencing with the year of the in-
4 stitution in that pool. It ranges anywhere from 1954 to
5 1974, I believe.

6 Q Since that period when prorationing was
7 established in southeastern New Mexico, has the Division
8 continued to use a method of well classification that
9 included a category for marginal wells?

10 A Oh, yes.

11 Q What is your understanding of the
12 definition of a marginal well?

13 A A marginal well, under the definition of
14 the rules, the gas proration rules as set forth in Order No.
15 R-1670, as amended, states that any well, which in a three-
16 d23th period its best production is not equal to its average
17 allowable, is automatically classified as marginal.

18 Q Once a well is classified as a marginal
19 well, what is that well allowed to do in terms of its capa-
20 city to produce?

21 A It's permitted to produce at capacity,
22 theoretically.

23 Q That well, then, if it's classified as a
24 marginal well, is not restricted or curtailed in its pro-
25 duction in the implementation of the proration formula.

A That is correct. As we pointed out, 95
percent of the prorated wells in southeast New Mexico are
currently classified as marginal, and theoretically

1
2 operating at capacity.

3 Q What is your understanding of the reason
4 that the Division has historically used a category of
5 marginal well classification?

6 A I really wouldn't know why a marginal and
7 nonmarginal classification was originally set up. I presume
8 that it was to separate the good wells from the bad wells
9 and to allow the bad wells to produce 100 percent of the
time and to allow the pipelines to swing on the good wells.

10 Q Are you aware of any conservation reason
11 why you would want a low capacity, low volume, marginal
12 wells to produce at their full capacity?

13 A Oh, some of them there might be some
14 reason; others, there's no reason why they should produce at
15 capacity at all times.

16 Q Well, would not allowing those marginal
17 wells to produce at capacity prolong the economic life of
those marginal wells?

18 A Allowing any well to produce at its cap-
19 acity at the end of its life is going to prolong the life of
20 the well.

21 Q And that would avoid the premature aban-
22 donment of marginal wells and avoid losing gas that would
23 otherwise be recoverable from the reservoir, would it not?

24 A If you averted the premature abandonment
25 of wells, you would probably avert a certain amount of
waste, yes.

1
2 Q And that concept has been used by the
3 Commission since 1954 in giving special consideration, then,
4 to marginal wells so that they're allowed to produce at
5 their capacity.

6 A They normally have been permitted to pro-
7 duce at capacity; however, under current conditions it's
8 been testified they're not being permitted to produce at
9 capacity any longer.

10 Q I understand.

11 A They're being restricted.

12 Q El Paso, in fact, is restricting those
13 wells, is that correct?

14 A I believe, so, yes.

15 Q Now, if I understand Mr. Hartman's
16 proposal, he would take wells that are now currently classi-
17 fied as nonmarginal, those wells that have a high capacity,
18 and reclassify them as marginal wells. In other words, all
19 wells are going to be classified as marginal.

20 A We've proposed that 5 percent of the
21 wells that are currently classified as nonmarginal would be
22 classified with the other 95 percent that are currently mar-
23 ginal; therefor, you would have 100 percent marginal wells.

24 Q He would, therefor, eliminate this dis-
25 tinction that the Division has historically made between
marginal and nonmarginal wells.

A Yes, to this extent: That marginal wells
have never by the Commission been mandated to produce at 100

1
2 percent of their capacity. It's a classification by the
3 Commission and there's been no legal requirement under the
4 rules and regulations of the Commission that those wells
5 would be classified -- would be produced at 100 percent of
6 the time.

7 It may be a pipeline policy, as we've
8 heard it here at this hearing, to produce marginal wells 100
9 percent of the time. In that event, what you say may be
10 true, that historically those wells have been permitted
11 to produce 100 percent of the time, but the classification,
12 or the reclassification as proposed by Mr. Hartman would not
13 change that in that the pipelines currently are restricting
14 marginal production.

15 Q Let's look at Mr. Hartman's Exhibit Num-
16 ber Thirty, Mr. Nutter. What you have graphically
17 demonstrated here, Mr. Nutter, is what Mr. Hartman's
18 proposal is to do with regards to the implementation of the
19 allocation or prorationing schedule in a situation where you
20 have a depressed market.

21 If I understood you correctly, he would
22 propose that the curtailment percentage using your formula
23 is going to be apportioned among all wells by the same per-
24 centage.

25 A That is correct.

Q So when we get down to a well at the far
right, a 32 Mcf per day well, now that well currently under
the existing practice of the Division would be classified as

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

a marginal well.

A That well is classified as a marginal well right now.

Q Are you aware of how many wells in the Jalmat currently produce 33 Mcf per day, or less?

A No, I haven't made that calculation.

Q All right, but a well, that, in fact, makes that is a marginal well?

A I believe that I could give you some figure on that. Exhibit Number Twelve was a tabulation of the wells that would remain as marginal wells under El Paso's proposal, and I believe, you may recall that I had gone through December, November, January, production to find wells that would not make a million a month, and then to give them -- if I couldn't find them in those three months, including December, which was the best month of that three month period, then I went to February and March, also, looking for wells that would make a million, and in the Jalmat Pool I found that there were 80 wells, 80.42 acreage factors, which doesn't necessarily mean 80.42 wells, 80.42 acreage factors that would remain marginal under El Paso's scheme.

Q So of those 80+ acreage factors, under existing procedures those wells would not be curtailed. They currently are allowed to --

A I don't know if El Paso is currently producing those wells 100 percent of the time or not. Under

1
2 their proposal, you'll recall their original proposal was to
3 reclassify all wells as nonmarginal, and then they amended
4 their proposal later, to say, well, we'll leave wells as
5 nonmarginal that will make a million a month, leave wells
6 marginal, but their proposal originally was to reclassify
7 all wells as nonmarginal, in which case all wells would have
8 been curtailed, and I'm not sure they're not curtailing
9 those wells at this time.

9 Q Under the examples demonstrated on
10 Exhibit Number Thirty, when we look at a well that produces
11 32 Mcf per day, under the method of curtailment proposed by
12 Mr. Hartman those wells that were previously allowed to pro-
13 duce at capacity are going to be restricted in the same
14 ratio as all nonmarginal wells are going to be restricted.

15 A This is correct. All production would
16 share the depressed market.

17 Q For those wells, then, if it's a 50 per-
18 cent curtailment, that well will obviously be divided in
19 half and allowed 16 Mcf.

20 A That is correct.

21 Q Have you made any determination or study,
22 Mr. Nutter, as to what the adverse impact would be on those
23 marginal wells within those proration units?

24 A No, I haven't, but when market conditions
25 get such that certain wells can't be produced, maybe they
ought to be shut-in and temporarily abandoned until market
conditions get better.

1
2 I don't think you can tailor the whole
3 market to 1500 wells to half a dozen wells that are down on
4 the fringes of economic abandonment, anyway. What we're
5 trying to do, we're trying to protect correlative rights,
6 which we have found to be a necessary adjunct to prevention
7 of waste, and if it's going to cause some of these very low
8 marginal wells to be shut-in for the time being, until mar-
9 ket conditions improve, then so be it; it's just got to hap-
10 pen. You can't -- you can't keep wells on production for-
11 ever. There comes a time when certain wells must be cur-
tailed or even abandoned.

12 It's harsh fact of life, but that's the
13 way it is with oil and gas wells.

14 Q You've talked about the protection of
15 correlative rights, Mr. Nutter. How would a curtailment
16 formula as you propose, that restricts marginal wells, pro-
17 tect the correlative rights of the operators of those mar-
ginal wells?

18 A Well, if he can't -- if he can't produce
19 it economically, the protection of -- the correlative rights
20 means your opportunity to produce your fair share, and if
21 you can no longer produce your fair share because of econ-
22 omics, I don't think correlative rights can be tailored to
your well necessarily.

23 Q Let's go back to your method of
24 calculating this allocation formula, your fair share calcu-
25 lation. I guess it's Twenty-seven, or any of those that

1
2 show that --

3 A Yeah, it's --

4 Q -- formula.

5 A Yeah, it's on a number of those exhibits,
6 Mr. Kellahin.

7 Q Yes, sir. Isn't the effect of what you
8 have proposed here, Mr. Nutter, simply a recognition of de-
9 liverability as a factor in the allocation formula?

10 A It is to this extent, Mr. Kellahin. As I
11 stated before, 95 percent of the wells in southeast New
12 Mexico are currently classified as marginal. 95 percent of
13 the wells that we started out talking about in this hearing.

14 We've now dismissed the Indian Basin,
15 where the biggest part of the nonmarginal wells are, so now
16 we're talking about maybe 97 or 98 percent of the wells are
17 currently classified as marginal.

18 And if marginal wells are, in fact, as
19 you were discussing awhile ago, permitted to produce at cap-
20 acity, you're 98 percent on deliverability right now, and
21 we're not proposing any great change in the -- in the appli-
22 cation of any formula. If 98 percent are on deliverability,
23 we put 100 percent on deliverability.

24 El Paso's program was going to reclassify
25 98 percent of the wells to nonmarginal and --

Q Well, I think we have some trouble with
semantics here, Mr. Nutter. The deliverability you're
talking about is tied to the marginal wells. That's an ex-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

empt classification. In other words --

A Well, yeah, but the wells for practical purposes are producing on a deliverability basis because, as you stated, they're on the line 100 percent of the time, unless you have a depressed market like you've got today.

So they're on a deliverability delivery factor.

Q For the marginal wells.

A Yes, 98 percent of the wells we're talking about.

Q Under current provisions of Order No. R-1670, a deliverability factor is not permitted in the calculation for the allowable of the nonmarginal wells.

A No, they're all on straight acreage and our --

Q All right, and --

A -- maximum fair share factor is -- which would be the controlling factor on this mini-proration schedule -- is a straight acreage factor.

Q Under your proposal, for the first time, then, there will be deliverability as a portion of the calculation of the allowable for the nonmarginal wells.

A No. No, deliverability doesn't enter into the calculation. A time share basis enters into the calculation. We're saying that if the pipelines say that the market demand is 65 percent of what it was last year, we'll put the wells on the line 65 percent of the time.

1
2 empty classification. In other words --

3 A Well, yeah, but the wells for practical
4 purposes are producing on a deliverability basis because, as
5 you stated, they're on the line 100 percent of the time, un-
6 less you have a depressed market like you've got today.

7 So they're on a deliverability delivery
8 factor.

9 Q For the marginal wells.

10 A Yes, 98 percent of the wells we're
11 talking about.

12 Q Under current provisions of Order No. R-
13 1670, a deliverability factor is not permitted in the calcu-
14 lation for the allowable of the nonmarginal wells.

15 A No, they're all on straight acreage and
16 our --

17 Q All right, and --

18 A -- maximum fair share factor is -- which
19 would be the controlling factor on this mini-proration
20 schedule -- is a straight acreage factor.

21 Q Under your proposal, for the first time,
22 then, there will be deliverability as a portion of the cal-
23 culation of the allowable for the nonmarginal wells.

24 A No. No, deliverability doesn't enter in-
25 to the calculation. A time share basis enters into the cal-
26 culation. We're saying that if the pipelines say that the
27 market demand is 65 percent of what it was last year, we'll
28 put the wells on the line 65 percent of the time.

1
2 Q Now, the time share concept is nothing
3 more than a different phrase for deliverability, isn't it,
4 Mr. Nutter?

5 A It's access to pipeline facilities, is
6 what it is.

7 Q And whatever that well will produce on
8 that day.

9 A It's access to pipeline facilities.

10 Q At its capacity at that day.

11 A On that day.

12 Q Yes, sir, so that, in fact, is a deliver-
13 ability.

14 A Which is what the wells are doing now,
15 they're on -- 98 percent of the wells are marginal and
16 that's what they're doing now.

17 Q Yes, sir.

18 A They're on pipeline delivery basis.

19 Q Yes, sir, but not for the nonmarginal
20 wells.

21 A Well, the 2 percent that are still
22 nonmarginal, right.

23 Q That's right, and for the first time,
24 then, we are going to have a system that includes deliver-
25 ability for the nonmarginal wells.

A No, it won't, because there won't be any
nonmarginal wells.

1
2 Q That's a point. Let me ask you what hap-
3 pens under your proposal with regards to the fair share al-
4 lowable for what I will characterize as a well that's not
5 going to be able to produce that fair share allowable.
6 There was a Conoco well under your mini --

7 A Right.

8 Q -- proration schedule.

9 A Right.

10 Q One of those Conoco wells, you said, is
11 not going to make its fair share allowable.

12 A Well, there are two wells on the unit.

13 Q Yeah, it's not important which ones they
14 are, but there is a type of well that can't make the fair
15 share allowable.

16 A That is correct.

17 Q What happens under your proposal to that
18 underproduction, the difference between what the well will
19 make and the fair share allowable?

20 A The same thing that's happening now.

21 Q There'd be no change in it.

22 A There'd be no change in that well's
23 status. That well is -- that unit is not carrying any
24 underproduction because it's classified as marginal. There
25 would be no change in that unit whatsoever.

26 This is -- this number here, if you'll
27 look at Exhibit Number Twenty-five, for the month of
28 January, you'll see that that Conoco Vaughn B-1 Unit has a

1
2 maximum fair share factor for an acreage factor of 2 of
3 33,000. The well averaged 8,400 in the year 1982.

4 Now, that well -- that unit was
5 restricted at certain times. I think you'll come down here
6 on our proration schedule and you'll see in the month of
7 December, when the market was pretty good, last December,
8 the well -- the unit made 19,000, which was twice what it
9 made for an average in 1982.

10 Q I'm not interested in specific numbers,
11 Mr. Nutter --

12 A Yes, but --

13 Q I want to have you explain the concept --

14 A Right.

15 Q -- of how this works for me.

16 A The maximum allowable that that well
17 could produce, if it were capable of doing it, in January of
18 1983 would have been 33,000.

19 The wells can't make 33,000, I don't be-
20 lieve, so --

21 Q Let me ask you a question.

22 A So it's not accumulating any underpro-
23 duction now; it wouldn't accumulate any underproduction un-
24 der our proposal.

25 Q All right. Under current prorationing
methods a well that is a marginal well producing at capacity
cannot make that allowable assigned to it and it would gen-
erate an underproduction. What happens to the underpro-

1
2 duction.

3 Q All right, sir. What happens to those
4 wells that I'll call marginal under your calculation of the
5 fair share allowable? There is a gap there in which it can-
6 not produce enough to meet its fair share.

7 A If it's due to pipeline curtailment be-
8 yond the professed demand for that month, then the producer
9 has a case against the pipeline.

10 Say that the pipeline deliverability, or
11 the pipeline access, is determined to be 65 percent for a
12 month, average pipeline access, and the pipeline produces
13 the well only 25 percent of the time. If, over a period of
14 time, you said -- you'll recall that we would require the
15 pipelines to balance out with producers over a period of
16 time, and if the pipeline has not balanced out with that
17 producer, then there'd be a case between the producer and
18 the pipeline. Why haven't you produced my well? Over here
19 across the line I see that you've overproduced my neigh-
20 bor's well, and it's a matter between the pipelines and be-
21 tween the producers, which is the way it is right now with
22 marginal production. The marginal production -- the Commis-
23 sion doesn't do anything to protect the producer with mar-
24 ginal wells at this time. He's on his own, and the pro-
25 ducer would continue to be on his own to protect his wells
and see that the pipeline takes his production. He's going
to have to get a hotline to the pipeline office, maybe.

MR. KELLAHIN: Thank you, Mr.

1
2 Chairman, I have nothing further.

3 MR. RAMEY: Any other questions
4 of Mr. Nutter? Mr. Nance.

5
6 MR. NANCE: Mr. Chairman, first
7 of all, I wondered if we might appropriately ask a few ques-
8 tions relating to Mr. Nutter's earlier testimony during --
9 his direct testimony during the June portion of the hearing?

10 MR. NUTTER: I don't remember
11 what I said then, so --

12 MR. NANCE: Well, I'll try to
13 remind you.

14 MR. NUTTER: I'm sure you will.

15 CROSS EXAMINATION

16 BY MR. NANCE:

17 Q Mr. Nutter, in your being qualified as an
18 expert witness in petroleum engineering, prorationing mat-
19 ters, and also regulatory matters, by your attorney, Mr.
20 Carr, you indicated many years of experience with the New
21 Mexico Oil Conservation Commission and the Oil Conservation
22 Division, is that correct?

23 A That is correct.

24 Q In all those years with the -- either the
25 NMOCC or the OCD have you ever proposed such a formula for
protecting gas or for prorating gas in any pool in New Mex-
ico as what you are proposing in this particular case?

1
2 A No, there's never been a case like this
3 brought before the Commission before.

4 Q Okay, thank you.

5 You discussed what can be done to ease
6 the present burden on gas producers in New Mexico, and you
7 suggested that the answer would be to reduce takes ratably,
8 and that's what you are continuing --

9 A That's the basis of our case.

10 Q -- to propose this morning.

11 A Ratable reduction.

12 Q Could you tell me if another solution
13 would be to permit every producer an equal part of over-
14 production in making market demand?

15 A Every producer? No, because every pro-
16 ducer doesn't even have the same number of wells.

17 Q Shall we say an equal -- a portion equal
18 to that producer's interests?

19 A No, I don't think so. Why should a pro-
20 ducer that has ten wells that will make 100 Mcf total get
21 the same amount of production into the pipeline that a pro-
22 ducer that has ten wells that will make 1000 Mcf?

23 Q All right.

24 A In other words, if you're going to put it
25 on a per well basis -- if every producer had wells, the same
26 number of wells, that every other producer has, and every
27 producer's wells were of equal capacity, then all producers
28 should be cut equally.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q All right.

A But it has to be all on an equal ratable basis.

Q Okay, assuming, however, that you were using a 100 percent acreage allocation formula, what would your answer be then?

A Well, the maximum acreage -- maximum fair share factors here consider acreage. They consider nominations and previous acreage factors, or top allowable factors, times current or present nominations and acreage factors, and so the wells would have a maximum fair share based on acreage. There's no departure from acreage in this formula that we're proposing.

Q All right, and as far as the existing rules are concerned in the Jalmat Gas Pool, for example, is it not true that each well in the Jalmat is allowed a portion of the market demand according to that well's acres, or acreage factors, and the relationship that that acreage factor -- that those acres then bear to the total acres in the pool?

A No. No, that's not true, because -- because --

Q Are you talking about current rules?

A Yes. Because in the Jalmat Pool we have a total of 355.94 total acreage factors. Of those only 6.25 are nonmarginal, so 349.69 out of 355.94 are marginal factors. So they don't have access solely on the basis of

1
2 acreage. They have access on the basis of their deliver-
3 ability into the pipeline, their marginal wells.

4 So they're not operated solely on
5 acreage.

6 Q Now, the distinction you're talking about
7 then, is between nonmarginal and marginal, if all wells were
8 classified as marginal, then the access to the market would
9 be strictly on the basis of 100 percent acreage?

10 A No, no, it's just the opposite, if they
11 were all nonmarginal would be on the basis of 100 percent
12 acreage. If they're marginal it's on the basis of deliver-
13 ability, if you will.

14 Q What is the reason for classification of
15 wells as marginal?

16 A They can't make the allowable.

17 Q All right. Let me take you through an
18 example, if we might.

19 Assume that we have a new pool and that
20 we start proration for that pool on a well by well basis,
21 using 100 percent acreage factor as the basis for the cal-
22 culation of allowables, could you describe how that would
23 work on a well by well basis?

24 A Well, normally the way it would always
25 work would be you'd have nominations totaling, say, 1000,
26 you'd have five wells that come in in the pool. You'd
27 divide the -- and they're all of equal capacity -- divide
28 5000 by 5 and give each one 200.

1
2 And then as marginal production develops, this is under the
3 current system --

4 Q All right.

5 A As marginal production -- as marginal
6 wells develop they're permitted to produce, if they can't
7 make that 200, they're permitted to produce what they can
8 and the balance is divided among the remaining four wells,
9 if one of them goes marginal.

10 Q Okay. Is this not the historical basis
11 for the proration scheme that has been in effect --

12 A Yes, this is the way it was adopted in
13 southeast New Mexico and has been until -- until now.

14 Q Okay, do you know how long this type of
15 calculation has been in effect for the -- well, for the
16 Jalmat Pool, for example?

17 A Yes, since 1954 in the Jalmat. As I
18 stated to Mr. Kellahin, it's anywhere from '54 to '74 that
19 this gas prorationing was implemented in various pools.

20 Q All right. Would you say that if wells
21 were properly classified in the Jalmat Pool, as an example,
22 as between marginal and nonmarginal, given the existing
23 rules that the proration scheme would be on an equitable
24 basis, protecting correlative rights, preventing waste?

25 A It would be if you had flush production.
This worked fine when these pools were better pools, but as
you'll recall from Exhibit Number One, everyone of these
pools has declined. There's only two of these fifteen pools

1
2 that's making as much as 50 percent of its maximum
3 production. It ranges from 74 percent down to only 2 per-
4 cent of its previous high.

5 So many of these pools are at advanced
6 state of depletion here and a straight acreage formula just
7 isn't that applicable any more as it once was, because so
8 many of the wells have gone marginal and the
9 reclassification now to nonmarginal of everything above this
10 is kind of farfetched, as was shown by another witness in
11 the previous hearing on this matter, the classification as
12 nonmarginal and the curtailment of some of these wells is
13 going to cause gas to migrate from one well to the other.
14 Violations of correlative rights will occur. Subsequent
15 waste will follow, and it just isn't practical in an ad-
16 vanced state of depletion to classify everything as nonmar-
17 ginal.

18 Q Could you tell me, does flush production,
19 which you described as what would be required for these --
20 for these rules to work, does flush production become the
21 factor that requires proration, or is proration needed be-
22 cause market demand is less than producing ability in a gas
23 pool?

24 A Well, under normal conditions you would
25 expect the market to be able to support wells that -- and
support allowables that are fairly realistic, but when we
have a depressed market like we have today, those allowables
do not become realistic, and what might have been proper for

1
2 classification of wells as nonmarginal in previous days is
3 no longer proper. It's hard to say just what flush
4 production is, but it's -- it's good production. It's not
5 stripper production. We're talking about an awful lot of
6 wells that are approaching or are in almost a stripper
7 state.

8 Q Wouldn't it make sense, then, if the mar-
9 ket is at an unrealistically low -- or an unusually low
10 level, that allowables should also be set at a correspond-
11 ingly low level?

12 A That's probably right, if it's done on a
13 ratable basis, but not on a non-ratable basis, and we don't
14 feel that the El Paso was ratable, because it's taking away
15 so much from some wells and not taking away anything from
16 other wells, as Exhibits Numbers Twenty-nine and Thirty
17 show.

18 Here we had this well that was making 450
19 under the 1000 Mcf per day market and it's cut by 74
20 percent, and one of these other wells that was become non-
21 marginal under your proposal is only cut 8.5 percent.

22 We don't feel this is ratable. We feel
23 that a ratable reduction of market should apply to these,
24 and that all of them should share in this depressed market.

25 It's unreasonable to expect just a few to
bear the burden and the other wells to take the free ride,
so to speak.

Q However, the way that the rules are cur-

1
2 rently stated, and the rules that have been established by
3 the Commission up to this point on the basis of what the
4 Commission saw as reasonable evidence, said that 100 percent
5 acreage is the appropriate basis for allocating production
6 among wells during periods of proration, is that not
7 correct?

8 A That is correct, under the existing rule,
9 acreage is the only method that's used to divide the allow-
10 able among the wells that can't make -- that can make their
11 allowable.

12 Marginal wells are not subject to that
13 acreage factor, except the acreage factor and the assigned
14 allowable are what determine whether the well is classified
15 as marginal.

16 But under the rules, a well is supposed
17 to come back as nonmarginal if it can make the allowable and
18 you all haven't been willing to wait for the wells to come
19 back to nonmarginal. You come in here and you say let's
20 classify everything down to 1-million as nonmarginal. You
21 haven't waited for the thing to work.

22 It used to be that wells were
23 reclassified on a more frequent basis back to nonmarginal
24 and El Paso is the one that asked for the rules to be
25 changed to wait one full year before you could get back into
26 a nonmarginal status. El Paso's the one that asked for that
27 change.

28 Q When was this?

1
2 A Oh, I don't remember when. It's a number
3 of years back that that rule was changed, but it was on the
4 application of El Paso.

5 Q During a significantly different market
6 situation.

7 A Right, that's right. That's when you
8 wanted to keep things marginal. Now you want to get things
9 nonmarginal.

10 Q I'd like, if we might, to go back to your
11 Exhibit Number Twenty-five, which you introduced this
12 morning.

13 A Okay, that's the mini-proration schedule?

14 Q That's correct, and if you wouldn't mind,
15 please, explaining again, because we, as you started your
16 explanation this morning we hadn't yet gotten copies of the
17 exhibit and it's a little difficult for us to follow the
18 calculation that you've made --

19 A Okay.

20 Q -- for determining the difference between
21 what you indicate here as an example as the January fair
22 share and the maximum fair share --

23 A Okay.

24 Q -- considering the acreage factor.

25 A Okay.

Q If you could go through that.

A Okay. Now nominations are not on that;
however, we'll take just the month of January, it's the top

1
2 of the first page of Exhibit Number Twenty-five.

3 Now, the average adjusted nominations for
4 this pool in 1982 were 1,044,500.

5 Q That's the average nominations.

6 A The average adjusted nominations in 1982.

7 Q All right.

8 A The nominations for the month of January
9 totaled 1,409,100. These are rounded off to even 100's.

10 Now, if you divide the January nomina-
11 tions by the 1982 adjusted nominations, you'll find that the
12 January, 1983 nominations were 134.91 percent of the average
adjusted nominations for 1982.

13 Now --

14 Q Now, when you say adjust nominations,
15 you're talking about nominations that were made for the
16 month of January and then subsequently --

17 A No, I'm talking --

18 Q -- adjusted?

19 A No, the adjusted nominations were the
20 nominations for each month in 1982 as they were adjusted for
underproduction, overproduction, and so forth, in the pool.

21 Q And that was an adjustment that was made
22 two months or so subsequent to January, is that correct?

23 A No, no. No, we're not talking about
24 January right now. We're talking about -- the adjusted nom-
25 inations are the 1982 nominations.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

So those totaled 1,044,500.

Q Okay, that's the same figure, then, that you used for all of these months calculations.

A That's correct. That figure enters into everyone of these months.

Now, the individual month's nominations differs for each one of these six months on this mini-proration schedule.

Q Right.

A For the month of January they were 1,409,100. Then I went to each one of these wells that's on the mini-proration schedule and I averaged what its production was for the year 1982, what its average monthly production was.

The Alpha Twenty-one averaged 5,240 Mcf per month.

Q The entire year of '82.

A For the entire year of '82. The Shipley averaged 8.028, and so on.

All right, then you take the ratio of January's nominations to 1982 average adjusted nominations, that 134.91 percent, and you apply that to the 1982 production, and you get fair share based on production and current nominations.

The Alpha Twenty-one, its fair share based on production only, would be 7,069 Mcf.

Now, this is a guide. This would give

1
2 the pipeline a guide, and also the producer, as to what he
3 might expect that well to produce during the month of Jan-
4 uary if 1982 was a typical year's production for the well.
5 Probably isn't. Some of them were curtailed. Some were
6 curtailed more than others.

7 Q Right.

8 A Some of them -- in calculating this I
9 found some wells that had zero month's production for two or
10 three months. Others, there was a normal decline in pro-
11 duction. So this is not a firm figure at all. This is a
12 tentative guide, this January fair share based on that.

13 Then you take that same ratio of 1044.5
14 to 1409, you multiply that times the top unit allowable for
15 1982, which isn't on here, it's on one of these other ex-
16 hibits, and for the Jalmat Gas Pool a factor of 1 had 12,259
17 Mcf average monthly top allowable production.

18 So you take this ratio of January nomin-
19 ations to '82 adjusted nominations, multiply that by --
20 times that 12,259 Mcf that was the average top unit allow-
21 able for the Jalmat in 1982, times an individual well's ac-
22 reage factor, which is .5, and you come up with the 7069 for
23 this Alpha Twenty-one Well.

24 That's its maximum fair share.

25 Q And all wells, for example, in this pool
that have the same acreage factors, for example .5, would
have this same top fair share?

A That is correct. You'll see the number

1
2 repeated for two wells there. I read that number wrong.
3 I said 7069. I meant 8269. I read the wrong column.

4 Q Yes.

5 A But you'll notice that the Shipley Well,
6 which is a nonmarginal well at the present time, of course
7 it's shown here as being marginal, the M over on the left
8 side, but it currently is a nonmarginal well, but it has a
9 maximum fair share of 16,539.

10 The little Gulf well down here, which is
11 a small marginal well, has an acreage factor of 1, it has a
12 maximum fair share also of 16,539.

13 If that well could be reworked and its
14 productivity increased, it could produce up to the 16,539.

15 Now the monthly, in all these months, the
16 monthly nominations are calculated in against the average
17 nominations for 1982, and the average top unit allowable
18 factor for 1982, to arrive at the maximum fair share, and as
19 we stated before, under just applying production, that Hart-
20 man Bates Well calculates on production only an allowable of
21 13,287 for the month of January; however, its maximum fair
22 share is only 12,403, so that would be held to the 12,403.
23 That would be its fair share maximum and it couldn't produce
24 more than that.

25 Q Is there any type of relationship at all
between this maximum fair share that you are proposing here
and the current situation with nonmarginal wells versus mar-
ginal wells?

1
2 got to the point you had to start curtailing those marginal
3 wells.

4 Q All right, what I'm asking is if you
5 would not have a similar situation again under your proposed
6 scheme where only a handful of the very best wells up at the
7 top end of the scale are going to be subject to this maximum
8 fair share cutoff?

9 A No, no, because it's up to the pipelines
10 to reduce them all ratably. They're going to produce all
11 those wells ratably, and this, as I stated, the first column
12 is the guide as to what the wells would produce if the '82
13 production were typical for that well. Now, we realize it's
14 not, so the guide is going to be a flexible guide, but that
15 would be the amount you more or less would expect from the
16 wells; you wouldn't expect the maximum fair share, but they
17 would all be curtailed on the basis of time access to pipe-
18 line facilities.

19 Q Well, the maximum fair share, though, you
20 are stating, is a level beyond which a well could not pro-
21 duce without some type of penalty --

22 A No, no, this is the guide that the pro-
23 ducer uses in going to the pipeline if he sees a well across
24 the line producing in excess of that maximum fair share,
25 he's got a case against the pipeline. You're producing my
well at fifty percent; you're producing that well in excess
of the maximum fair share, how come?

And the fair share is flexible for each

1
2 month. At the end of a year, or some period of time, the
3 total maximum fair shares will be calculated, the production
4 would be shown, and any operator could tell whether another
5 producer was getting an advantage over him or not by the
6 production.

6 Q Now, overall the role of the Commission
7 in a scheme that you're proposing becomes a much more pas-
8 sive, is that correct?

9 A It's the same as it is currently for 98
10 percent of the wells, listing the production and listing --
11 they call it now an allowable for marginal wells. It's not
12 an allowable, as I stated before, because if a well doesn't
13 produce one month -- the marginal allowable is always shown
14 to be the production from two months back in a proration
15 schedule. All right, if a well didn't produce anything two
16 months back it shows zero allowable this month. That
17 doesn't mean that the well can't produce gas if it's a mar-
18 ginal well.

18 So allowable is a misnomer there. But
19 it's, what the Commission does at the present time for mar-
20 ginal production, it reports its production.

21 Now, the Commission would be less passive
22 than that because they're giving guidelines here now; maybe
23 zero production, or maybe showing production for marginal
24 wells is a guideline. In that case they would be the same
25 amount of passivity that they are now.

But they really don't do anything about

1
2 marginal wells at the current time, and they wouldn't be
3 doing anything about marginal wells in the future.

4 Q And what your proposal is then, is to
5 correct -- well, let me -- let me ask again.

6 Do you see the problem as being one where
7 only those 2 percent of the wells, then, are treated unfair-
8 ly, and that correcting the situation as far as those 2 per-
9 cent of the wells is concerned, then it will solve the over-
10 all problem? Is that what your proposal is?

11 A No, no. Our proposal is not to correct
12 the problem for 2 percent of the wells. Our proposal is to
13 correct the problem for 98 percent of the wells, because you
14 all filed the first application and you wanted to make
15 everything nonmarginal. That, to us, was the problem. We
16 didn't see any problem the way things were, but when you all
17 filed your application to classify everything as nonmarginal
18 we saw a problem developing then.

19 So we're not complaining about the 2 per-
20 cent right now. We're complaining about your proposed 100
21 percent.

22 Q Is it essentially true that what you are
23 asking for is to do away with proration rules as they cur-
24 rently exist?

25 A No more than your case is.

Q But would you say that El Paso's proposal
is one to reinstate existing proration rules?

A No, I don't think so. I don't think it

1 is.

2
3 Q Where they are not working because of the
4 market situation?

5 A No, I don't think you're reinstating the
6 rules here. You're modifying the rules by reclassifying
7 marginal production as nonmarginal.

8 Q And what is the impact of your proposal
9 on the existing rules?

10 A You're reclassifying 98 percent; we're
11 reclassifying 2 percent.

12 Q And your reclassification of that 2 per-
13 cent leaves what effect as far as the rules are concerned?

14 A Everything marginal.

15 Q And the rules, then, are -- are able to
16 operate how?

17 A The burden is made clear to the producer
18 and to the pipeline that it's up to them to ratably produce
19 the wells subject to the market demand.

20 Q And the Commission's enforcement, then,
21 becomes one merely of responding to complaints between pro-
22 ducers and pipelines.

23 A I would think so.

24 Q And not of establishing specific guide-
25 lines for the pipelines and producers to follow.

A We had our specific guidelines, which I
read into the record, points one, two, three, and four.

Q Would you mind repeating those so that we

1
2 might be sure that we have them down correctly.

3 A Okay. One, all southeast prorated wells
4 be classified as marginal.

5 Two, each gas purchaser to implement any
6 necessary production cutbacks by, as equally as practicable,
7 restricting on a time basis each prorated well's access to
8 that purchaser's gathering system.

9 Three, any southeast prorated well that is
10 truly nonmarginal, which has excess producing capacity,
11 shall be further restricted in its production by being as-
12 signed a monthly production ceiling, which shall be calcu-
13 lated by the formula.

14 I won't go into the formula again.

15 Four, for a given prorated well each
16 pipeline purchaser to balance out with all other wells in
17 the pool over a specified period of time the access that
18 that well has to the pipeline system.

19 The ultimate responsibility for policing
20 the actual time access to the pipeline shall be left to each
21 individual operator.

22 Q What you're saying is that the operator,
23 then, has the responsibility for making sure that that's the
24 case and he is the one who needs to monitor the production
25 of his -- of his offset property.

26 A And his own, also. He's got to monitor
27 his own production. He's got to monitor his pipeline. He's
28 got to keep an eye on his neighbor's production, and any

1
2 wise operator that's one of these 98 percent marginal wells
3 today is doing that.

4 Q And what should the extent of the Commis-
5 sion's involvement be?

6 A The Commission's involvement is the same
7 as it is now for marginal wells, and also establishing the
8 maximum fair share allocations.

9 Q But as you see it, that maximum fair
10 share has not a great practical effect.

11 A It wouldn't to some wells; it would to
12 other wells. It's a maximum that is there and up to the
13 pipeline and the producers to observe.

14 Q But as long as wells were cut back on a
15 ratable time basis, then you don't see that --

16 A I don't see it as being a problem, right.
17 That's right.

18 MR. NUTTER: Mr. Chairman, may
19 I get a drink of water?

20 MR. NANCE: We could break
21 right now. We only have a couple more questions.

22 (Thereupon a recess was taken.)

23 MR. RAMEY: The hearing will
24 come to order.

25 Mr. Nance, you may proceed.

Q Mr. Nutter, one final explanation. I

1
2 wondered if you could -- could go through an example.

3 Let us assume, as I have mentioned
4 before, that we are starting proration in a new field with a
5 100 percent acreage allocation formula and a situation of
6 increasing market demand to start with.

7 What could you -- will you agree that as
8 wells are added and as market demand increases, under a 100
9 percent acreage allocation formula, that all wells would be
10 allowed to produce up to a certain level, say, a level of 1,
11 before any well was allowed to produce to a level of 2?

12 A Well, I think I understand what you're
13 saying, and I think the answer is yes.

14 Q All right. Still the increasing market
15 demand, still the increasing production, you have wells that
16 have gone to a level of 2 and some wells have not been able
17 to reach that level of 2.

18 A Okay, those become the marginal wells.

19 Q Those become the marginal wells. The
20 same situation applies as market demand increases and wells
21 are allowed to produce up to a level of 3, there are those
22 wells which cannot make that level, they in turn become mar-
23 ginal wells, and ones that can produce 3 are allowed to pro-
24 duce 3, and so on, is that correct?

25 A That's historically the way this has
worked.

Q Then you have a peak in demand, for
example, and demand begins to decrease. With a 100 percent

1
2 allocation formula, what type of cutback in production do
3 you have? Describe that, please.

4 A Well, I don't know what kind of a cutback
5 in production you've got. I don't know.

6 Q Can you describe the mechanism? Are all
7 wells that are top producers cut back to a certain level of
8 production before wells that are on a lower level of
9 production are cut back at all under a 100 percent acreage
10 allocation formula?

11 A Under Commission rules the top allowable
12 wells would be reduced and under Commission rules, I don't
13 know, the marginal wells may or may not be. It's apparently
14 some pipeline policy that they wouldn't affect the marginal
15 wells, although that's not a provision of Order R-1670, but
16 theoretically, the nonmarginal wells, the top allowable for
17 the nonmarginal wells would be lowered as the market is de-
18 pressed. The marginal wells, theoretically, would be pro-
19 ducing at 100 capacity; the nonmarginal wells producing
20 less. And then as the allowables came down, the mechanics
21 of reclassification would work and some of those marginal
22 wells would be reclassified as nonmarginal.

23 Q All right, correct. The other point that
24 I would like you to discuss, if you would, just briefly, is
25 to define what you mean as ratable taking among wells in a
pool.

A As I mentioned in the testimony the first
time around, ratable does not mean equal. Ratable means

1
2 proportionate. This is a basic legal definition of ratable
3 and ratable taking means that wells are going to share in --
4 ratable, the legal definition of ratable is that various
5 components share on a non-equal but a proportionate basis,
6 and that's what the wells are doing at this time, they're
7 sharing the total market on a proportionate basis. 98 per-
8 cent of the wells are sharing this market on a basis of
9 their capacity to deliver into the pipeline.

10 Now, the pipeline demand is going on.
11 We're proposing that they continue to produce on a propor-
12 tionate share and that the reductions would be
13 proportionate.

14 And we'll say the market is depressed by
15 50 percent, as shown on Exhibit Twenty-nine and Thirty. The
16 reduction is on an equal basis percentagewise, but it's on a
17 ratable basis volumewise. It's proportionate to their cap-
18 acity to produce under the Case 1 as compared to Case 2 on
19 Exhibit Number Thirty.

20 Now, --

21 Q Are you equating --

22 A -- Exhibit Twenty-nine, nothing here is
23 ratable. Nothing here is proportionate.

24 Exhibit Number Thirty is proportionate or
25 ratable.

Q Would you not say that on your Exhibit
Twenty-nine it certainly is something proportionate among
all of the wells 1 through 4 if they have -- if they all

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

have the same acreage factor?

A Yeah, the acreage factor is the same but the allowable is not a ratable allowable. The allowable is an equal allowable.

Q If we are talking about 100 percent acreage allocation as the basis for establishing the allowable as ratable and not equal.

A The acreage factors are equal. The acreage factors are equal.

Q Then therefor, the allowables also should be equal.

A The top allowable would be equal but we're not talking -- this -- this is an extreme case here where market demand has been cut in half, and rather than allow wells to assume their classic reclassification position, we're trying to hasten things by saying let's classify everything down to nonmarginal; put everything on an equal footing here, and we're not allowing the system to work.

 So what we're proposing would simply say instead of reclassifying everything as nonmarginal, let's classify everything as marginal and have ratable reductions during this depressed market.

 We're not asking for this to be a permanent thing. The application was until further order of the Commission. If this doesn't work, or if the market demand improved in the next few years, it won't make any differ-

1
2 ence. We think this is an extreme market situation right
3 now and where you asked me before had a case like this ever
4 come -- had I ever testified in a case, had I heard of a
5 case like this, no, I haven't, because I haven't seen the
6 market like it is today, and I haven't seen a pipeline come
7 in before, except in February when they asked that
8 everything be classified as nonmarginal. It's never hap-
9 pened before, so I guess we've never had a market like this
before.

10 Q But as far as you can see, ratable means

11 --

12 A Ratable means proportionate to me.

13 Q -- proportionate to deliverability?

14 A The wells today are taking a
15 proportionate share of the market, the 98 percent marginal
wells are taking a proportionate share of the market.

16 Q Because the rules are not operating on
17 those wells.

18 A Well, the rules have operated on the
19 wells to the extent that they were classified as marginal
20 wells, and now they're sharing a proportionate market and
21 while the rules say acreage is the factor, the practicality
22 dictates that deliverability is the factor for 98 percent of
the wells today.

23 Q The practicality being the pipeline's in-
24 terpretation of what seems to be appropriate?

25 A No, the -- no, the practicality of the

1
2 matter is that the wells are not permitted to make top al-
3 lowable. They can't make top allowable, and so they're
4 classified as marginal and they're delivering at capacity.

5 Now, I presume that you are cutting those
6 wells back. I think Mr. Kendrick testified previously that
7 you were cutting those wells back. So you're reducing the
8 takes based on deliverability or some factor, I don't know
9 what it is.

10 But the fact of the matter is that 98
11 percent of the wells are on a deliverability or pipeline
12 capacity basis today under the allocation formula.

13 Q And your proposal is to make it 100 per-
14 cent.

15 A Right, change the classification for two
16 or three percent of the wells.

17 Q And to make deliverability, then, the
18 basis for determining what is a ratable take?

19 A Up to a ceiling; up to a maximum ceiling;
20 to a maximum fair share.

21 Q Do you not see this as a significant de-
22 parture from the existing rules?

23 A No, I don't see it as a significant de-
24 parture because you're reclassifying two percent of the
25 wells and letting things operate just the way they are.

Q Where in actual operation, though, the
100 percent acreage allocation formula does not have any
opportunity to operate.

1
2 Basin Upper Penn this figure is going to be something like
3 98 percent. I don't know exactly how many. 33 percent of
4 the wells in the Indian Basin were nonmarginal.

5 Q Mr. Nutter, thank you.

6 MR. NANCE: Mr. Chairman, we no
7 further questions at this time.

8 MR. RAMEY: Mr. Stamets.

9 QUESTIONS BY MR. STAMETS:

10 Q Mr. Nutter, I may say you periodically in
11 the cross examination, but certainly I mean Mr. Hartman
12 since it's his application.

13 Why didn't you ask for de-proration of
14 these pools?

15 A That would be a major departure from what
16 we've got and we're not seeking a major departure. We're
17 just seeking a minor departure by the reclassification of a
18 handful of wells as marginal.

19 Q I'm not sure that I agree with that re-
20 sponse but that's -- that's all right.

21 Let's talk about ratable in prorationing.
22 It would seem, Mr. Nutter, that if we look at the
23 appropriate statutes, being 70-2-16C, relative to
24 prorationing, and 70-2-19D, relative to ratable take, that
25 many of the factors that go into those are the same, except
that I notice in 70-2-16C on prorationing it talks about the
system and it says shall prevent drainage from producing

1
2 tracts in a pool which is not equalized by counter drainage.
3 Now, I believe that once we examine these statutes, that
4 that phrase is not common to the two; it applies only as far
5 as prorationing goes.

6 How does the system that you propose here
7 today act to prevent this drainage which is not offset by
8 counter-drainage better than prorationing system and
9 straight acreage as El Paso proposes to modify?

10 A Well, without getting into a dissertation
11 on reserves and deliverability, I think it was shown by Mr.
12 Aycock in the first hearing that there are variations in re-
13 serves under various tracts, and these reserves are
14 reflected to a great extent by the deliverability of these
15 wells on those tracts, and if wells are curtailed to a com-
16 mon level regardless of the reserves under the tract, that
17 some of these wells are going to produce reserves from under
18 their tract as well as under adjoining tracts, and this
19 would result in drainage that is not coneracted by counter-
20 drainage or offset by counter-drainage.

21 Q How many wells did Mr. Aycock look at?

22 A He looked at an area that just had three
23 or four wells in it in the depth, but it's a common thing
24 throughout the pool, where you have old wells and you have
25 new wells being drilled, that you will have these variations
in ability to produce and probably in reserves under the
tracts.

Now, we know that -- we know that the

1
2 Jalmat case, the Supreme Court said that a prorationing for-
3 mula is supposed to determine the reserves under each tract
4 and determine the reserves under the entire pool, and that
5 wells would be permitted to produce their fair share of
6 those total reserves. The Supreme Court did not go on to
7 say that when a well had produced its calculated fair share
8 of reserves it had to be plugged and abandoned.

8 So I think that the Supreme Court pro-
9 bably recognized this is not in all cases feasible to deter-
10 mine exactly what the reserves are, so that you wouldn't
11 have to plug wells that could still produce, but I don't
12 know -- I don't know just how the application of the
13 statutes in this case would apply.

14 It seems that reduction on takes or pro-
15 ductivity of the well is at this time indicative of the re-
16 serves, probably, a great extent, anyway, and that reduction
17 on a ratable basis would mean a recognition of a
18 proportionate difference in reserves under the tracts.

18 Q Did Mr. Aycock look at a dozen wells?

19 A No, he didn't look at a dozen, I don't
20 believe.

21 Q Less than a dozen?

22 A Yes.

23 Q How many wells are in these prorated
24 pools, exclusive of the Indian Basin?

25 A Well, I can give you the total for all
the pools and you'll have to subtract Indian Basin.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q That was what, fifty wells, or so?

A No. In December of 1982 there were 1259 prorated gas wells in southeast New Mexico, and I don't know how many -- I don't know how many were marginal or how many were nonmarginal.

Q Indian Basin probably has fifty or sixty wells in it?

A Yeah, I can tell you exactly what it has. You kind of get into a difference sometimes when you look at these numbers. One place it says wells and in another place it says proration units, but Indian Basin in the May 1983 proration schedule had 54.6 total acreage factors. So we'll say, probably 55 wells, I think, somewhere in that neighborhood. And we had a total of 1259 prorated wells at the end of 1982.

So we had approximately 1200 wells outside of Indian Basin that we're talking about now, as opposed to 1980 nonprorated gas wells in southeast New Mexico.

Q Just for round figures, let's say at Mr. Aycock looked at twelve wells.

A Okay.

Q And there are 1200 wells.

A Yeah, 1 percent.

Q He's looked at 1 percent of the total wells?

A Yeah, as an example of what can happen

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

when you have nonratable take.

Q Okay, do you think looking at 1 percent of the total prorated wells is -- and looking at those only in one pool -- is sufficient number or sufficient sample upon which to draw a major conclusion that the straight acreage proration system that's been in effect for -- well, since 1954 is wrong everywhere and it should be superseded by a more or less deliverability type formula in all of these prorated pools?

A No, it's probably not the basis for making such a statement at all. A 1 percent analysis is not really indicative of -- of conditions throughout the -- such a vast area as southeast New Mexico, but it was intended to show what can happen, not what was happening all over, but what can happen.

 And I'm sure if there was time to do it and the facilities to do it, we could make a study of more wells than that and find similar conditions in more reservoirs than just the one that he studied.

Q Now, Mr. Nutter, under your proposed system, all wells -- well, let's say that the allowable was 50 percent at this point, or that nominations were 50 percent, and all wells would be shut-in half the time. What about those wells that are subject to damage when they're shut-in?

A That's one of those things that's going to have to be ironed out. It's just like today, you know,

1
2 we have operators come in -- we -- you have operators come
3 in that all the time are saying don't curtail my well; it's
4 going to be damaged, and he's got to prove this. Then if he
5 can substantially prove that his well is going to be ser-
6 iously damaged by being curtailed in any way, shape, or
7 form, and his evidence is solid, he's been given an
exception by you.

8 Q It seems to me, that under the current
9 system, though, he does not get an allowable bonus. He
10 doesn't get the authorization to produce more than his share
11 of the allowable under those conditions. He gets to keep
12 his well on but if he's overproduced eventually he'd have to
shut it in.

13 A Well, most of the time these problem
14 wells are -- are not capable of large amounts of production.
15 Usually they're water wells, something like that.

16 Q That's certainly, true in the periods of
17 high demand. It may or may not be true under periods of low
18 demand.

19 A Well, I think that the Commission doors
20 are always open for anybody that's got a problem with a well
21 to come in and make his case, that his well should not be
22 curtailed, but it's been that way and it should remain that
way in the future.

23 Q Let's take a for instance. We have two
24 wells and they're both producing at 50 percent. My well has
25 water problems, so I come in to the Commission and I ask for

1
2 special dispensation to keep my well on every day, and this
3 results in my producing half again as much as my neighbor,
4 who's shut in half the time.

5 Assuming everything else is equal, isn't
6 that going to mean I'm drawing some of my gas away from my
7 neighbor?

8 A Yeah, but why is this different from
9 what's going on today? We're not asking for any departure
10 from the present rules in that regard.

11 Q In doing that, wouldn't the Commission be
12 establishing a procedure which clearly is not even designed
13 or intended to prevent this drainage which is not offset by
14 counter-drainage?

15 A Well, what is -- what are the
16 Commission's rules today that prohibit what you're talking
17 about from happening today under the existing rules?

18 Q Well, I'm assuming, Mr. Nutter, that in
19 essence what you're saying by this system that you're pro-
20 posing, that we're authorizing prorationing by days on.
21 That's the proration system.

22 A You establish a percentage of -- of '82
23 allowables that would be applicable and then this would be
24 implemented by the pipeline on a days on/days off basis,
25 yes.

Q But that in essence authorizes proration
on days on/days off.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A I believe you're correct.

Q In our other, the existing system, we are prorating by volume, is that correct?

A Yeah, and you've got volume ceilings here.

Q Okay, but let's not confuse the two systems, so that if we have a problem well that is a non-marginal well, under our current system, where everything's on straight acreage and it's prorated on volume, if the Commission administratively authorized that well to be produced, eventually that well would become overproduced, is that right?

A Yeah.

Q Okay, and eventually that well would have to be shut-in.

A Yeah, and then the operator is going to be -- if it's a problem well, then the operator is going to be in your lap telling you about how he can't shut it in.

Q In any event, the system is designed to see that that operator doesn't get more than he's allowed.

A He would, yes, he would -- under the system if he had a nonmarginal well and it would get six times overproduced, he's supposed to curtail his production until he's less than six times overproduced.

Q Okay, if we go to prorating on days on/days off, have a problem well, then after his ten days on that well's got to be shut-in or get an exception.

1
2 A Well, there's a period of time, now. Our
3 proposal would be after a -- that they would balance out
4 over a specified period of time. Now that period of time
5 hasn't been set forth. I would imagine it would be either
6 on a calendar year basis or on a proration year basis. I
7 believe El Paso stated in their direct testimony that they
8 were trying to take -- equalize takes between states,
9 between pools, and between wells within a pool, on a one
year basis. I believe that was correct.

10 And so over a period of time you'd
11 balance these up, and perhaps this well would be producing
12 in excess of some sort of a maximum fair share during a
13 period of time, but then would be subject to the shut-in,
14 just as it would acquire six times overproduced status if it
15 were classified as nonmarginal, and then be subject to a
period of shut-in.

16 So you're not changing that aspect of it
17 at all. The well wouldn't produce ten days on and ten days
18 off; ten days on and ten days off, necessarily.

19 Q Moving away from that subject, wouldn't
20 it be possible under your proposed system that all wells or
21 all proration units in a pool produced up to their maximum
fair share?

22 A It's theoretically possible but I'm sure
23 it's physically impossible. There's no way that you're
24 going to be able to get all the wells to be able to make all
25 that allowable.

1
2 Q So we are talking about an allowable
3 which is the sum of all the fair shares.

4 A We're talking about an allowable that's
5 really going to be in the vicinity of the first column --

6 Q On the --

7 A -- on the mini-proration schedule.

8 That's -- that's what you're really ex-
9 pecting to be produced; somewhere in that neighborhood; not
10 the maximum fair share. The maximum fair share is going to
11 be the maximum that the better wells are going to be subject
12 to, but the wells that are presently marginal are probably
13 going to be over here in this January fair share at 134.91
14 percent column.

15 Q But every proration unit would be as-
16 signed its maximum fair share allowable.

17 A That would be the maximum fair share it
18 could not exceed, but it would take a vast amount of
19 workovers to be able to get all the wells up to that capa-
20 city, and some wells you'd never be able to get up to that
21 capacity.

22 Q In essence, we'd be assigning an allow-
23 able which is greater than (inaudible).

24 A No, no, the total allowable is based on
25 the proportion of the current nominations to the previous
nominations times top allowable.

Now that's the maximum fair share.

The other column is the proportion of

1
2 current nominations to average nominations previously times
3 the well's production previously.

4 So this gives you an idea of what the
5 wells will produce in the first column. The second is
6 simply the maximum above which they would not be produced.

7 Q But nevertheless, if they could produce
8 it, they could produce that amount.

9 A They could go up to that amount.

10 Q So we would be talking about assigning an
11 allowable on the maximum fair share allowable.

12 A Right, right.

13 Q If you add up the maximum fair share --

14 A It's the same as it is today, Mr.
15 Stamets. A marginal well can produce what it produced last
16 month or it can produce any other amount, but then there's
17 that ceiling that's over there, that top allowable ceiling,
18 and you've seen wells that were marginal that were producing
19 more than nonmarginal wells. When they finally get caught
20 up with, they turn out to be overproduced. That's what
21 would happen to these wells if they -- if they were
22 producing more than their ceiling over here, they'd be sub-
23 ject to action because they've overproduced the top allow-
24 able. We can call that the top allowable; we can call it
25 the ceiling; we can call it the maximum fair share, or the
Max FSW/AF.

Q Let's go to the last page of Exhibit
Twenty-five.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A The last page of Twenty-five?

Q Yes. And take the third well from the bottom, that's the Gulf Shanda?

A Yes, that's the little, small well on there.

Q Right. What allowable would the Commission assign that well for the month of June?

A That well has a basic allowable there based on its 1982 production of 515. That's what you could expect from the well.

Now, actually, the well had an average production in 1982 of 1608. Now its best month was January of 1982 in which it produced 2640, so the well can actually make about 80 Mcf or 90 Mcf, someplace in between 80 and 90. That's the capacity of the well.

Now, the market demand is 32 percent here for the month of June, so you'd expect it to produce about 32 percent of its maximum, which would be about 30 Mcf, and its -- its fair share, based on that 1982 production is only 515. The well can actually make more than that, so on a fair time on/time off basis, producing at 80 Mcf, it would make 32 percent of 80, which is 24, something like that, and it might come up to about 700 Mcf for that month, but it's not in any danger of exceeding its ceiling because it's really a marginal well; it's a poor well, and its ceiling is 3922 for that month.

So it could produce its 70 or whatever

1
2 Mcf, or 40, 50 Mcf, without exceeding its ceiling.

3 Q Mr. Nutter, under your proposal here,
4 would the Commission really be prorating wells or simply
5 blessing ratable takes in prorated pools?

6 A They would be prorating to the extent
7 that they're prorating 98 percent of the wells today.
8 That's what I said before time and time again.

9 98 percent of the wells are classified as
10 marginal and the effect -- the Commission's effect on those
11 wells in the future would be exactly the same as it is
12 today.

13 Q It seems to me, if I can remember it cor-
14 rectly, that in the El Paso order for northwest New Mexico,
15 that there was a finding that marginal wells should remain
16 on all the time. Of course this has not been -- this is a
17 Commission order and there's a de novo in that case so that
18 finding might not ultimately appear.

19 It would certainly seem that what you're
20 proposing here is in conflict with the finding in that case,
21 that marginal wells should be on all the time.

22 A Well, yes, the ultimate finding we're
23 seeking here would be 180 degree opposition to what was
24 found in that case, in which El Paso got its application
25 approved to reclassify all the wells down to almost zero
level as nonmarginal, and we're in opposition to that basic
order right now for southeast New Mexico, so we wouldn't

1
2 want that finding.

3 Q Moving right along, isn't what we have
4 today just a difference in the matter of scale of what we
5 were looking at in 1954? Let me expand on that.

6 In 1954 we had a relatively small number
7 of wells. They had higher capacities. Today we have more
8 wells, lower capacities, but in both case don't we have more
9 productive capacity from the wells than we have market
demand?

10 A Oh, yeah, we have productive capacity, I
11 believe; however, I wonder, basically whether we have except
12 during this immediate emergency, because if you will review
13 the Exhibit Number -- I know you weren't at the first
14 hearing, Mr. Stamets, but you probably looked at the
15 exhibits, but if you'll review Exhibit Number Nine, you'll
16 see that nominations have been coming down in these pools
17 for years, and also, that allowables have been coming down,
18 and productivity, as demonstrated by Exhibit Number One, has
19 been coming down, so -- and the number of marginal wells has
20 been going up. So there's been a drastic decline in pro-
ductivity.

21 Now, top allowables have been coming down
22 in conjunction with the decrease in nominations, so the
23 number of marginal wells has also been increasing, so I be-
24 lieve the decline in productivity has been greater than the
decline in market.

25 So we don't -- the situation -- at that

1
2 time we had an increase in productivity occurring and now
3 we've got a decrease in productivity occurring. It's
4 different in that respect than it was in 1954.

5 Q Nevertheless, we still have more capacity
6 today than we have demand.

7 A We obviously have more capacity than we
8 have demand.

9 MR. STAMETS: I believe that's
10 all the questions I have.

11 MR. RAMEY: Any other questions
12 of Mr. Nutter?

13 CROSS EXAMINATION

14 BY MR. RAMEY:

15 Q Mr. Nutter, you've made the statements
16 today that pools are in an advanced state of depletion.
17 Wouldn't it follow that some wells are in an advanced state
18 of depletion also?

19 A Yes, they are.

20 Q Don't you think something should be done
21 to protect these wells that are in an advanced state of de-
22pletion?

23 A Well, what do you mean protect them, Mr.
24 Ramey?

25 Q Keep them producing as long as possible.

A Perhaps so. You might ought to put a
floor under some of these wells. I don't know. I don't

1
2 have any recommendation to make as to a floor. I don't
3 think it ought to be a high floor, but to avoid premature --
4 you know on our -- on our -- on the statute that relates to
5 -- I'm not sure if it's a statute or just a rule -- that re-
6 lates to pipeline prorating to avoid -- on oil -- to
7 avoid premature abandonment, it set a minimum floor below
8 which wells could not be curtailed, and it might be that
9 some sort of minimum allowable, or minimum cuts should be
imposed on wells. I don't know.

10 Q But then your -- under your formula any
11 well would have to be cut.

12 A This is correct, and we're -- our basic
13 application is for all wells to share ratably. Now, if you
14 have to impose some kind of a floor to protect wells from
15 premature abandonment that's all right, but I think that you
16 have to be very careful in this because, as I stated before,
17 I don't believe that -- the market is going to improve some
18 day, and these wells could be brought back on production,
19 and it may be that the best thing for some of these wells
20 during high -- during periods of high cost of operation
21 would be -- and low takes from the well, it might be better
22 to just shut them in and let them rest. Maybe they'll come
back as better wells than they were when they were shut in.
This has happened many times.

23 Q Well, perhaps they will be plugged as a
24 result of this.

25 A Yeah, somebody may want the pipe more

1
2 than they want the future production.

3 Q What makes you think that today's condi-
4 tions are not normal conditions?

5 A Well, let's hope that they're not. The
6 predictions are that this gas bubble will dissipate by 1985.

7 Q Well, last year it was going to dissi-
8 pate by 1984.

9 A Uh-huh.

10 Q Next year it may be 1990.

11 A And I remember a prediction several years
12 ago when they said that by 1985 the price of oil would be up
13 to \$12.00 a barrel, so predictions are often in error.

14 Q But any well that's -- any small well
15 that's operating now at its economic limit, say it's making
16 a dollar day profit, you would cut that -- you would cut
17 that, maybe, up to 50 percent or up to 68 percent.

18 A 50 cent --

19 Q Under your Exhibit Thirty you would cut
20 it -- you would cut it up to 50 percent, which would make it
21 an uneconomical venture.

22 A Right. I think maybe you ought to impose
23 a floor, then.

24 Q But you have no -- you have no --

25 A I don't have any --

Q -- suggestion for a floor.

A I don't have a recommendation for a
floor.

1
2 Q What makes you think I'm capable of set-
3 ting a floor?

4 A Well, in your wisdom I'm sure you could
5 pick a floor.

6 Q I think in your evidence on June the 8th
7 you stated that there are gross violations of correlative
8 rights at the present and have been for many years, and I
9 wish you'd elaborate on that a little bit. I always -- I
10 always get a little concerned when somebody says that, you
11 know, I'm running a system that violates correlative rights.

12 A Well, I don't recall exactly that state-
13 ment or what predicated it. I'd have to have the background
14 as to what preceded that statement. I must have had some
15 example in mind, Mr. Ramey.

16 Q I think you stated that, as I remember,
17 you stated that the present system was and had been for
18 years violating correlative rights.

19 A Well, like I say, I don't recall the ex-
20 act statement. I'd have to see what it was based on before
21 I could elaborate.

22 Q Is there any system that would actually
23 be guaranteed no violation of correlative rights?

24 A No, there isn't. Like I mentioned
25 before, when the Supreme Court said that you determine the
total reserves under the pool and the total reserves under
the tract and devise a formula that's going to allow the
production of a proportionate share, they didn't say you

1
2
3 had to plug the well then, so they were anticipating there
4 would be violations of correlative rights, I'm sure, because
5 there's no law that could be imposed, I don't believe, that
6 would say you have to plug the well when you've produced
7 your calculated fair share of the reserves in the pool.

8 So I think that the whole basic
9 conception of prorationing recognizes that there are going
10 to be certain violations of correlative rights.

11 Now, when I said that there had been
12 gross violations, I don't recall the statement. I don't re-
13 call exactly what it was predicated on, as I said, and I
14 can't elaborate on it any further at this point.

15 I apologize if it's in error.

16 Q But basically the idea behind proration
17 is to --

18 A It's to try to protect correlative
19 rights.

20 Q But any -- any well that your formula has
21 caused to be prematurely abandoned would be waste, would it
22 not?

23 Or any formula that --

24 A Any formula that would -- that would
25 cause premature abandonment would cause gas to be left in
the ground if the wells were still capable of producing and
they were abandoned.

Q Now, under your system, Mr. Nutter, I'm

1
2
3 having a little trouble. I see myself as a mediator numer-
4 ous times, maybe every day for the rest of my life with your
5 system. An operator does not produce his fair share. He
6 goes to the gas transporter. All right, if the gas trans-
7 porter says well, your well was on the number of days that
8 was called for. Does that satisfy the operator?

9 A Well, if the pipeline could show him that
10 they were operating the pipeline at the contract pressure
11 and that the well was on those days and the well wouldn't
12 produce, the producer should be satisfied. I mean, if the
13 pipeline can show him they made a bonafide effort to pro-
14 duce his well the fair share time, he should be satisfied.
15 If he's not, he's --

16 Q What does he do then, if he's not sat-
17 isified?

18 A I don't know if he would have to go
19 directly to Court or if he'd have to come here first, if he
20 wanted to take a case against the pipeline.

21 Q Well, if he came to us, then we would
22 have to check, I would assume, his production figures.

23 A Right.

24 Q We would have to contact the pipeline,
25 get certain information from them, and then probably have a
mediation meeting between the two parties, or a hearing.

A I don't know if he'd have to come here
first or not. It's a contractual thing and we're trying to

1
2 leave the responsibility for policing the actual time ac-
3 cess to the pipeline system and the individual operator, and
4 I don't know if the courts would say you have not exhausted
5 your administrative remedy if you didn't come to the Commis-
6 sion first, or not. If there was a gross violation by the
7 pipeline and you took a case to court, they may refer it
8 back to the Commission. I don't know.

8 Q Well, I visualize a lot -- a lot of per-
9 sonnel would be -- additional personnel would be needed and
10 I'm sure, considering the economy of the state, I don't
11 think Representative Coll is going to give us any more, any
12 more people.

13 So I'm having a little trouble with this.

14 A Well --

15 Q I don't know -- I don't know that --

16 A Has there been a problem with the 95 per-
17 cent or 98 percent of the marginal wells to date? I don't
18 believe there has been, and so we're reclassifying another 2
19 or 3 percent of the wells and I don't visualize that these
20 marginal wells that are marginal today are going to present
21 any more of a problem in the future than they have in the
22 past.

23 So the most wells that you could have
24 difficulty with would be the 2 or 3 percent that you're re-
25 classifying, if they got into difficulties with them.

26 If the pipelines say that they're --

27 Q I believe under your proposal, Mr.

1
2 Nutter, though, that all wells would now be prorated.

3 A Well --

4 Q To some extent. So we would have --

5 A No, they're not -- they're not -- they're
6 really not prorated. They're really not prorated. They're
7 put -- they're put on a marginal basis and the pipelines
8 would continue doing what they say they're doing now, is
9 reducing their takes ratably among all of the wells.

10 Now, under the proposal that El Paso has
11 before you, they would not reduce the takes ratably. They
12 would increase the burden to the Commission because the Com-
13 mission would be classifying all of the wells as nonmarginal
14 and then policing the production from all of the wells.

15 This relieves the Commission of a lot of
16 the burden. It puts the burden where it belongs, on the
17 pipelines to impose ratable take, and the application of El
18 Paso here is predicated on pipeline convenience, I believe,
19 and they're passing their burden to the Commission by re-
20 classifying everything as nonmarginal.

21 And we're easing the Commission's burden
22 by a marginal reclassification.

23 MR. RAMEY: Any other questions
24 of Mr. Nutter? Mr. Pearce?

25 MR. PEARCE: If I may, Mr.
Chairman, just a few.

CROSS EXAMINATION

BY MR. PEARCE:

Q Mr. Nutter, for my clarification, if for, for instance, the Jalmat Pool, and let's look at your Exhibit Number Twenty-five --

A Okay, that's the mini-proration schedule.

Q -- let's assume that that was complete.

A Okay.

Q If we were to total the maximum fair share with acreage factor column for any month, how would that number relate to the pipeline nominations from that pool for the month?

A That would be in excess of the pipeline nominations, because it's the monthly -- it's the monthly ratio of nominations, the average nominations previous year, times top allowable the previous year, so this would be in excess of the total nominations, but we know that the wells are not going to make that maximum fair share. We know that because many wells are marginal and have been marginal for years and are going to continue to remain marginal, and they can only make a breathe of gas.

Q Okay, let us assume for the moment that pipeline nominations for any given month are exactly what that pipeline eventually takes.

A Okay.

Q From the pool. If the difference between the pipeline nomination and the total maximum fair share

1
2 is a number that is less than the amount that the cumulative
3 total of wells in that pool fail to make their maximum fair
4 share with acreage factor, are we not forcing some producer
5 into a situation of producing more than his fair share or in
6 the alternative, are we not failing to allow the pipeline to
7 take what it needs from the pool?

8 A I don't know if I understand the ques-
9 tion.

10 Q All right, let's go through it, then.
11 Let's assume that for the month of
12 January of 1983 all of the pipelines taking from the Jalmat
13 Pool nominated exactly the amount of gas that they wanted --

14 A Okay.

15 Q -- and they were exactly correct.

16 A Okay.

17 Q Now, you tell me that the maximum fair
18 share with acreage factor numbers, if I totaled them for all
19 acreage factors in the pool, is greater than that nominated
20 amount of gas.

21 A That, it would be far in excess.

22 Q All right. You also tell me that a sub-
23 stantial portion, if not a majority, if not a substantial
24 majority of the wells in that pool will be unable to produce
25 that maximum fair share with acreage factor.

A Right.

Q All right. If you subtract the pipeline
nominations from the maximum fair share totals and you sub-

1
2 tract the producing ability numbers for each of those wells
3 from the maximum fair share with acreage factor numbers, if
4 the producing ability shortfall is greater, won't you have a
5 pipeline trying -- needing, having a market for gas and
6 wanting to take gas out of the Jalmat Pool and putting pro-
7 ducers and/or pipelines in a situation of producing more gas
8 from some wells than is allowed under the maximum fair share
9 with acreage factor system, in violation of the system which
you propose?

10 A Well, it could occur in a given month,
11 but this would be extended and balanced out over a one year
12 period.

13 Q Now, let's look again at your Exhibit
14 Number Twenty-five.

15 Let us assume, and I understand that this
16 is not correct, but let us assume that this is a fully his-
17 torical record, that your system was in effect in January
through, say, May of 1983.

18 Let us look at the Alpha Twenty-one Pro-
19 duction Company Well. In the month of January the maximum
20 fair share with acreage factor number for that well, as I
21 read your exhibit, is 8269.

22 A That's right.

23 Q If I go down towards the bottom of the
24 page where I finally get some production numbers for the
25 month of January, I find that in fact that Alpha Twenty-one
Well produced 9155.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Right.

Q Short of some offsetting producer bringing suite against Alpha Twenty-one for having produced more than its maximum fair share with acreage factor, there is no penalty to Alpha Twenty-one for producing that extra amount of gas, is there?

A No, no, because pipeline is going to balance out its takes from that well and while it may have produced 9155 in January, opposed to a maximum fair share of 8269, at some months down the road it would produce less than its fair share.

Q That is dependent upon the ability of the New Mexico Oil Conservation Division ordering an interstate pipeline to do something, is that correct?

A No, this is dependent upon the producer and the pipeline to police this.

Q All right, and the same situation exists, as I read your exhibit, with regard to the Doyle Hartman Husky Woolworth Well, is that correct?

A Well, let's see, it's fair share in January was 8269 and in January it produced 9458, that's correct.

Q And that situation continues in your exhibit --

A You have some wells that over --

Q -- through the month of June. You have some wells that are producing more than this maximum fair

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

share --

A And some producing substantially less.

Q -- and the ultimate remedy for that is the courthouse, whether or not there is an initial step at the Oil Conservation Commission, as I understand your position.

A Unless it can be amicably worked out between the producer and the pipeline.

Q And that results because there is now no accumulation of over or under production, is that correct, since these are all now marginal wells?

A That's correct.

Q All right. Now, turning to your responses to some of Mr. Ramey's questions.

Let us refer to a category of very poor wells which need to be left on in order to prevent premature abandonment as super-marginal.

A Okay.

Q (inaudible due to tape change) was developed, would you not in fact have instituted the prorationing system we presently have but for the fact that you have replaced 100 percent acreage allowable calculation with a deliverability allowable calculation?

Would you not have two classifications of wells, one which is to remain on all the time and one of which is by some system, either acreage or deliverability, regulated in the amount of gas it can produce?

1
2 A I don't know if there's -- if the system
3 would say that you'd have to remain on the line all the time
4 or not. What it would do, it would assign, as it does at
5 the present time, a minimum allowable. Now that minimum al-
6 lowable, I don't believe, Harold can correct me if I'm
7 wrong, is applicable in all pools, but it would assign a
8 minimum allowable. If the well could produce it in one day,
9 it would produce it in one day. If it takes thirty days to
produce it, it would produce it in thirty days.

10 Q But as you understand it, that's just a
11 renaming of our present marginal system. We don't require
12 that the wells remain on all the time. We simply say that
13 it's allowable is whatever it can produce. That, it would
14 be the same system.

15 A For the -- for the bulk of the wells.
16 The allowable, or the fair share would be -- two fair shares
17 here, one based on '82 production; the other based on maxi-
18 mums, and the wells would be permitted to produce up to that
subject to the curtailment that developed each month.

19 Then this little group of super-marginal
20 wells would be allowed to produce a given volume of Mcf,
21 whatever that might be, 500 Mcf for the month, or whatever.

22 Q But they would essentially have a mini-
23 mum allowable assigned to them.

24 A They'd have a minimum allowable assigned.

25 Q Thank you, sir.

Looking at your Exhibit Number Twenty-

1
2 Seven, which is the explanation of your calculation of the
3 production ceiling.

4 A Okay.

5 Q As I understand that calculation, the
6 present system of adjusting nominations would be abandoned,
7 is that correct?

8 A That's correct, because at the present
9 time the nominations are adjusted for a number of factors,
10 overproduction, underproduction, and various other factors
11 that go into deriving the allowable, and you wouldn't have
12 overproduction in the picture any more, so you wouldn't use
13 adjustments on the nominations any more.

14 Q Whatever reasons existed at that time,
15 which I believe you explained in your prior testimony for
16 establishment of that adjustment system, you believe would
17 no longer be required.

18 A They wouldn't be required any more, be-
19 cause, now, like, for instance, today under the existing
20 system, you take the pipeline nominations, that reflects
21 what they want for next month.

22 All right, you've got a whole bunch of
23 underproduction that's in the picture. You subtract that
24 from the nominations because that's already in the allow-
25 able formula, the underproduction is, so that's deducted
26 from the nominations to get adjusted nominations.

27 If you've got overproduction, you have to
28 add some more on to the nominations to cover the overpro-

1
2 duction that's in the pool.

3 So you wouldn't have this over and under
4 status to deal with any longer, and you wouldn't have to ad-
5 just nominations.

6 Take the pipelines at their word: This
7 is the amount of gas we want for next month.

8 Q Looking now at your Exhibits Numbers
9 Twenty-nine and Thirty, Exhibit Number Twenty-nine
10 representing the El Paso proposal as you believe that would
11 develop.

12 A Yes.

13 Q Now, Well No. 1, which has the producing
14 capability of 450 and is allowed to produce only 117 because
15 of currently depressed market conditions, under the present
16 system does that well accrue underproduction?

17 A Yes, it's the -- it's the one well --
18 it's the one well on here that is nonmarginal. The other
19 wells are all marginal.

20 Q And if, as you said in response, I
21 believe to one of Mr. Ramey's questions, if the market were
22 to turn around, that well would be able to make up that
23 underproduction, is that correct?

24 A No, there wouldn't be any underproduction
25 under this allowable formula, because, you see, under the
26 formula the demand is now 500 Mcf a day, so it would be per-
27 mitted to produce 117 Mcf. It wouldn't accrue any underpro-
28 duction. It would be producing its allowable.

1
2 Q I thought you responded to my first ques-
3 tion by saying that it did.

4 A No, I didn't understand it, then.

5 Q Thank you.

6 MR. PEARCE: I have nothing
7 further.

8 MR. RAMEY: Any other questions
9 of Mr. Nutter?

10 MR. STAMETS: I have three
11 short ones.

12 QUESTIONS BY MR. STAMETS:

13 Q Mr. Nutter, would you agree that the
14 ratable take statute does not apply when the Commission has
15 prorated a pool?

16 A That the ratable take statute --

17 Well now, you were reading, weren't you
18 reading ratable take in two different places awhile ago in
19 the statute; one was regarding proration, one wasn't?

20 Q No, I was reading some of the factors
21 that went into prorating and then ratable take. Perhaps
22 I -- well -- well, do you agree --

23 A I couldn't tell you because I don't have
24 the statute in front of me, Mr. Stamets. I don't whether it
25 applies.

26 Q I presume the Commission could read it
27 and see whether or not they thought that when prorating

1 was adopted the ratable take statute did or did not apply, I
2 presume.

3 A I guess. I don't know.

4 Q All right.

5 A I don't have the statutes in front of me
6 so I don't know.

7 Q Would you agree that prorationing in
8 southeast New Mexico has always been on straight acreage?

9 A Absolutely.

10 Q And would you agree that --

11 A Except to the extent that the marginal
12 wells are really not on straight acreage, and they account
13 for 95 percent actual count now and 98 percent of the wells
14 we're talking about in the hearing today. They're not on
15 straight acreage any more.

16 Q That's not related to the formula.

17 A The formula -- the formula does not
18 include the word deliverability.

19 Q Okay, and what you're proposing then is
20 conversion to deliverability with a cap and a cap that
21 applies only to, say, two or three percent of the wells.

22 A I don't know that I'd say it's a conver-
23 sion to deliverability. It's putting everything on a
24 marginal basis and if marginal means deliverability, then
25 you're right.

Q Okay, thank you.

MR. STAMETS: That's all the
questions I have.

1
2 MR. RAMEY: Any other questions
3 of Mr. Nutter? He may be excused.

4 We will recess until 1:30.

5
6 (Thereupon the noon recess was taken.)

7
8 MR. RAMEY: The hearing will
9 come to order.

10 Did you have anything further,
11 Mr. Carr?

12 MR. CARR: Nothing further on
13 direct.

14 We might have a rebuttal wit-
15 ness, and we might not.

16 MR. RAMEY: Anyone else? Is
17 there any more direct testimony to offer?

18 Do you want to put your witness
19 back on, Mr. Nance?

20 MR. NANCE: Yes, sir, Mr.
21 Chairman. What El Paso has is something in the nature of
22 rebuttal testimony to the Hartman Case.

23 We'd certainly be willing to
24 wait until any other direct testimony is put on, but we do
25 have his testimony plus two exhibits that we would like to
introduce.

MR. RAMEY: Anyone else have
testimony to put on? Okay, Mr. Nance, if you're ready,

1
2 Mr. Nance, I think you're back on the line.

3 MR. NANCE: Thank you, Mr.
4 Chairman. Let me hand out, if I may, what El Paso has de-
5 signated its Exhibit Number Eighteen.

6 H. L. KENDRICK,
7 being recalled as a witness and having been previously sworn
8 upon his oath, testified as follows, to-wit:

9
10 DIRECT EXAMINATION

11 BY MR. NANCE:

12 Q Mr. Kendrick, if you would, please, ex-
13 plain what the two sheets designated El Paso's Exhibit Num-
14 ber Eighteen are designed to show.

15 A To explain the use of Exhibit Eighteen, I
16 need to tell you how the data is derived to plot the curve
17 that is shown.

18 I went to the April, 1982 gas proration
19 schedule for the Jalmat Pool and copied the New Mexico State
20 Gas Proration Schedule for that pool to get a listing of
21 wells and acre factors for every well that was a producing
22 well at that time.

23 I then looked at the New Mexico Oil and
24 Gas Engineering Committee Report for the year 1982 and
25 looked for each well that was listed on the Jalmat Gas Pro-
ration Schedule for the highest producing day -- highest
producing month from April '82 through December, 1982, and

1
2 used that figure regardless of what month it was from as the
3 high or the producing ability for each well, or for a
4 multiple well unit for the producing ability of that unit.

5 Now, if a well -- if several wells are
6 completed on one multiple well unit, the data I took was not
7 the highest per well from different months, I looked for the
8 highest unit production for a month, and used that as the
9 producing capability of that proration unit.

10 I did that for the matter of -- to calcu-
11 late an allowable on 100 percent acreage allocation for the
12 Jalmat Gas Pool for every well in the pool, and in doing so
13 the first page of this is a calculation of what would have
14 happend in October, 1982 had the nominations been exactly
15 what the total production of the pool for October, 1982 was.

16 And there remember we've got the
17 assumption that April of 1982 Gas Proration Schedule had all
18 the wells that were produced in October, on the line at that
19 time and their acre factors were the same, and with that set
20 of assumptions I took the October, 1982 gas production was
21 398,431 Mcf for the month. This being the lowest month that
22 we had shown on our previous exhibit for the Jalmat Gas Pool
23 in the period when this exhibit was submitted earlier.

24 Q Do you -- could you tell us what exhibit
25 that is, Mr. Kendrick, if people wish to refer to the
exhibit?

A Right now I can't. The exhibit I'm re-
ferring to is one that was -- showed the gas production for

1
2 ferring to is the one that was -- showed the gas production
3 for a 12-month period in the Jalmat Pool. I think it was
4 Exhibit Number Eight.

5 Q Exhibit Number Nine.

6 A Exhibit Number Nine was a 2-page exhibit,
7 one page being the data showing the amount of gas produced,
8 the amount of gas that was considered marginal gas, the
9 amount of gas that was considered nonmarginal gas, and this
10 398,431 Mcf was the production, total production for
11 October, 1982.

12 From the Gas Proration Schedule I came up
13 with a figure of total acre factors for that pool.

14 Also, in the manipulation of data, and I
15 don't mean manipulation in a way of trying to arrange it in
16 such a way as to tell you a story that's not there, I took
17 another list and I listed the producing ability of every
18 well in the pool in an ascending order of production, and
19 I've got seven pages of that.

20 Then I made a comparison by dividing the
21 acre factors for the Jalmat Pool into the total production
22 for October, 1982. I should have gotten an answer that
23 would say this is the top allowable for any well in the Jal-
24 mat Pool for that month; however, in using that value I
25 would some wells assigned an allowable that they could not
produce.

So looking at the record of the producing
ability of every well and of the acre factor of each well, I

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

subtracted the actual producing ability from the total production. I subtracted the acres factors from the total production, reduced now the total production by the amount of gas that would be marginal on this first time through, first time calculation, and reduced the acre factors that amount, by the amount of what was represented by each of the wells, and I made the division again, dividing acre factor into the now new number of amount of gas we're going to produce.

I continued in that process, it's just a reiterative type calculation, until finally you calculate again and no other well comes up marginal, comes up with an allowable greater than it can produce. And at that point I reached a number that said that at a value of 1355 Mcf per month would be a dividing line for the month of October, 1982, so that anything that produced less than that would be a marginal well; anything that produced greater than that would be a nonmarginal.

Now, this gives you an idea of what we're looking at and the minuteness of a producing ability that has to be considered as a nonmarginal well.

I plotted that on Exhibit Nineteen, which is the companion page to Exhibit Eight, is that what we decided?

Q That's right.

A Exhibit Eight, well, where is it?

Q You want to get into this exhibit, as well?

1
2 A Yes, sir, I'll get into that and then
3 I'll come right back to this other one in just a second.

4 All right, excuse me, I'll stay with the
5 Exhibit Eighteen.

6 When I finally reached a calculation of
7 1355 Mcf per month, that's the top allowable for an acre
8 factor of 1 for any well in the Jalmat Pool, considering the
9 assumptions that I made, the production had to equal nomin-
10 ations, we've set allowables for every well on exactly what
11 happened in that month.

12 This graph is drawn with the idea the
13 producing ability of all wells would be incorporated on the
14 horizontal axis, the allowable on the vertical axis, in Mcf
15 per month.

16 As the line begins from a 0-0 intercept,
17 it goes up a ways and it is at a 45 degree angle, which says
18 that whatever its producing ability is is what its allow-
19 able is, and that was true for all the wells that became
20 marginal.

21 And then at a point, the dividing point
22 between marginal and nonmarginal wells, the line becomes
23 horizontal. Every well that produces greater than 1355 has
24 an allowable of 1355 for the month. That's its acreage
25 allo-cation.

Now, to convert 1355 Mcf per month for
the month of October, I divided by 31 and I got a figure of
43.7 Mcf per day for each acre factor of 1.

1
2 Now, this being the lowest month that we
3 experience in 1982, I did this for the purpose of showing we
4 must keep the number of marginal wells at a minimum, I took
5 the month of December, which was the highest month of pro-
6 duction in 1982 from my Exhibit Eight, took the total --

7 Q Nine, Exhibit Nine.

8 A Exhibit Nine, second page of -- is Jalmat
9 Exhibit Nine?

10 Q Yes, sir.

11 A I'm sorry. Took the total production for
12 the month of December, 1982, and went through the same
13 process in that as I did for October, 1982, and calculated
14 allowables, subtracting out the wells that would be assigned
15 an allowable greater than its ability to produce, as a mar-
16 ginal well, took that from the total amount of production,
17 took their acre factors away from the total acre factors of
18 the pool, and made another calculation and went through it
19 seven times, and finally I reached the point 7 times 12 that
20 no other well was going to drop out as a marginal well, and
21 said, well, perhaps I've gone far enough.

22 That data then is plotted on the second
23 page of Exhibit Eighteen. This is made to the same scale
24 the first page is made and the first part of the line as it
25 comes from 0-0 intercept is a 45 degree line. Any well that
has a producing ability of 2000 per month would have an
allowable of 2000 per month, 3000 per month, the same way,
until we reach a point near the top where the line turns

1
2 horizontal. That value at the top I calculated to be 6724
3 Mcf per month. For the month of December, that's 31 days,
4 that's 217 Mcf per day for any well with an acre factor of
5 1.

6 Now, those two bits of data were resolved
7 back to the graph shown on -- introduced as Exhibit Nine.

8 Q At this point, we'd like to go ahead and
9 introduce Exhibit Nineteen, which is based essentially on
10 Exhibit Nine, with some additional information placed on it
11 as well.

12 Mr. Kendrick, at this point, if you
13 would, please explain the relationship between the informa-
14 tion on Exhibit Eighteen and that on Exhibit Nineteen.

15 A The data shown on Exhibit Nineteen, that
16 came from Exhibit Eighteen shows only the month of October
17 for the first graph on Exhibit Eighteen, and shows in the
18 month of December for the second graph in Exhibit Eighteen.

19 All of the exhibits are not colored, so
20 if you recall what happened a month ago when we entered this
21 exhibit, the top boxes across the page were painted green,
22 the top of each column was green, representing nonmarginal
23 gas production. The bottom part of those boxes was painted
24 red, which represented marginal gas production.

25 Now, in the month of October, I have a
26 little box at the very bottom, and on mine I have it cross-
27 hatched in blue, and that represents the figure that I cal-
28 culated through the schedule for the month of October, where

1
2 the breaking point should have been in calculating
3 allowables for the month of October, 1982, assuming
4 production and nomination were the same.

5 That would have a breaking point of 43
6 Mcf per day.

7 The second graph in Exhibit Eighteen,
8 which has the higher value, shows in the month of December,
9 and on mine I show it as cross-hatched up about halfway, of
10 the marginal production that was in the month of December.

11 Now, all of this is done to show you that
12 El Paso is asking for all wells to be classified as nonmar-
13 ginal, and if not all wells classified as nonmarginal, then
14 let's set a figure that is low enough that in the production
15 of wells on a daily basis, day in and day out, high month
16 demand, low month demand, we will have only those wells
17 classified as marginal that will not need to be shut in by
18 any pipeline company.

19 This mode of calculation is the means by
20 which the Commission goes through in calculating allowables
21 for pools in their normal process, and this was not doctored
22 by any data of previous production versus previous nomina-
23 tions. This is just trying to put fact against fact, be-
24 cause we had October's production and the October wells to
25 work with.

26 Q Mr. Kendrick, do you have, or could you
27 get the Commission an indication of the relative impact of
28 El Paso's proposal versus the Hartman proposal in this case,

1
2 in some sort of graphic manner?

3 A I will try to do that, and I do not have
4 that as an exhibit, but I'll try to draw one on the board,
5 if I'm permitted to do so.

6 I've got to have a starting point. Sup-
7 pose we start with a scale the same as we did with Exhibit
8 Eighteen. We'll call this daily producing ability or well
9 producing ability, well potential, well deliverability,
10 whatever you want to name it, I don't care; call this factor
11 allowable.

12 Starting with a zero and a zero, and the
13 calculation as I understand has been submitted by Hartman,
14 says we have a -- may I ask Dan to help me -- maximum pro-
15 ducing -- maximum permitted rate?

16 MR. CARR: Fair share.

17 MR. NUTTER: No, fair share.

18 A Maximum fair share, that is a calculated
19 fact.

20 MR. CARR: With acreage factor.

21 A With acreage factor, let's say it's an
22 acreage factor of 1, and we'll draw maximum fair share. We
23 said that at any point beyond where this starts, whatever
24 the deliverability of the well might be, its allowable will
25 be cut off here.

Now, let me draw a line then at a 45 de-
gree angle. It just happened I nearly hit that, boy; I
don't care whether I did or didn't, but now I must maneuver

1
2 every well that falls in this category from here back to
3 zero, from the intercept to where that point is. But wait a
4 minute, now I'll go look at October, 1982 again. I'm going
5 to take the total production for October, 1982, and compare
6 that to the average of 1982, that Mr. Nutter has prepared.
7 Using that comparison I came up with a figure that -- I've
8 got to do it by figures -- of approximately 38 percent,
9 October production was 38 percent of the average for the
10 year.

11 According to that plan that's presented
12 by Mr. Nutter, we would control the production from all
13 other wells by that 38 percent amount. Okay, now I have to
14 reduce this from a 1-to-1 ratio to 38 percent, so that every
15 well is reduced in this area by an allowable of that amount.

16 So when you start looking at this from
17 this zero point on up, see, I've got deliverability alloca-
18 tion until I reach this point; then I've got a maximum and
19 that's the way I understand it.

20 Q And can you compare El Paso's proposal to
21 that? Would it be the --

22 A El Paso's proposal, and not bending the
23 proration rules of the pool, says that we'll continue with
24 acreage allocation, and El Paso's line went along this line
25 until we reached a point of cutoff, and -- I've got to find
Dan's figures.

26 Q Is it Exhibit Twenty-one?

27 A The figure that I have calculated for

1
2 October, 1982, for this line is a figure of 4675 Mcf per
3 month.

4 On mine for straight acreage allocation I
5 came up with 1355. So the difference in allowable, while
6 our plan is made up by the amount of gas in this area from
7 these smaller producing wells and to the larger producing
8 wells in the Hartman plan, this cutoff is 43 Mcf per day on
9 our plan and I do not have that figure calculated there.

10 Q Would you summarize, Mr. Kendrick, why
11 you feel El Paso's approach, then, to be a more correct one?

12 A I feel if we have field rules, or pool
13 rules, in any pool, whatever those rules are, we should
14 prorate by those rules, if the rules are made for proration,
15 and we feel that these are.

16 We feel that the Commission has a respon-
17 sibility to set allowables according to the nominations that
18 are submitted by the pipelines. We feel that the pipelines
19 should have an opportunity to produce the gas as it's needed
20 to meet their market demand, and we do not feel that it's
21 the pipeline's responsibility to calculate the allowable for
22 each individual well on their line. We don't think it's
23 our police action to look after every producer on the line.
24 We don't think it's necessarily their job of policing every
25 well on the line.

26 So we really feel that the Commission has
27 its job to do of calculating allowables, assigning them, and
28 doing it, and we say that we can do that with a minor

1
2 adaptaton of gas well classification, or reclassification,
3 if you please, to change marginal wells to nonmarginal
4 wells, and then you have wells that you can work with is as-
5 signing the allowable.

6 If we play with numbers and say we have
7 95 percent or 98 percent of the wells classified marginal
8 now, my reaction to that is okay, how did they get there?
9 They got there because the market was strong. We were ap-
10 proaching a limit of whether we would be able to take all
11 the gas that was available in every pool.

12 But all of a sudden we didn't reach that
13 limit and now we're taking possibly 60 percent of the gas or
14 70 percent or 50 percent of the gas from the pools, and to
15 cause those same wells to be properly reclassified, the
16 automation that's built into the rules that apply under
17 Order 1670 on how to classify wells will not work and it
18 will not work solely because we shut off marginal
19 production.

20 Had El Paso and other pipeline companies
21 been able in a month of low production to shut off only non-
22 marginal wells and reduce their takes from the pool to what
23 actually became market demand, and would have been able to
24 do that from April, 1982, through March of 1983, the wells
25 would have automatically reclassified themselves to nonmar-
26 ginal and we would not be here today.

27 But because the pipeline companies did
28 not have time, they had to cut their loads more drastically,

1
2 then we did shut off marginal wells. Whether we shut them
3 off in a proper sequence I think is not the issue. El Paso
4 very certainly could have erred in that. I make no excuses
5 for it today. But it's something that has happened. But
6 wells need to be reclassified to nonmarginal and the system
works.

7 Q And it is your opinion, then, Mr.
8 Kendrick, that this is the manner in which correlative
9 rights may best be protected and waste might best be
10 prevented?

11 A Yes, sir.

12 Q Is there anything further that you have
13 to add at this time?

14 A No, sir, I believe not.

15 MR. NANCE: That concludes El
16 Paso's rebuttal testimony, Mr. Chairman, and the witness is
tendered for cross examination.

17 MR. RAMEY: Thank you, Mr.
18 Nance. Any questions of the witness? Mr. Carr.

19
20 CROSS EXAMINATION

21 BY MR. CARR:

22 Q Mr. Kendrick, if I understand your
23 Exhibit Number Eighteen, this shows how El Paso's proposal
would work, is that correct?

24 A Yes, sir.

25 Q And on the first page of Exhibit Eighteen

1
2 only wells with a capacity or that are able to produce less
3 than 1355 Mcf per month would be able to be what you call
4 marginal wells, able to produce all they could produce into
5 the pipeline.

6 A Yes, sir.

7 Q And everything that would fall above 1355
8 Mcf per month would be cut back to that level, that would be
9 their allowable. Is that what this shows?

10 A Yes, sir.

11 Q So if I had a well that produced 1356 per
12 month, I would be cut back 1 Mcf per month.

13 A Yes, sir.

14 Q And if I had a well that produced 2-
15 million a month, I would still be cut back to 1355.

16 A Yes, sir.

17 Q And we would all be treated the same
18 above 1355.

19 A Yes, sir.

20 Q And we would not be -- curtailment would
21 not be proportional but we would be treated as if we were
22 equal.

23 A They would be -- the curtailment would be
24 according to the rules that exist in the pool today.

25 Q And under those rules and under your pro-
posal it would mean that all wells above 1355 would be per-
mitted to produce only that and no more.

A Yes, sir. Excuse me, just a little bit

1
2 of elaboration.

3 1355 is the allowable for that month. Of
4 course the wells could be overproduced or underproduced but
5 that is the allowable.

6 Q That is what their allowable would be.

7 A Yes, sir.

8 Q Now, if we go to the second page, this is
9 similar.

10 A Yes, sir.

11 Q And all the wells that would fall below,
12 and I didn't get that figure, 6500 plus or minus -- 6724,
13 all that produced below 6724 Mcf per month would be able to
14 produce into the pipeline all they could produce.

15 A Yes, sir.

16 Q And we treat everyone above that as if --
17 I mean that would be the allowable for all wells that had a
18 capacity of in excess of 6724. Is there any reason that you
19 cut this off at 9000 Mcf per month and 300 per day?

20 A No, sir, it was only due to the size of
21 the paper.

22 Q And if there are wells in the Jalmat that
23 produced 2-million a day -- I mean, yes, 2-million a month
24 -- is it a day?

25 A 2-million a month would be back on --

Q Okay, I'm sorry, 2-million a day.

A Anything larger than the 9000 Mcf per
month would be on that same line.

1
2 Q But to make this graph truly give an ac-
3 curate picture of what goes on in that pool, you would have
4 to extend this line that sets the allowable out to the right
5 some distance so it would pick up even those wells that pro-
6 duced 2-million a day, is that correct?

7 A Yes, sir.

8 Q So, what in effect you'r doing with this
9 allowable, is you're bringing all wells above those that are
10 classified marginal to the same level.

11 A That's what the rules provide for.

12 Q And you're treating them the same.

13 A Yes, sir. Each of these are considered
14 with an acre factor of 1.

15 Q And you anticipate a fluctuation of over
16 almost 80 percent between October and December, is that the
17 kind of fluctuation you actually think you would anticipate?

18 A I used this to show the extremes that did
19 happen in 1982, and those extremes on a per month basis may
20 be even more exaggerated on a per daily basis -- per day
21 basis.

22 Q Mr. Kendrick, the reduction that would be
23 bringing all the wells, say, in October down to 1355, in
24 your opinion is that a ratable reduction?

25 A It's in accordance with the rules of the
pool.

Q Well, but is that ratable?

A Do you want me to give you Kendrick defi-

1
2 nition of ratable?

3 Q No, what I'd just like to -- maybe I
4 could just ask the question this way. Is that a
5 proportional deduction?

6 A I don't know that it would be a propor-
7 tional if you're saying everything is reduced by the same
8 percentage. I would say, no, it is not a percentage
9 deduction.

10 Q Now, the proposal that you set out on
11 Exhibit Eighteen is for southeastern New Mexico.

12 A Yes, sir.

13 Q And under your proposal we're looking at
14 straight acreage allowables.

15 A Yes, sir.

16 Q We have no deliverability that figures
17 into this whatsoever.

18 A That is correct.

19 Q And unlike the northwest, the better
20 wells are not entitled to produce more than a poorer if
21 they're above this cutoff between marginal and nonmarginal.

22 A That is correct.

23 Q And would you accept that some wells
24 would be cut back by as much as 90 percent under this
25 proposal in a month like October?

 A I would not be surprised.

 Q And others, of course, would not be cut
 back at all.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, sir.

Q And as this proposal works, would you consider that affording equitable market access to the producers of all the wells in each pool?

A I'm not sure that I can answer that question in the sense of a pipeline company trying to produce gas from prorated wells in accordance with the rules of the pool, which we were trying to do, and as we assume other pipeline companies were trying to do.

But that's what we were trying to match is our takes according to allowables.

Q And you could not comment on whether or not it is fair and reasonable to operators in the pool to curtail one 90 percent and others not at all?

A If the State of New Mexico permits 100 percent acreage allocation and accepts that as a just and equitable means of prorating gas pools and prorating oil pools, then I'd say, yes, it is just and equitable and fair.

Q And a guy who is producing well that makes 1000 a day has certain correlative rights which should be protected, is that not true?

A He's producing how much?

Q 1000 Mcf a month.

A All right, yes, sir.

Q And you have an operator who's producing 2-million a day, he also has correlative rights, does he not?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, sir.

Q But if he isn't able to sell what he has under his tract and can produce, is it your testimony that his correlative rights are protected?

A Again, the proration formula as adapted to the pools in southeast New Mexico was based, supposedly, upon correlative rights, and under that basis that that formula was established.

Q And your testimony is in terms of correlative rights is conditioned upon the effectiveness of the individual pool rules.

A Yes, because there are pools prorated on 100 percent acreage in some areas and some pools prorated on 100 percent deliverability.

Q Now in this proposal you -- well, let's -- if we look at page one in Exhibit Number Eighteen, you would let all wells that produce less than 1355 a month produce all they can produce into the pipeline. That's correct, is it not?

A With a little bit of overriding data. I'm not saying that because October, 1982 was the lowest month we produced in '82 that 43 should be the lowest point that we have to consider as a breaking point between marginal and nonmarginal wells.

I would say we have to have a figure below 43 and then that would be 33, anything above 33 would be considered nonmarginal wells; anything below 33,

1
2 marginal.

3 Q The purpose for having that cutoff is to
4 protect the operators of the poorer wells, is that not true?

5 A It is to -- under the application of the
6 rules of pools in calculating allowables for wells, it says
7 that if these wells are incapable of producing their
8 allowable, then what they produce becomes their allowable.

9 Q And as you understand those rules, the
10 reason you don't shut them in, is it not to protect the in-
11 terest owners in poorer wells?

12 A We see that it is not our plight in life
13 to take a well that's considered a marginal well that could
14 neither accrue underage or overage and cause that well to be
15 shut in when other wells as nonmarginal classification do
16 accrue underage and overage and if they become underproduced
17 have the opportunity to make up that underproduction where a
18 marginal well does not have that opportunity.

19 Q But is it your testimony that in not cur-
20 tailing marginal production you do not -- are not concerned
21 about attempting to keep the poorer wells on line?

22 A Do that once more, please?

23 Q Is it your testimony that in not shutting
24 in marginal wells it is -- have to get all my negatives out
25 of this question -- is it your testimony that El Paso's
policy not to shut in marginal wells doesn't take into con-
sideration the fact that certain of them might be pushed
beyond their economic limits?

1
2 A We cannot consider economic limits for
3 everyone's well. That's where the proration formulas as ap-
4 plied depict allowables that can be produced from various
5 wells, and economics for one operator are definitely differ-
6 ent to another operator, and we cannot look at them. We
7 take the figures as prescribed in gas proration schedules
8 and try to produce those allowables.

8 Q Why did you pick 33 Mcf?

9 A Okay.

10 Q That's the thrust of my -- I'm trying to
11 find out. Is it entirely arbitrary or is there some reason
12 for that?

13 A I'd say it is semi-arbitrary, but on the
14 first page of this Exhibit Eighteen I have indicated that the
15 lowest month of production in 1982 said the breaking point
16 could be at 43 for the month. During that month we may have
17 had fluctuation, both up and down, in the daily takes of gas
18 from that pool.

19 And in doing so, if the rate goes up we
20 can turn on more wells, and if the rate goes down, we have
21 to turn off wells.

22 If we turn off down to 43 we may not have
23 enough gas turned off, so turn off down to 40, to 37, and we
24 picked a figure of 33 which represents a million a month as
25 a semi-arbitrary figure.

26 Q Doesn't that tend to protect poorer wells
27 in the pool?

1
2 A The wells that have an allowable assigned
3 as what they produce, and we're given the opportunity to
4 produce them as much as they will produce.

5 Q Mr. Kendrick, didn't last year you cut
6 back on occasion to 25 Mcf per month?

7 A Yes, sir, we did.

8 Q What would you do in that situation?

9 A Since the time of last year -- we cut
10 back in steps last year. In fact, we started cutting off
11 only nonmarginal wells. Then it became evident we had to
12 shut off more than nonmarginal wells so we picked a figure
13 of 100 Mcf a day and said we will cut off any well that pro-
14 duces greater than 100 Mcf per day. And then we got to the
15 point where that's not enough, we've got to cut off more,
16 and we went to a figure of 25. That's a magic number picked
17 out of the air or off of a Burlington Northern boxcar as it
18 went by, but 25 was just a figure to start. We figured we
19 could leave the rest of them on that produced less than
20 that.

21 Q As I understood your comparison on the
22 board of El Paso's proposal as opposed to Mr. Hartman's, you
23 stated that with Mr. Hartman's proposal you would have to
24 maneuver more wells than you would with your proposal. Is
25 that a correct statement?

 A I don't understand what I said as
maneuver.

 Q Maybe you could tell us what --

1
2 A Let me back into this way and say if
3 we're talking about the difference of having now 95 or 98
4 percent of the wells as marginal and the remaining few to
5 100 percent as nonmarginal, and the question comes up, what
6 are we going to change, the fewer number of wells or
7 the greater number of wells, I have no problem in changing
8 the classification of the greater number of wells because
9 one stroke of the pen, I have made a marginal well to a non-
10 marginal well, and the computer, if I think I understand the
11 system that's in operation by the Division Office here in
12 Santa Fe, has a program already in operation that would take
13 those wells by that classification and calculate them allow-
14 ables for every well in the pool on the basis of the formula
15 that now exists for that pool.

16 Q Now would there be such a program in ef-
17 fect if Mr. Hartman's proposal was granted?

18 A A little intelligence is dangerous, but
19 from what I know about computers and program writing,
20 nothing exists in Santa Fe, according to my idea, that would
21 handle Mr. Hartman's proposal at this time. Computer pro-
22 grams would have to be written and a different procedure of
23 calculation have to be made to handle the proposal by Mr.
24 Hartman.

25 Q So is it fair to say that it would be
more convenient to take your proposal than that of Mr. Hart-
man's?

A Absolutely.

1
2 Q Now, when you talk about having to reduce
3 production in a month by 38 percent, for an example, isn't
4 that really partially because the nominations are down?

5 A No, sir.

6 Q Is it not. So if you cut your
7 nominations back that is not going to reduce the allowable.

8 A Mr. Carr, it may reduce the calculated
9 allowable that is printed in the gas proration schedule but
10 the pipeline company is going to produce wells to meet its
11 current market demand day by day, if at all possible.

12 Q So maybe this is where we've misunder-
13 stood each other before. When a reduced nomination can re-
14 duce an allowable but it doesn't reduce what the pipeline
15 will take because they'll be taking their demand and there
16 are other things that will work that out.

17 A Yes, sir.

18 Hopefully, this was one of the
19 stipulations that El Paso tried to make early in the game,
20 that whatever we do in this, we are in no way trying to re-
21 duce takes from any pool in the State of New Mexico; that
22 whatever happens on this, we'll still be taking exactly the
23 amount of gas we can sell at the other end.

24 Q The takes will be the same, but as your
25 market falls off, your nominations will come down.

A Yes, sir.

Q And the allowables will therefor be
lower.

1
2 A Or if we nominated the same every month
3 and takes got lower, then the adjustments to nominations
4 would lower the allowable.

5 Q Now I've asked you this before, but your
6 proposal is based on what -- you are asking that your pro-
7 posal be adopted and that in effect the Commission stand be-
8 hind the pool rules on an individual pool basis.

8 A Yes, sir.

9 Q Now, if we stood behind these pool rules,
10 wouldn't there automatically be a reclassification of wells
11 back to nonmarginal?

12 A Yes, sir.

13 Q Isn't it true that your problem is that
14 you're just unwilling or unable to wait till these rules
15 work?

15 A No, sir.

16 Q What is your reason?

17 A The reason is, as I said a few minutes
18 ago, by virtue of the fact that El Paso shut in marginal
19 wells during 1982, from April 1st, 1982 till March 31st,
20 1983, we caused the system to fail to work to reclassify
21 wells from marginal to nonmarginal that should in effect
22 truly be nonmarginal wells.

23 Q But if you did wait the system would work
24 to correct this problem, would it not?

24 A No, sir.

25 Q It wouldn't ever?

1
2 A If a reduction in takes due to our market
3 demand are as drastic as happened in '82, so that we have to
4 shut off a marginal well, when we shut it off it shows then,
5 when you're making your annual comparison, or quarterly com-
6 parison, that that well did not produce greater than its
7 calculated allowable, so it stays marginal.

8 The reason it stays marginal is because
9 we shut it in and we say we should not be shutting in that
10 marginal well, any marginal well.

11 Q Now, I think you have stated that El
12 Paso's proposal would result in a minimum reclassification
13 of wells. Is that what you mean?

14 A The minimum amount of work could be
15 applied and reclassifying 99 percent of the wells and the
16 system would be on a go and would be ready to run and ready
17 to conduct our business the remainder of the year.

18 Q So you weren't talking in terms of
19 reclassification of a minimum number of wells, but a minimum
20 amount of work involved in getting there.

21 A Yes, sir, I think you're correct in that.

22 Q Your testimony is that El Paso's proposal
23 is more convenient than Mr. Hartman's in that regard.

24 A Yes, sir.

25 Q And is it more convenient to El Paso
Natural Gas?

A I would say very definitely our proposal
is more convenient to El Paso Natural Gas than Mr. Hartman's

1
2 proposal because we have a system in our company that we
3 check the allowables calculated by the Commission. We com-
4 pare the status of wells that have statuses because they're
5 nonmarginal, and we can calculate the allowables side by
6 side with them.

7 For us to change to Mr. Hartman's system
8 and using in-house programming, I would hate to think how
9 many months it would take for us to get a computer system
10 running that would do that.

11 Q Did you consider the inconvenience to
12 someone like Mr. Hartman of having his wells cut back 90
13 percent?

14 A There are pains in all of them. No one
15 said it would be easy on anyone, but it is a problem that
16 exists across the industry and we're all suffering because
17 of it.

18 Q I understand it would be painful to get,
19 perhaps Mr. Hartman's proposal, in your opinion, off and
20 running, and it would take, as I understand your testimony,
21 perhaps many months to do that, is that correct?

22 A Partly. The programming people in the El
23 Paso organization to establish a program for us to work with
24 would take, and I'll dare say, months, because they figure
25 things on a daily basis and then when we add up these days,
they are very long days.

Q Well, how have you been able to do it
during this periods of demand when you were called upon to

1
2 curtail the marginal wells? Has that taken months?

3 A No, sir, we have a system whereby we can
4 curtail right now under any basis provided by any rule of
5 the Commission. Now, I say any, any that we have heard of
6 or thought of that would be in use by the Commission.

7 Q And that would include the deliverability
8 based approach?

9 A We can control it by deliverability for
10 wells in the San Juan Basin, where deliverability has been
11 part of it.

12 We can control production of wells being
13 on the line the same number of days or being shut in the
14 same number of days.

15 We can control wells by the volume they
16 produce where that they're producing at equal volume.

17 So we can set our program to operate on
18 either one of those bases, yes, sir.

19 Q And isn't in fact what Mr. Hartman is
20 seeking merely curtailment on a daily basis?

21 A I believe there's more to it than that.

22 MR. CARR: No further
23 questions.

24 MR. RAMEY: Any other questions
25 of Mr. Kendrick? Mr. Kellahin.

CROSS EXAMINATION

BY MR. KELLAHIN:

1
2 Q Mr. Kendrick, I think I've lost track
3 about your drawing on the board here. Refresh my memory as
4 to what is the -- well, first of all, this is your under-
5 standing of Mr. Hartman's proposal, is that not true?

6 A Yes, sir, part of it is.

7 Q Yes, sir. I'm concerned about the shaded
8 area, the hatched line area in the drawing. What does that
9 signify to you?

10 A Well, first of all, let's take this line
11 off. Remember this line is a 45 degree line so that
12 anywhere up to this line from the producing ability to here,
13 across, the allowable would be equal to the producing
14 ability.

15 The first thing that we can do under Mr.
16 Hartman's proposal is calculate a maximum fair share, and
17 that is this line. It would extend to the highest producing
18 well in the basin.

19 Then, since for other wells, as Mr.
20 Nutter presented testimony last month, he said that would be
21 a marginal category, not making this amount, they would be
22 reduced proportionately, just comparing that well, that
23 well's allowable would be reduced in the percent that its
24 1982 average production compared to the nominations of '82.
25 I think that's what -- if that well's producing ability were
only 38 percent, then you've got a line of 38 percent that
you would have to reduce this amount, and that is kind of
how -- from wells that could be producing gas that's

1 enclosed in the cross hatched area.

2 Q The shaded area then is the shut in time
3 for each well for each --

4 A It would be shut in time because their
5 allowable is now reduced to this level, to this line, the
6 lower line.

7 MR. NUTTER: It's shut in
8 volume, not time.

9 A Well, time equals volume if you're
10 producing gas, and we're working here with volumes, and you
11 work with shut in time, then you are cutting off gas, so gas
12 and time is volume.

13 This amount of gas would be displaced
14 here and actually picked up with the other --

15 Q My point is, the shaded area doesn't have
16 anything to do with the straight acreage allocation.

17 A No, sir, it doesn't. It's a difference
18 between straight acreage and what might -- I would consider
19 that as deliverability.

20 Q Thank you. Mr. Kendrick, I was
21 interested in what your definition is of prorationing and
22 ratable take. You about offered us one awhile ago and
23 didn't.

24 If I attend the Kendrick school of gas
25 prorationing and ratable take in New Mexico, and as a
college freshman I know nothing about most everything, and
you are a guest lecturer that day and you're going to tell

1
2 us about conservation practices in New Mexico, and you've
3 told me that there are two basic concepts under gas prora-
4 tioning is implemented for given pools in New Mexico, one
5 concept is under straight acreage factor, and the other is
6 based upon some deliverability factor. Would you first of
7 all tell me, in a pool that is prorated under a straight 100
8 percent acreage factor, how will the well -- the pool be
9 produced so that each of the proration units within that
10 pool are going to be produced in a fair, equitable manner to
all the operators of the wells?

11 A For rules to be established for a pool to
12 have 100 percent acreage allocation within that pool, the
13 operators and the Commission would -- the operators would
14 agree and convince the Commission that this is a means of
15 controlling the production from the many wells in the pool
16 to the many wells collecting gas from the pool on a basis
17 that the amount of gas owned by each operator under each
18 tract he drills is proportional to the acreage that is de-
19 dicated to that well. That is a premise that has to be in
there for the operator to agree to begin with.

20 And after they do that, then they say,
21 well, we will find out in New Mexico what the market demand
22 for gas is, and the pipeline companies would submit their
23 nominations of market demand, and that total market demand,
24 then, would be divided up to the wells according to the ac-
25 reage that each well had, and as we start out, we say every

1
2 well is permitted to produce 1 Mcf. Now does that give
3 enough gas to make the market demand. And no, we'll give
4 every well 2 Mcf, and you continue it that way until you get
5 an allowable high enough that that will meet the market de-
6 mand.

7 Now in going that high you will find some
8 wells that fail to produce the next high Mcf and that's
9 drops off as marginal for that month, anyway.

10 Until you reach a level that says, well,
11 with what few wells have fallen out as marginal now, all the
12 rest of the wells can produce a common figure of 396 or 891,
13 whatever that common figure is for that month, and make the
14 allowable that the pipeline company has told us is their de-
15 mand for this month.

16 If the demand goes down next month, due
17 to reduced nominations, the figure from 891 might be reduced
18 down to 700. Some of the wells that might have been between
19 700 and 891 as classified as marginal, would be nonmarginal
20 in this category because they produce greater than 700, and
21 this did, every well would be limited at the top at 700 Mcf
22 for that month.

23 That would be straight acreage.

24 Q What if I am told that there is a scheme
25 of gas prorationing that can be based upon something other
26 than straight acreage; perhaps deliverability.

27 If you had a pool that you wanted to pro-
28 rate based upon deliverability, what do you do then?

1
2 A The same thing exists that the operators
3 with wells in those pools through their decisions and
4 through their -- through the decision of the group of opera-
5 tors they say that the reserves that each of us have under
6 the tracts that we operate is proportional to the delivera-
7 bility of the well, and if the reserves are proportional to
8 the deliverability, then we should take from each well ac-
cording to its deliverability.

9 Q Do we have any pools in southeastern New
10 Mexico that are prorated based upon deliverability?

11 A Not to my knowledge.

12 Q How are all those pools in southeastern
13 New Mexico prorated?

14 A The majority of pools are prorated on 100
15 percent acreage basis. There are a few pools, and they're
16 not in the discussion of this hearing, that were assigned an
17 allowable not to exceed a certain figure because they were
18 retrograde reservoirs and they think that would be a top
figure for any of the wells to produce.

19 Q For example, I think the Burton Flats
20 Wolfcamp is a fixed allowable retrograde condensate reser-
21 voir, and that's not the subject of the hearing.

22 A I believe you're right, but I can neither
confirm nor deny it.

23 Q What El Paso is proposing to do with the
24 application does not alter the prorationing concept that the
25 pools in southeastern New Mexico that are the subject of

1
2 this hearing are prorated on a straight acreage factor?

3 A We in no way at this hearing intend to
4 change that mode of calculating allowables, no, sir.

5 Q All right, sir. Give me your definition,
6 Mr. Kendrick, of what ratable take is.

7 A To me for ratable take to be used in any
8 discussion that must be defined to the type of proration for-
9 mula that you are working with.

10 Q Would I have a different concept involved
11 if I'm talking about ratable take from a prorated gas pool
12 that is prorated on acreage as opposed to ratable take from
13 a prorated gas pool that's prorated on deliverability?

14 A I would have a different concept, yes,
15 sir.

16 Q All right, sir, tell me what the differ-
17 ent concepts are.

18 A The concept on 100 percent acreage allo-
19 cation means that every well gets to produce the same volume
20 of gas, provided they are all nonmarginal wells.

21 For wells on deliverability allocation,
22 every well gets to produce the same percentage of its allo-
23 cation, percentage of its deliverability.

24 MR. KELLAHIN: I have no
25 further questions of Mr. Kendrick.

MR. RAMEY: Any other questions
of Mr. Kendrick?

1
2
3 QUESTIONS BY MR. STAMETS:

4 Q Mr. Kendrick, I presume you recall that
5 the Commission made a short excursion with a deliverability
6 formula in the Jalmat Pool in the late fifties?

7 A I think I recall that, yes, sir.

8 Q And you'd probably also recall that that
9 didn't last very long.

10 A I know that it is now not on
11 deliverability allocation, yes, sir.

12 Q So the formula for the allocation for the
13 individual wells that you are talking about here today is
14 basically the same formula that has been in effect since
15 1954, is that correct?

16 A Yes, sir.

17 Q And under this formula haven't there al-
18 ways been wells with widely varying potentials being
19 prorated by straight acreage?

20 A Yes, sir.

21 Q So that's not any different.

22 A No, sir.

23 Q So you're simply saying let's go ahead
24 with what we've got, you just need minor corrections.

25 A Yes, sir.

MR. STAMETS: That's all.

MR. RAMEY: Any other questions
of Mr. Kendrick? He may be excused.

1
2 Do you have anything further,
3 Mr. Nance?

4 MR. NANCE: Nothing further,
5 Mr. Chairman, thank you.

6 MR. RAMEY: Do you have
7 anything further, Mr. Carr?

8 MR. CARR: Nothing further, Mr.
9 Ramey. I do have a closing statement.

10 MR. RAMEY: Okay, I think we'll
11 accept statements at this time. I'll ask Mr. Carr and Mr.
12 Nance to go last.

13 If there is anyone in the
14 audience who's ready to make a statement at this time, why
15 he may do so.

16 MR. ADAMS: Mr. Ramey, I'm Mark
17 Adams. I represent Southern Union Exploration Company.

18 I think there are several points that
19 need to be made here.

20 First of all, as Mr. Stamets has
21 indicated, the New Mexico Supreme Court in the Jalmat deci-
22 sion in 1962 imposed rather severe limitations on the Com-
23 mission's power to change a prorationing system.

24 The only way, as I read that case, the
25 Commission can change a system is on the basis of findings
that the total amount of gas reserves in a pool and the
total amount of gas reserves under each producer's tract in
the pool.

1
2 I think there's been no evidence at this
3 hearing directed toward those two critical questions.

4 The second point is that, as I read the
5 New Mexico statutes, again one that Mr. Stamets referred to
6 this morning, they impose upon the Commission a duty to pro-
7 rate effectively.

8 I think that the proceedings in this case
9 and in the northwest New Mexico proration case earlier in
10 the spring indicate that prorationing, because of changes in
11 the market demand, is not working very well in New Mexico
12 right now, and probably, as a result there is not effective
13 prorationing.

14 The third point is that I think these two
15 proceedings have indicated that is a very difficult way to
16 try to develop a comprehensive, workable prorationing
17 system. This is probably one case where the adversary
18 system doesn't lend itself to the development of something
19 that's going to work very well.

20 What we would propose in an effort to get
21 around this stumbling block and meet the limitations imposed
22 by statute and by the Jalmat decision, is a joint coopera-
23 tive effort by industry and by the Commission, perhaps simi-
24 lar to that used by the New Mexico Oil and Gas Engineering
25 Committee, to arrive at a prorationing system that every-
body is more or less happy with and that will meet the legal
requirements in that it will work.

I think the Engineering Committee pro-

1
2 vides some guidance in how this type of structure might be
3 set up. I think that under the existing statutory framework
4 the structure could work with the Commission reviewing, a-
5 adopting, and then if finding it satisfactory, ratifying a
6 proposal adopted by the industry-Commission group, and I
7 would urge that the Commission and the other representatives
8 of pipelines and producers here today give serious thought
9 to such a group and perhaps how such discussion might be im-
plemented.

10 MR. RAMEY: Thank you, Mr.
11 Adams.

12 Any other statements? Mr.
13 Mote.

14 MR. MOTE: Mr. Chairman and
15 Commissioner.

16 I'm Clyde Mote from Amoco Pro-
17 duction Company.

18 We believe that the existing
19 proration rules with minor modifications should be adequate
20 to handle the gas over-supply problem which exists in south-
east New Mexico.

21 Failures in the system appear to have a-
22 risen from two facts. Number one, the overly optimistic
23 nominations by the pipeline companies; two, a breakdown in
24 the proration system where there are rapid swings in gas
demand such as we had in 1982.

25 Specifically, there's too long a lag

1
2 period for a marginal well to be reclassified as
3 nonmarginal.

4 We support the El Paso Natural Gas appli-
5 cation for reclassification of all wells as nonmarginal to
6 restart the prortion system in southeast New Mexico; how-
7 ever, in conjunction with the implementation of El Paso's
8 application, pipeline companies must in some manner be held
9 accountable for their future gas nominations in these
10 fields.

11 In addition, we feel that Rule 18 of
12 Order No. R-1670 should be revised to allow a marginal well
13 to be reclassified as nonmarginal at the end of every three
14 month classification period instead of the current twelve
15 month proration period.

16 Also, we can sympathize with alleged in-
17 stances of potential damages to drainage brought forward by
18 Mr. Hartman's representative.

19 Neither El Paso's nor Hartman's notice of
20 hearing gave notice of any potential changes to the indivi-
21 dual pool rules and the allocation formula. The Hartman
22 proposal does in fact constitute a collateral attack on Or-
23 der R-1670.

24 Those fields in which an operator feels
25 the allocation formula is not adequately protecting corre-
relative rights should be addressed after legal notice at a
hearing which will allow each affected party in that field
to thoroughly analyze the ratable taking.

1
2 There are over 1000 wells, I believe the
3 testimony said some 12,000 wells -- 1200 wells, in the 15
4 fields involved in today's hearing. We cannot remotely pre-
5 tend to have adequately considered all the detailed reser-
6 voir data necessary to change the field rules in all
7 prorated fields and allocation formulas in southeast New
8 Mexico.

9 We concede there may be fields in which
10 deliverability might have some relationship to the gas re-
11 serve distribution, but it is just as possible that more de-
12 tailed studies of those and other fields would indicate ac-
13 creage factors, or some combination of the two, might be more
14 appropriate.

15 Now, Hartman, Mr. Hartman had the burden
16 of proof in here to prove that his proposal would avoid
17 waste and protect correlative rights. We would submit that
18 the evidence clearly shows that waste would happen by virtue
19 of it. Mr. Nutter admitted as much on the stand, that waste
20 would occur in the shutting in of the low producing marginal
21 wells. He also admitted, I think, very clearly that it
22 would fail to protect the correlative rights. In fact, it
23 appears that the only correlative rights which would be
24 protected would be Mr. Hartman's wells.

25 Under cross examination by Mr. Ramey, Mr.
Kendrick stated that in spite of pool rules which specified
100 percent acreage allocation formulas, El Paso was forced
to take from prorated wells on a deliverability basis.

1
2 Mr. Kendrick also stated that in his
3 opinion granting of El Paso's application would more nearly
4 prorate these pools according to the existing pool rules.

5 The only logical ruling on these applica-
6 tions would be for the Commission to rule in favor of the El
7 Paso application, allow operators to pursue changes to the
8 allocation formulas on a field by field basis at a later
9 hearing.

10 MR. RAMEY: Thank you, Mr.
11 Mote.

12 MR. PICKENS: Bob Pickens, with
13 Marathon Oil Company, and most of my statement was taken
14 care of by the dismissal of the Indian Basin-Upper Penn this
15 morning.

16 But I would like to say that it is Mara-
17 thon's opinion that the recommendations by El Paso and Hart-
18 man in this hearing are only two of the methods dealing with
19 gas prorationing problems caused largely by unusually low
20 demands for gas.

21 We believe that the existing special
22 rules for prorating gas contain the mechanism with which the
23 Commission can affect these changes.

24 It is our suggestion that as a long range
25 solution to the problems resulting from future low gas de-
mand, prevent interim orders, such as the one proposed by El
Paso here, possibly may consider it as a permanent solution
to this problem, that the Commission attempt to speed up its

1
2 procedure for reclassification of marginal wells so that
3 marginal wells can be more promptly reclassified as nonmar-
4 ginal when the demands for gas is low.

5 We would support the position of Amoco
6 that perhaps a three month period, or even shorter, if pos-
7 sible, would certainly help solve this problem.

8 Also, until a more rapid system of
9 reclassification of marginal wells is operational, in the
10 event the application of El Paso, or perhaps of Hartman, is
11 approved on an interim basis in this instance, Marathon re-
12 commends that a proviso be made to such an order that would
13 in effect say that any producer, I think this exists under
14 the local field rules, with a well in a prorated pool sub-
15 ject to this order, shall be afforded an opportunity after
16 notice of hearing, to show that such pool or such well, as
17 the case may be, should be excluded from the operation of
18 this order and that another basis for the allocation of gas
19 production or for the protection of correlative rights
20 should be made applicable to said pool or well.

21 We request something like that, a pro-
22 tective order, then people would feel free to come in and
23 show specific instances where any rule that was adopted
24 could be changed. Thank you.

25 MR. RAMEY: Thank you. Mr.
Lyon?

MR. LYON: Members of the Com-
mission, I'm Victor T. Lyon with Conoco in Houston.

1
2 Conoco is a substantial producer in four
3 of the prorated gas pools under consideration today. We
4 have studied those four fields in relation to the two propo-
5 sals being offered at this hearing, as well as a
6 continuation of the status quo.

7 Our conclusions for those four pools,
8 Blinebry, Eumont, Jalmat, and Tubb, may or may not be
9 applicable to the other eleven pools.

10 Conoco participated in the continuing
11 development of rules for gas prortion embodies in Order No.
12 R-1670. During the past several years increasing gas demand
13 and declining deliverability has caused a very high
14 percentage of the wells to be unable to produce their allo-
15 cated share of the gas demand for the pool and thus be re-
16 classified to marginal status.

17 This situation has progressed to the ex-
18 tent that there may have begun to be questions whether con-
19 tinued proration was needed.

20 We believe it is fortuitous that the
21 system continued to work during this period, because it is
22 now obvious that the system is needed. We would point out
23 that during the past few years of high markets the process
24 has gradually approached the situation where acreage allo-
25 cation has necessarily given way to deliverability alloca-
tion, which is the inevitable result of all-out production
conditions.

In a curtailment situation the reclassi-

1
2 fication should move in the other direction where curtail-
3 ment operates on an acreage basis and the number of wells
4 classified as nonmarginal should increase to accommodate the
5 curtailment situation.

6 Our conclusion is that there are many
7 wells in each of the four pools which in this curtailment
8 period should be reclassified as nonmarginal so that
9 curtailment can be accomplished under the established pro-
10 ration formula or 100 percent acreage.

11 In evaluating the two proposals before
12 the Commission, El Paso's proposal, as modified to exempt a
13 certain level of low capacity wells, will accomplish the ob-
14 jective described above, and would preserve the existing
15 system and implement it as it was designed to operate.

16 On the other hand, the Hartman proposal
17 completely abdicates Order No. R1670 and reverts the entire
18 system to a deliverability allocation. This can be
19 construed as nothing less than a collateral attack on Order
20 R-1670 and as such, should not be countananced under this
21 case as advertised.

22 If it is desirable to change the
23 proration formula, an application to do so should be filed
24 and argued on that basis. The attempt to accomplish this
25 under a disguised proposal of fair share allocation should
26 not be given any consideration.

27 Furthermore, Hartman's proposal to cur-
28 tail all wells, even those very small wells which are barely

1
2 economic, flies in the face of universal conservation
3 ethics, which promote protection of such wells so as to
4 maximize recovery of natural gas, which is the prevention of
5 waste, as required under the law.

6 MR. RAMEY: Thank you, Mr.
7 Lyon.

8 Any other statements? Mr. Kel-
9 lahin?

10 MR. KELLAHIN: Mr. Chairman, on
11 behalf of those clients which have been identified in the
12 record whom I represent, I would adopt Mr. Mote's closing
13 statement. With regard to his observations and comments, we
14 stand in opposition to Mr. Hartman's proposal. I think it
15 undercuts the very fundamental conservation concepts that
16 have been implemented by the Division over a course of many
17 years.

18 We support the proposal submitted, as
19 modified by El Paso, and we urge the Commission to adopt an
20 order granting the El Paso application.

21 MR. RAMEY: Thank you, Mr.
22 Kellahin. Representative Coll.

23 REPRESENTATIVE COLL: Mr.
24 Chairman, my name is Max Coll.

25 I own a very small working in-
26 terest and some small royalties from gas production in
27 southeast New Mexico.

I'm trying to dispose of my

1
2 fair share of a working interest at a fair price, walked into
3 what I consider to be an illegal and oppressive condition in
4 trying to deal with pipeline companies in disposing of these
5 interests.

6 Mr. Chairman, I favor Mr. Hartman's pro-
7 posal because it allows production based upon
8 deliverability. Texas Railroad Commission for years and
9 years set oil allowables on number of days and I think that
10 that system has been tried and tested and it works, and I
11 would like to see gas proration in New Mexico go to that
12 system. I think it would be much more fair, be easier to
13 keep track of in the long run, be easier to set the number
14 of days to allow a well to deliver whatever they will de-
15 liver.

16 And, Mr. Chairman, I think that the truly
17 poor wells, the ones that are close to their economic limit,
18 the ones that need to be produced all the time, could be
19 allowed to do so, and I think that this system would lend
20 itself to that, and I would heartily indorse it.

21 MR. RAMEY: Thank you.

22 MR. SORRENTINO: Mr. Chairman,
23 I'm Tony Sorrentino for Gulf.

24 We'd just like to adopt the closing
25 statement of Mr. Mote. We think it expresses our views,
also. Thank you.

MR. RAMEY: Thank you. Mr.
Lopez.

1
2 MR. LOPEZ: Mr. Chairman, Owen
3 Lopez of the Hinkle Firm, representing Mesa and Bass.

4 We'd like for the record to
5 show our opposition to the application -- the granting of El
6 Paso's application on the basis we think it's a well
7 disguised attempt to abrogate existing gas purchase
8 contracts, specifically the take or pay provisions.

9 We feel that it is a major de-
10 parture with one stroke of the pen to reduce the allowables
11 so drastically and to convert such a great percentage of the
12 marginal wells in New Mexico to a classification of nonmar-
13 ginal.

14 The net result is that we be-
15 lieve the Commission should do nothing; should deny both ap-
16 plications and should let the system continue as it is.

17 I might add that we intend to,
18 I'm sure El Paso's aware of this, enforce our prior con-
19 tracts with them.

20 MR. RAMEY: Thank you, Mr.
21 Lopez. Any other statements?

22 MR. CARR: May it please the
23 Commission, you have before you today two proposals designed
24 to deal with a problem which results from decline of the gas
25 market in New Mexico.

El Paso proposes the reclassificatin of
all wells in certain pools in southeastern New Mexico as
nonmarginal, a test period, and then a reclassification,

1
2 whereby there will be many more nonmarginal wells and they
3 will be able to avoid shutting in marginal wells in times of
4 low demand.

5 What they propose will result in a sub-
6 stantial change for a limited number of wells and no change
7 at all for many.

8 Doyle Hartman is proposing the classifi-
9 cation of all wells are marginal on a temporary basis. This
10 will let the purchasers take gas from all wells connected in
11 these pools to their system under New Mexico statutes, un-
12 der Oil Conservation Commission rules and regulation, which
13 require ratable take. This will result in little change to
14 the system.

15 The testimony today shows that somewhere
16 between 95 and 98 percent of the wells will be affected by
17 the application of El Paso and only 5 to 2 percent of the
18 wells affected by Mr. Hartman's proposal.

19 El Paso's proposal to this Commission
20 raises a very fundamental question: Can you, the Commis-
21 sion, grant an application that will cause major changes in
22 the State's system for prorationing gas in the face of evi-
23 dence that correlative rights will be impaired.

24 As we all know, correlative rights mean
25 affording to each interest owner the opportunity to produce
his just and fair share of the reserves in the pool. This
is a concept that applies to each property and to each
interest owner in each property. In the case before you,

1
2 the record discloses nothing on correlative rights advanced
3 by El Paso except some general conclusions that correlative
4 rights will be protected by their proposal. They run behind
5 the special pool rules as the basis for the general conclu-
6 sions, but they admit that they did not look at the wells in
7 the individual pools to determine the effect of their pro-
8 posal on correlative rights.

9 When asked about correlative rights they
10 simply state, we assume the special pool rules will protect
11 these rights.

12 They also state they didn't take the time
13 to look into this on a pool by pool basis.

14 When asked about access to the
15 marketplace and about affording operators an opportunity to
16 produce into the pipeline, again they ran behind the special
17 pool rules, and at the hearing in June, Mr. Kendrick even
18 stated, and I quote: If there something in the pool rules
19 that do not protect correlative rights, then that's not an
20 issue with us today.

21 I submit that's one of the places where
22 El Paso is wrong. Correlative rights is in issue here
23 today. It's your statutory duty to protect these rights.
24 If it is not an issue, then you cannot enter an order in
25 this case.

26 If El Paso Natural Gas Company has not,
27 and we submit they have not, shown that their proposal will
28 protect correlative rights, then they, in pushing and ad-

1
2 vancing their application have failed to carry the burden of
3 proof. Based on the record, we submit you cannot find that
4 their proposal will protect correlative rights, and without
5 this finding you do not have jurisdiction to enter a valid
6 order.

7 But then they would have you believe that
8 because these pools are prorated, this changes ratable
9 taking and it changes correlative rights, and the
10 requirements that are imposed on you to act to protect these
11 rights. It isn't that easy a proposition.

12 Rules to prorate pools will stand. Rat-
13 able taking in various degrees can be superseded by prora-
14 tioning orders, as long as the prorationing orders protect
15 correlative rights and prevent waste. If they don't protect
16 correlative rights and if they don't prevent waste, then a
17 prorationing order is void and can be set aside because it
18 fails to carry forward and meet statutory requirements,
19 which are the prepared basis for your jurisdiction.

20 On this record we believe on the correla-
21 tive rights issue alone you have no choice but to deny the
22 application of El Paso Natural Gas.

23 And not only did El Paso fail to carry
24 the burden as to correlative rights, there is evidence in
25 this record which shows correlative rights in fact will be
impaired by the El Paso application. Operators of nonmar-
ginal wells will be discriminated. They will be cut back to
the same level, and Mr. Kendrick testified that they will

1
2 bear the brunt of the curtailment.

3 Doyle Hartman did not just come forward
4 in this proceeding and make general allegations about pro-
5 tection of correlative rights and prevention of waste. He
6 presented specific examples which show what will happen in
7 isolated situations.

8 Admittedly, he did not look at every
9 well. There are certain time restraints and resource
10 restraints on an operator like Mr. Hartman, but no evidence
11 was presented to the contrary that would show the very prob-
12 lems outlined by Mr. Aycock in his testimony early in June
13 are not indicative of what can and will happen on a broad
14 and spread scale throughout southeastern New Mexico if you
15 grant El Paso's application.

16 El Paso has admitted they didn't look at
17 the impact on individual interest owners, but I think the
18 evidence when you review the record will clearly show, based
19 on the testimony of Mr. Aycock that drainage will occur from
20 the best wells offsetting tracts if El Paso's application is
21 granted and a reallocation of reserves will result.

22 Now let's look at ratable taking for a
23 minute. Ratable simply does not mean equal. This term has
24 no meaning unless it is referrable to some standard. It
25 never means equal division.

 El Paso proposes an equal division among
nonmarginal wells of the gas that is to be produced above
that volume produced by marginal wells. This simply is non-

1
2 ratable taking and it results in impairment of correlative
3 rights.

4 El Paso has used two definitions of
5 ratable taking in their presentation before you today. When
6 they reduce demands, when they cut back between states, Mr.
7 Kendrick stated they do it ratable. How do they do it?
8 They cut back proportionly. So when they cut back the
9 demand between the producing states they do it
proportionately.

10 Mr. Kendrick testified they do it propor-
11 tionately when they do it between pools. He testified they
12 do it proportionately when they are curtailing production
13 between wells in nonprorated pools. They do it proportion-
14 ately when they are dealing with wildcat wells. They even
15 have done it proportionately when dealing with marginal
16 wells in the prorated pools at times that demands fall below
the ability of the marginal wells to produce.

17 Yet they come forward with a proposal in
18 which ratable take means cutting some wells by 90 percent
19 and cutting an offsetting well not at all.

20 A few are asked under their proposal to
21 bear the curtailment and approval of their application would
22 simply be an act by this Commission approving nonratable
23 taking and impairment of correlative rights.

24 When questioned about this, again they
25 ran behind the special pool rules, and elsewhere in the case
Mr. Kendrick testified, our proposal today does not have any

1
2 correlation to whether or not the pool rules in existence
3 are protecting correlative rights.

4 I submit you can't run behind the pool
5 rules and then testify that you haven't -- it doesn't even
6 relate to correlative rights and expect you to accept that
7 as sufficient evidence for a finding that correlative rights
8 will be protected by the order you are being called upon to
9 enter.

10 El Paso's application simply does deny
11 equal access to the marketplace. It states over and over
12 again, some wells can produce 90 to 100 percent of what they
13 can deliver; others will be curtailed by 90 percent.

14 Next week you will be testifying before
15 the Federal Regulatory Energy Commission and in that testi-
16 mony this Commission will state that historically states
17 have promoted conservation objectives and equitable market
18 access by requiring production, or takes, on a ratable
19 basis.

20 We submit you can't say that up in Wash-
21 ington next Wednesday and then turn around and deny the ap-
22 plication -- I mean and grant the application of El Paso on
23 the record that has been made in this case.

24 We further submit that the evidence in
25 this record shows that El Paso's proposal will result in
waste. It shows it will be-- we have shown and Mr. Aycock
testified that reserves will be lost due to drainage from
shut-in wells that when the demand comes back, assuming it

1
2 comes back, the market may not be there and reserves could
3 be left in the ground, but in any event, the drainage away
4 from wells that have capability of producing them and are
5 artificially cut back because of El Paso's system, will re-
6 sult in waste.

7 Unfortunately, there are other problems
8 with El Paso's proposal. In this case we've heard testimony
9 about the evils of pipeline prorationing and yet after
10 raising this red flag, no one was ever able to show what
11 those problems might be, or how El Paso's proposal would act
12 to resolve any of them.

13 Mr. Kendrick admitted on cross
14 examination that their proposal will not equalize takes be-
15 tween wells and we will remain in the situation where the
16 wells connected to the system with the greatest demand will
17 in fact be the wells that produce more gas.

18 The evidence in this case shows that no
19 matter if you grant El Paso's application, they will still
20 purchase the same amount of gas in New Mexico; that they
21 will be producing from wells and be able to obtain it at a
22 lower price, and the result of their application will be
23 lower proceeds to interest owners in New Mexico, including
24 the State Of New Mexico.

25 Today Mr. Kendrick testified that
reducing nominations of El Paso will reduce allowables. We
have a situation here where if you grant this application El
Paso will be able to reduce allowables in the State of New

1
2 Mexico.

3 He also has testified that he was aware
4 of no other similar matter pending in any other
5 jurisdiction. I would warn you that if you grant the appli-
6 cation there is a potential that should other states act to
7 require certain levels of purchasing of gas from wells con-
8 nected to their system, not necessarily El Paso but any pur-
9 chaser would be in a position where they could use New Mex-
10 ico as a swing factor in their overall market, because
11 there's one question that hangs over this whole case, and
12 that is simply why is it that a pipeline cannot curtail or
shut in or cut back a marginal well?

13 We've heard it's the policy of El Paso
14 Natural Gas. We've also heard it's not based anywhere on
15 statute.

16 I submit to you a month ago Mr. Aycock
17 answered that question. He noted that El Paso had contract
18 obligations that required it take allowables, the allowable,
19 from certain wells connected to its system. If El Paso does
20 not take the allowable connected to its system, then they
21 still pay, and they, we submit, need relief under these con-
tracts because of the decline recently in the gas market.

22 They are asking you to give this relief
23 to them, even though it conflicts with your duties, your
24 statutory duty to protect correlative rights.

25 They talk about concern for too many mar-
ginal wells and their proposal will result in lower allow-

1
2 able, and this in turn will result in relief to El Paso in
3 the take or pay provisions of its contracts.

4 That evidence has been sitting on the
5 table for a month. It hasn't been reputed. The reason it
6 has not been reputed is it is correct and it is the reason
7 we are here today.

8 Now Mr. Hartman is proposing a temporary
9 change. We submit the change is realistic. It recognizes
10 the realities of the current gas market and the state of de-
pletion of the reservoirs in the State of New Mexico.

11 We submit that this proposal does not ask
12 you to enter unwarranted, improper orders, and will not in-
13 volve you in private contractual matters. It will be easy
14 to administer. There will be some individual disputes. But
15 El Paso's system will also require Commission attention and
16 simply the ease of implementing one program or the other
17 should not be the controlling matter when there is a clear
cut issue of correlative rights standing before you.

18 It will not result in a new series of
19 hearings to exempt wells from the 33 cutoff and either
20 system is going to simply require that you -- either change
21 is simply going to require that you devote some time to this
22 matter and work the problem out. The extent of the volume
23 of additional work cannot be anticipated, quantified by us
24 any more than it can be by El Paso, but I think it is fair
25 to say there is an additional work load coming, no matter
which direction you elect to go.

1
2 We simply submit that El Paso -- that
3 Hartman's proposal lets interest owners take ratably, it
4 protects correlativer rights, and prevents waste. We
5 believe it's feasible. Right now El Paso is balancing on a
6 time basis, on a days on/days off wherever appropriate. We
7 submit that Mr. Hartman's system could easily be worked into
8 a computer program and that if the market turns around, it
9 could be rescinded and go back to another market situation.

10 El Paso is proposing to reinstate the
11 system which got us in the problem in the first place. You
12 are asked by El Paso to let them do that which is convenient
13 for the pipelines and provide relief to El Paso for certain
14 contractual problems.

15 We ask you to deny that application and
16 protect the correlative rights of Mr. Hartman and the inter-
17 est owners, other people in the prorated pools in south-
18 eastern New Mexico.

19 If you grant El Paso's application on
20 this record, we submit the decision is arbitrary; it's cap-
21 ricious, it's unreasonable, it's contrary to the evidence,
22 and it's inconsistent with your statutory authority.

23 If, on the other hand, you grant Mr.
24 Hartman's application, correlativer rights will be
25 protected, waste will be prevented, and you will have
entered an order which on this record can be defended; that
is consistent with your statutory duty.

Mr. Hartman stands willing to work with

1
2 this Commission or with anyone who, in the future, who is
3 concerned about trying to establish a system whereby
4 curtailment of gas can be affected on an equitable basis in
5 southeastern New Mexico.

6 If you enter an order in this case and
7 decide to go with the Hartman proposal, we'd have no
8 objection to 500 Mcf per month floor being set to protect
9 certain minimum -- certain low capacity wells, but what we
10 believe we have done with limited resources compared to
11 other people here, is attempted to come forward, we have at-
12 tempted to come forward and present to you an alternative
13 whereby you can act within your statutory authority and at
14 the same time can address the current gas market situation.

15 Thank you.

16 MR. RAMEY: Thank you, Mr.
17 Carr. Mr. Nance.

18 MR. NANCE: Mr. Chairman, I
19 think it's fairly clear that we have essentially a choice of
20 philosophy in reaching a decision in this case. One is that
21 the existing situation is not all that bad and a minor
22 change to it will correct any problems that do exist, and
23 that is, as we see it, the proposal that Hartman is making,
24 the minor change being that of reclassification of a hand-
25 ful of wells.

The major change which underlies that is
what El Paso takes issue with and El Paso feels is the part
of Hartman's proposal which causes it to be invalid as a

1
2 collateral attack on the existing proration rules in R-1670.

3 We feel that El Paso's proposal is a
4 reasonable one. We did not set it forth as the only answer
5 to the problem, but one that we felt would appropriately ad-
6 dress the problem. We feel that it is not correct and not
7 protection of correlative rights to be curtailing marginal
8 wells. We feel that reclassification of most wells, if not
9 all wells, the nonmarginal, will allow this problem to be
10 alleviated, and that the system, if started again on this
11 basis, is the one that has been proven over the years to be
12 the correct one, the one based historically on the best evi-
13 dence, and for which there is no -- no substantial evidence
14 to justify changing the rules, particularly in this circum-
15 stance.

16 We feel that the notice of the hearing
17 did not contemplate abrogation of the existing rules, which
18 we see is what Hartman is essentially proposing.

19 We recognize the distinct difference be-
20 tween philosophies of having acreage allocation and deliver-
21 ability allocation for establishing allowables. We did not
22 propose that one is better than the other; that one is
23 fairer than the other. What we do propose is that the
24 existing rules provide 100 percent acreage allocation and
25 that there has been no correct means of attempting to change
that proration formula, and that El Paso's proposal is, in
this particular circumstance, is the most appropriate way,
if not perfect, at least the best way to address the problem

1
2 at this point.

3 That's all. That's all I have.

4 MR. RAMEY: Thank you. Mr.
5 Nance, did you ever offer Exhibits Eighteen and Nineteen?

6 MR. NANCE: I may not have, and
7 El Paso would like to offer those exhibits.

8 MR. RAMEY: They will be
9 accepted.

10 MR. PEARCE: And in addition to
11 that, Mr. Chairman, for clarification of the record, which,
12 gee, it would be nice if nobody ever used again, I would ask
13 that the representative of El Paso diagram the material on
14 the blackboard and mark that as Exhibit Number Twenty and
15 submit that subsequent to the hearing and provide one to all
16 counsel of record in this proceeding, please.

17 MR. RAMEY: I would request
18 that at least Mr. Carr and Mr. Nance prepare suggested
19 orders for the Commission, and anyone else who desires to
20 do, why, they may do so.

21 Does anyone else have anything
22 further to add in Cases 7858 and 7905?

23 If not, the Commission will
24 take the cases under advisement and this hearing is
25 adjourned.

(Hearing concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

SALLY W. BOYD, C.S.R.
Rt. 1 Box 193-B
Santa Fe, New Mexico 87501
Phone (505) 453-7409