

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

COPY

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF XTO ENERGY, INCORPORATED      CASE NO. 14247  
FOR SIMULTANEOUS DEDICATION AND AN  
EXCEPTION TO THE WELL DENSITY/LOCATION  
REQUIREMENTS OF THE BASIN-FRUITLAND  
COAL GAS POOL, SAN JUAN COUNTY,  
NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING

2008 DEC 10 PM 4 09  
RECEIVED

BEFORE:      DAVID K. BROOKS, Legal Examiner  
                 WILLIAM V. JONES, Technical Examiner  
                 TERRY G. WARNELL, Technical Examiner

December 4, 2008

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico  
Oil Conservation Division, DAVID K. BROOKS, Legal Examiner,  
WILLIAM V. JONES, Technical Examiner, and TERRY G. WARNELL,  
Technical Examiner, on Thursday, December 4, 2008, at the  
New Mexico Energy, Minerals and Natural Resources Department,  
1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY:      JOYCE D. CALVERT, P-03  
                 Paul Baca Court Reporters  
                 500 Fourth Street, NW, Suite 105  
                 Albuquerque, New Mexico 87102

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25**INDEX**Examiner Hearing  
CASE NO. 14247

PAGE

APPEARANCES

3

APPLICANT'S WITNESSES:

RYAN O'KELLEY

DIRECT EXAMINATION BY MR. KELLAHIN  
EXAMINATION BY MR. JONES5  
10

MARY FLYNN

DIRECT EXAMINATION BY MR. KELLAHIN  
EXAMINATION BY MR. JONES  
EXAMINATION BY MR. BROOKS  
EXAMINATION BY MR. WARNELL13  
33  
39  
41

APPLICANT'S EXHIBITS 1 and 2

10

APPLICANT'S EXHIBITS 3 through 10

33

REPORTER'S CERTIFICATE

43

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE APPLICANT:

W. Thomas Kellahin, Esq.  
KELLAHIN AND KELLAHIN  
706 Gonzales Road  
Santa Fe, New Mexico 87501

FOR BP AMERICA PRODUCTION COMPANY:

William F. Carr, Esq.  
HOLLAND & HART, LLP  
110 North Guadalupe, Suite 1  
Santa Fe, New Mexico 87501

1 MR. JONES: Okay. Let's start with the first case of  
2 the day. Let's call Case 14247, Application of XTO Energy,  
3 Incorporated for Simultaneous Dedication and an Exception to  
4 the Well Density/Location Requirements of the Basin-Fruitland  
5 Coal Gas Pool, San Juan County, New Mexico.

6 Call for appearances.

7 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin from  
8 the law firm of Kellahin and Kellahin, appearing this morning  
9 on behalf of the applicant. And I have two witnesses to be  
10 sworn.

11 MR. JONES: Are there any other appearances?

12 MR. CARR: May it please the Examiners, my name is  
13 Williams F. Carr, with the Santa Fe offices of Holland and  
14 Hart, LLP. We represent BP America Production Company in this  
15 matter. BP operates a tract to the north, and we're monitoring  
16 the case because of concerns about correlative rights.

17 XTO has been kind enough to share exhibits with us.  
18 And other than receiving the exhibits, I do not intend to  
19 participate in the case.

20 MR. JONES: Any other appearances?

21 With that, will the witnesses please stand to be  
22 sworn and state your names?

23 MR. O'KELLEY: Ryan O'Kelley.

24 MS. FLYNN: Mary Flynn.  
25

1 RYAN O'KELLEY

2 after having been first duly sworn under oath,  
3 was questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. O'Kelley, would you please state your name  
7 and occupation?

8 A. Ryan O'Kelley, landman.

9 Q. And where do you reside, sir?

10 A. Fort Worth, Texas.

11 Q. And by whom are you employed?

12 A. XTO Energy.

13 Q. And what is it that you do?

14 A. I supervise the land records for the southern San  
15 Juan Basin and also areas in Utah.

16 Q. On prior occasions, have you testified as a  
17 petroleum landman before the Division?

18 A. No, I have not.

19 Q. Summarize for us your education.

20 A. I graduated in December of 2005 from the  
21 University of Oklahoma.

22 Q. And did you obtain a degree and in what field?

23 A. Yes, petroleum land management and, like I said,  
24 December of 2005.

25 Q. As part of your duties, are you responsible for

1 the land issues involved in Section 6 that's the subject of  
2 this application?

3 A. Yes, sir, I am.

4 Q. As part of your preparation, have you reviewed  
5 the well files for these two wells?

6 A. I have.

7 Q. And are you familiar and knowledgeable about the  
8 offsetting operators?

9 A. Yes, sir.

10 MR. KELLAHIN: We tender Mr. O' Kelley has an expert  
11 in petroleum land matters.

12 MR. JONES: Where in Utah do you guys operate?

13 THE WITNESS: In Carbon County, the Drunkard's Wash.

14 MR. JONES: Okay. Mr. O'Kelley is qualified as an  
15 expert in petroleum land management.

16 Q. (By Mr. Kellahin): Mr. O'Kelley, if you'll turn  
17 to the exhibit book and look at Exhibit Tab No. 1 and turn past  
18 the exhibit tab and identify for us this first display; if  
19 you'll look at the display?

20 A. Okay.

21 Q. What are we looking at?

22 A. This is a nine-section map, and the subject  
23 section being Section 6, and the two wells, subject wells, are  
24 located there in the W/2.

25 Q. Section 6 is what type of property? Is it State,

1 federal or fee?

2 A. No, it's a BLM lease.

3 Q. So this is federal property?

4 A. Yes, sir.

5 Q. And within the federal lease, does XTO own  
6 100 percent of the working interest?

7 A. Yes, in the Fruitland Coal formation.

8 Q. The two wells indicated in Section 6, those are  
9 Fruitland Coal gas wells?

10 A. Yes, sir.

11 Q. What's the spacing unit orientation for the  
12 wells?

13 A. In this case, it's the W/2 being 314.7 acres.

14 Q. When you look at the plat, there are various  
15 companies associated with names adjacent to Section 6. What  
16 does that represent?

17 A. These are offset operators.

18 Q. And in each of these instances for the offset  
19 operators, have you caused notice of this hearing to be sent to  
20 those parties?

21 A. Yes, sir.

22 Q. Behind that plat is a portion of the rules for  
23 the Basin Dakota -- for the Basin Dakota and the Fruitland Coal  
24 gas?

25 A. Yes, sir.

1 Q. What is it that's the issue with this Section 6  
2 concerning these rules?

3 A. Well, the Basin Fruitland Coal gas pool is  
4 governed by special rules and regulations which provide for the  
5 320-acre spacing on which two wells may be drilled and  
6 produced. These special rules and regulations as noted in here  
7 provide, among other things, that an optional infill well may  
8 be drilled, but not located in that same quarter section being  
9 160 acres as the original well.

10 Q. So that's a problem. You've got two Fruitland  
11 Coal gas wells in the same quarter section?

12 A. Yes, sir.

13 Q. What's the current status of those wells?

14 A. Currently the Mudge A No. 12 is -- let's see. We  
15 are still producing the Mudge A No. 12, and XTO has since shut  
16 in the Mudge A No. 8R.

17 Q. And you voluntarily shut-in the 8R?

18 A. Yes, sir.

19 Q. Did XTO drill these wells?

20 A. No, we did not. Our predecessor did.

21 Q. Describe for us how this occurred.

22 A. The first well in 1994, Dominion Oklahoma Texas  
23 E&P completed the Mudge A 12 indicated on your map.

24 Q. That's the first well?

25 A. Yes, sir.

1 Q. Okay.

2 A. And that's located in the SW of the NW. It was a  
3 Fruitland Coal well. And then following that, in November of  
4 2004, they completed the 8R, which is located in the NW/NW of  
5 Section 6 indicated on your plat there.

6 The 8R was originally permitted and approved as both  
7 a Fruitland Coal and Pictured Cliffs well. However, on the  
8 completion report submitted by Dominion, it listed the west  
9 Kutz Pictured Cliffs as a pool. Subsequently, XTO, from our  
10 understanding, it was indicated that it was a Pictured Cliffs  
11 well when, in fact, it was a Fruitland Coal.

12 Q. Okay. Did subsequent examination of this area  
13 cause XTO to realize they had acquired two wells that were, in  
14 fact, producing in the Basin Fruitland Coal gas pool? <sup>2007</sup>

15 A. Yes. When we acquired it in July of 2000, that  
16 was our interpretation.

17 Q. And subsequent to that, you've had technical  
18 people do a geologic and engineering study and have chosen to  
19 file this application?

20 A. Yes, sir.

21 Q. Let's turn past Exhibit Tab No. 1 and look at  
22 Exhibit No. 2. Have you caused notice of the hearing to be  
23 sent to all these parties pursuant to Division rules?

24 A. Yes, sir, we have.

25 MR. KELLAHIN: Mr. Examiner, that concludes my

1 examination of Mr. O'Kelley. We move the introduction of his  
2 Exhibits 1, 2 -- 1 and 2.

3 MR. JONES: Exhibits 1 and 2 will be admitted.

4 [Applicant's Exhibits 1 and 2 admitted into  
5 evidence.]

6 EXAMINATION

7 BY MR. JONES:

8 Q. These PB, M&G and Burlington, where do they own  
9 land? Is it surrounding this spacing unit?

10 A. Right. If you turn back to your nine-section  
11 map, you can see BP has got the SE of Section 36, and also the  
12 S/2 of 31. And then M&G is right there in Section 32, being in  
13 the SW/4.

14 Q. Okay. Do you have, offhand, the dimensions on  
15 that Section 6? Or you said it was 314.7 acres. Is it too  
16 tall or too wide?

17 A. I do not have that with me.

18 Q. Okay. That's -- I just wondered because I know  
19 they got -- there was an NSL approved for the Mudge ~~B~~<sup>A</sup> No. 12  
20 back in '92. And I thought it was said 2000 from the north  
21 line. But here you've got 1900 from the north line, but either  
22 one it doesn't seem --

23 MR. KELLAHIN: We have a subsequent engineer that may  
24 be able to help you with that. And if she can't, then we'll  
25 look up the data for you.

1 MR. JONES: Okay.

2 Q. (By Mr. Jones): And these are -- this right  
3 straight north is BP, is that a lay-down spacing unit?

4 A. I believe so, but I don't know that 100 percent.

5 Q. But you do know that they control the S/2?

6 A. Yes.

7 MR. JONES: You guys have anymore questions?

8 MR. BROOKS: Well, I'm trying to think through this  
9 thing. If you don't -- you haven't researched this in the N/2  
10 of 31, I take it. Who are the owners in the N/2 of 31?

11 THE WITNESS: Well, BP is the operator.

12 MR. BROOKS: Okay. For all of Section 31?

13 THE WITNESS: For the S/2.

14 MR. BROOKS: Well, I was asking about the N/2. You  
15 haven't researched that?

16 MR. KELLAHIN: We may have another witness that has  
17 that information.

18 MR. BROOKS: Okay. I would be, I guess, concerned  
19 about the N/2 of 31 and the W/2 of Section 1 that they would  
20 probably be entitled to notice if there aren't existing units  
21 laid out as S/2 units of 31 -- S/2 unit of 31 or an E/2 unit  
22 in. If there are, I think we're covered. But if there are not  
23 existing units laid out, then we'll have to cover potential  
24 units.

25 MR. KELLAHIN: When you get to Exhibit Tab 3, there's

1 a plat that shows all the wells. Ms. Flynn will have that for  
2 you.

3 MR. BROOKS: Very good. I will reserve that thought  
4 until further on.

5 Q. (By Mr. Jones): Could you say one more time  
6 about the timing here? Because it looks like XTO took over  
7 this from Dominion and then they took over the other well, too,  
8 right?

9 A. Sure. The first well was drilled in 1994 by  
10 Dominion. Subsequently, they drilled a second well -- Dominion  
11 did -- in November of 2004.

12 Q. As a PC?

13 A. Well, it was permitted and approved as a  
14 Fruitland Coal, PC well, but the completion report said that it  
15 was a PC. So when XTO acquired it in 2007, in July 2007, our  
16 initial reaction was it was a PC and Fruitland Coal well.  
17 Later we found out we had two Fruitland Coal wells.

18 Q. Did any of neighbors alert you to that? Like BP  
19 or anybody?

20 A. No. We found it out on our own.

21 Q. On your own, okay.

22 A. Mary can probably get into it. I think there was  
23 a pump change or something that triggered the looking at the  
24 data.

25 Q. Okay. That's all the questions I have. Thank

1 you very much.

2 A. Thank you.

3 MARY FLYNN

4 after having been first duly sworn under oath,

5 was questioned and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Ms. Flynn, would you please state your name and  
9 occupation?

10 A. Mary Flynn. I'm a reservoir engineer.

11 Q. And by whom are you employed?

12 A. XTO Energy.

13 Q. Were you familiar with the facts of this  
14 application?

15 A. Yes, sir.

16 Q. On prior occasions, have you testified as a  
17 petroleum engineer?

18 A. I have.

19 MR. KELLAHIN: We tender Mary Flynn as an expert  
20 petroleum engineer.

21 MR. JONES: Do you also work in Utah, too?

22 THE WITNESS: No, I don't.

23 MR. JONES: Are you stationed in Farmington?

24 THE WITNESS: No. In Fort Worth.

25 MR. JONES: Okay. Fort Worth.

1 THE WITNESS: We have our production engineers like  
2 field folks in Farmington, and reservoir and geology and land  
3 is in Forth Worth.

4 MR. JONES: And price, too, production engineers?

5 THE WITNESS: Correct.

6 MR. JONES: Ms. Flynn is qualified as an expert in  
7 reservoir engineering.

8 Q. (By Mr. Kellahin): Ms. Flynn, let me have you  
9 turn to the exhibit book and look at Exhibit Tab 3, and let's  
10 look at first the color display. Describe for us what we're  
11 seeing here.

12 A. This map is the nine sections surrounding  
13 Section 6, the subject section. And the yellow indicates areas  
14 where XTO has a leasehold. So for your preview --

15 Q. Well, let's look at this Exhibit. If we look at  
16 the W/2 of Section 6 in response to Mr. Books' question, we now  
17 have the well locations associated with the offsetting  
18 operations. In each instance, have we notified the offset  
19 operator of an existing spacing unit in the coal gas?

20 A. Yes.

21 Q. As part of your preparation for hearing, have you  
22 also examined the XTO files on this project?

23 A. I have.

24 Q. Describe for us to the best of your understanding  
25 how this occurred.

1 A. Can I refer to the exhibit?

2 Q. Sure. Let's turn to Exhibit Tab No. 4.

3 A. Looking at Exhibit 4 on the first page, Dominion  
4 had originally asked us for Basin Fruitland Coal Pictured  
5 Cliffs well -- and you'll see up at No. 10 it says the Field  
6 and Pool Name is the West Kutz Pictured cliff.

7 Q. And this is for which well?

8 A. For the Mudge A 8R. The Mudge A 12 seemed to  
9 have been filed as expected, as we would expect as a Fruitland  
10 Coal well, and this 8R was the well that appears to the  
11 misidentified.

12 Q. Okay.

13 A. So on the next page is the plat locations. And  
14 it shows the 320 W/2 dedication where we would have expected  
15 the Mudge A 12 location would be shown on this map since it was  
16 an existing well when the 8R was drilled. So it just appears  
17 that it must have been overlooked at the time this was applied  
18 for.

19 Q. Having looked at this data at this point, then,  
20 it's your understanding that XTO was under the impression that  
21 the 8R well was simply a PC well?

22 A. Correct. Because if we look at the following  
23 page, the well completion report, it indicates that the Field  
24 and Pool, No. 10, was the West Kutz PC, and the formation was  
25 identified at the bottom under 25A as Fruitland Coal/Pictured

1 Cliffs, and as well as the delivery, Request for Authorization,  
2 which would be at two pages following.

3 Q. If you look at the very last page, then, at  
4 Exhibit Tab No. 4, you're looking at Division form C-104?  
5 That's the --

6 A. 104.

7 Q. -- request for an allowable?

8 A. That also identifies the pool as the West Kutz  
9 Pictured Cliffs. So when XTO took ownership of it, our way of  
10 identifying it on a map, you know -- like our quick way of  
11 identifying would be to look at the cumulative gas production,  
12 and we would plot the well based on where the gas was assigned  
13 to, what pool it was assigned to.

14 So on any of our mapping programs that we would be  
15 looking at, we would use purple for PC and green for Fruitland  
16 Coal. We would see it as a PC well. And then --

17 Q. It wasn't until much later then you discovered  
18 then you had, in fact, two coal gas wells on the same 160?

19 A. Correct. It was in July of '07 we took the well  
20 over. And then as I recollect, it was when we were going to do  
21 a pump change in one of those two wells. I think it was the  
22 A 12. And then as part of that, we were doing the well bore  
23 diagram. And, you know, looking at it and doing a cross  
24 section between the wells, and we realized that the wells were  
25 actually both in the Fruitland Coal rather than one in the

1 Pictured Cliffs.

2 Q. Based upon your study, what do you propose to the  
3 Examiner as a solution for the non-compliance with the density  
4 for the pool?

5 A. We would like to continue operating both of the  
6 wells in the NW, with the understanding that we would not drill  
7 an additional well in that proration unit.

8 Q. What has caused you to reach that conclusion?

9 A. We're not draining beyond our 320-acre boundary,  
10 and we're recovering unique reserves in each of those two  
11 wells. We did not see a negative effect in surrounding wells  
12 to indicate that having both of these wells was causing a  
13 problem for either our own wells or adjacent operators.

14 Q. Let's look at the data that supports your  
15 conclusion. If you'll turn to Exhibit Tab 5, let's start with  
16 an orientation --

17 A. Okay.

18 Q. -- and show us the map that you have imposed the  
19 cross section in?

20 A. Okay. I have a cross section that goes through  
21 BP's well to the north of 59, which is their well in question,  
22 the Mudge A 8R, the Mudge A 12 and then the Mudge -- I can't  
23 read that number -- the Mudge -- let's see the next one. The  
24 Mudge A 12 -- yeah. Well, it's below that -- 7R. So if you  
25 turn the page --

1 Q. Lead us through the cross section itself and show  
2 us what you're seeing when you compare the Mudge 8 and the  
3 No. 12 well.

4 A. Okay. The perforations are shown in this bright  
5 pink color on each -- in the center of each diagram. And then,  
6 if we have a log for that well, we're also showing the log for  
7 the well.

8 So the heavy green horizontal line shows the top of  
9 the Fruitland Coal and the orange line underneath shows the top  
10 of the Pictured Cliffs zone. So looking at the Mudge A 8R,  
11 which is the second well from the left, it shows that it's  
12 completed in the Fruitland Coal.

13 The following well, the Mudge A 8, was a Pictured  
14 Cliffs well that was since -- which was replaced by the A 8R.  
15 And as they were replacing that well, they noted it as A 8R. I  
16 assume their intention was to complete the Pictured Cliffs at  
17 the time when they were replacing that well.

18 Then the Mudge A 12 is the following well. And you  
19 can note that the top of Fruitland Coal and the pink perms are  
20 shown in the Fruitland Coal.

21 Q. So we look at the cross section then, starting on  
22 the far left, the second well over is the Mudge 8R well?

23 A. Correct.

24 Q. And the fourth one over is Mudge A 12 well.  
25 Those are the two wells we're comparing?

1 A. Correct.

2 Q. What is it about the specific perforated  
3 intervals in the coal gas that are either correlative or not?  
4 Are they identical in each or not?

5 A. The coal being identical in each?

6 Q. In their perforated interval.

7 A. Basically they are. They're both complete from  
8 the top to the base of Coal. The Coal you can see on the  
9 density log, which was the far right hand log in each, and it's  
10 colored a heavy black. And so that would be our standard  
11 completion to perforate from the top to the bottom of the coal  
12 and fracture the entire interval.

13 Q. Is this is a cross section that you prepared?

14 A. It is.

15 Q. In addition to this work, did you have a  
16 geologist with XTO prepare an isopach for you?

17 A. I did.

18 Q. Let's turn to that.

19 A. That's the following page in this same exhibit.

20 Q. Have you reviewed the data on this isopach?

21 A. I have.

22 Q. Are you satisfied to the best of your knowledge  
23 it is accurate?

24 A. Yes, sir.

25 Q. To what purpose have you put this exhibit?

1           A. In order to calculate the drainage that we were  
2 defining in each well, I calculated the drainage for all of the  
3 surrounding Coal wells and adjacent wells that could be  
4 affected by this well. And in order to do that, I needed a net  
5 thickness.

6           So Mr. Klutch has prepared this map, and it shows  
7 that for the W/2 of Section 6, the average thickness is  
8 approximately 19 feet thick. Its thickest is 22 feet, and its  
9 thinnest is 16 feet.

10          Q. As part of your engineering work, did you make a  
11 direct comparison of the data between the Mudge 8R well and the  
12 12 well?

13          A. I did.

14          Q. Let's turn to Exhibit Tab No. 6. Did you have  
15 available to you any pressure data?

16          A. No. These wells aren't on our -- we normally  
17 have all our wells automated where we can get pressure data on  
18 a daily and instantaneous basis. These wells when we acquired  
19 them were not automated, so we have no historical or current  
20 production data. All we have is production data. We have no  
21 pressure data.

22          Q. So what methodology did you apply to see how each  
23 well was being affected by the other?

24          A. Well, one would be to see if we could identify  
25 interference between the two wells. For instance, when we

1 turned on the second well, did the first well go down in  
2 production or did the first well decline or accelerate?

3 Q. At this point, you have one of the wells shut in.  
4 That's the --

5 A. 8R.

6 Q. -- 8R is shut in. Before you shut it in, what  
7 was its daily producing rate?

8 A. Approximately 45 MCF per day.

9 Q. And how about the No. 12 well?

10 A. Usually around 65 MCF a day.

11 Q. If you turn to the second page of Exhibit 6, have  
12 you prepared a production graph that shows the comparison of  
13 the production for the two wells?

14 A. Okay, yes. This one.

15 Q. You've got a blue line and a black line on this  
16 display?

17 A. Correct, they do. This blue line would be the  
18 Mudge A 12, which has been on production for a longer period of  
19 time. The black line shows when the Mudge A 8R was put on  
20 production in approximately February of '05.

21 Q. And what is it that you see about this display  
22 that causes you to conclude that the wells are not interfering  
23 with each other?

24 A. First of all, when we put on the Mudge 8R, we  
25 worked -- it appears that we're continuing similar production

1 rate and similar decline in A 12. After the A 8R was put on,  
2 we didn't see an initial drop in production. The other thing I  
3 notice is that the wells generally tend to rise and fall  
4 together indicating that they're more affected by other  
5 influences by gathering system pipeline pressure than they  
6 would be by reservoir conditions.

7 Q. Can you point to the Examiner -- there's some  
8 vertical --

9 A. Oh, sure.

10 Q. -- black lines and one of them is a date in which  
11 the Mudge 8R well is put on production?

12 A. Correct.

13 Q. And then the last one over there is you have the  
14 pump change?

15 A. Right. There was two things that kind of  
16 occurred at that point. We did a pump change on the A 12 which  
17 caused that production to rise. And in addition, we re-gearred  
18 the compressor in order to draw down a little further in that  
19 area. We saw an immediate impact on the A 8R when that  
20 compression was improved. The A 12 didn't respond for another  
21 month because it needed a pump change. Once we did the pump  
22 change, then it also responded to that.

23 Q. As you go through the plot, there's a date in  
24 July of '07 you see where there's a downward spike. It appears  
25 to be both lines merged together in the same pattern.

1 A. Right.

2 Q. What has caused that?

3 A. I don't know for a fact, but I would assume it's  
4 a pressure related -- surface pressure related issue.

5 Q. It looks like it's partially shut in or some  
6 reduction in pressure.

7 A. I would assume it was a compressor that might  
8 have been down.

9 Q. As we go through the time plot on the bottom,  
10 find the various points in time on the display that are  
11 indicative to you as an engineer that these wells, in fact, are  
12 not communicating with each other; that the performance of one  
13 is not being affected by the other.

14 A. Well, by March of '05 to July of '05, both wells  
15 are slightly rising. And then at the end of -- beginning of  
16 '06, both wells are falling. And then there's, you know, some  
17 periods of time where they worked opposite of one another in  
18 '06. But then starting in '07, you see both of them dropping  
19 together, both rise together, both drop together, both rise  
20 together after the compression was improved.

21 Q. If you had two well bores producing the same gas,  
22 what would you see in terms of these type of curves?

23 A. I would expect that when one well had lower  
24 production, then the other one would build up -- its production  
25 would improve, because they're both draining that same thing.

1 One is sucking and the other one doesn't have so much gas to  
2 suck. If they're withdrawing the same amount, they're both  
3 able to rise and fall at the same -- they're kind of working as  
4 an entire system primarily based on the compression at the  
5 surface.

6 Q. As additional information for the Examiner beyond  
7 this display, have you prepared and included production decline  
8 curves for each of these two wells?

9 A. I did. The first one shows the Mudge A 12. You  
10 can see it had a very steady production decline going from like  
11 '97 to 2001. Then there's some type of disturbance there in  
12 the beginning of 2003, which since we weren't the operator, I  
13 could not say exactly what caused that drop in production. I  
14 would think it would be a very good guess that it's compression  
15 related.

16 And it was very steady again, steady decline,  
17 following the previous decline that we had in 2004 and 2005.  
18 So when that other well came on in March 2005, right after that  
19 in April, May, June, July, August, you can see production had  
20 picked back up and was following the decline that had  
21 previously been established. So that indicates to me that we  
22 did not accelerate the decline in the A 12 when we produced the  
23 A 8R.

24 Q. And then following this decline curve, you do  
25 have one for the 8R well?

1           A. Correct. And that I have that same approximately  
2 10 percent decline that we see on the A 12 and we see on the A  
3 8R. That's a pretty typical decline you might see in the  
4 Fruitland Coal.

5           Q. Let's turn now to the other topic that you have  
6 given us an opinion on, and that is whether the two Mudge wells  
7 together are adversely affecting offset operations either by  
8 Burlington or by BP.

9           A. Okay.

10          Q. Have you got a section in the exhibit book that  
11 addresses that topic?

12          A. I do. The graph in Section 7.

13          Q. It's the first page?

14          A. The first page, the colorful graph.

15          Q. Take a moment. Because we're first-time lookers  
16 at some of this.

17                 The color codes now are unique to well bore  
18 information?

19          A. Correct. I looked at all the Fruitland Coal  
20 wells that were immediately adjacent to the A 8R and A 12. And  
21 those are the two heaviest lines, the blue and the black line.

22                 And then all of the other wells, I put them in the  
23 same time period so that we can see, you know, when we put on  
24 that A 8R, we didn't see a particular drop in A 12, but maybe  
25 BP might have seen that drop. But in looking at the data of

1 BP's two adjacent wells, the 59 is our closest well, which is  
2 the purply-pink-red line near the top of that graph. And their  
3 other well that is close by would be the Gallegos Canyon  
4 Unit 244, which is the brighter red line.

5 Both of those wells were continuing in general -- I  
6 mean, there's a lot of noise and disturbance in between. And  
7 generally, continuing the rate and decline had already  
8 previously been established for those wells. In fact, I see  
9 that and it appears to be true for each of the wells that are  
10 shown in this graph. There's a lot of noise and a lot of other  
11 variables going on, but I don't see anything that would alarm  
12 me to think that we were draining these wells.

13 Q. Go back and walk me through this. There's a  
14 vertical black line in about March of '05 on your display.

15 A. Correct. And that line shows at which point we  
16 turn on A 12. And you'll see the heavy black line that begins  
17 after that point.

18 Q. So I'm going to go vertical up on the black line,  
19 and then I see a horizontal heavy blue line --

20 A. Uh-huh.

21 Q. -- just below that is the start of the heavy  
22 black line.

23 A. Right.

24 Q. That's the point in time where we have both Mudge  
25 wells on production?

1 A. Correct.

2 Q. As I go above the blue line, there's a red line  
3 that represents which well?

4 A. The Gallegos Canyon Unit 59. That is the nearest  
5 well to the north.

6 Q. So that's --

7 A. It's not an operated well.

8 Q. And then below that is -- I would call it purple.  
9 What is that? Just below the red line. Is that the Gallegos  
10 59?

11 A. By the blue line? That would be the Mudge A9,  
12 which is an XTO operated well.

13 Q. That's an XTO well.

14 A. For the most -- you know, as shown in that first  
15 map that we're looking at -- was it 5, 4? It was 3 --  
16 Exhibit 3 -- for the most part, XTO has operations  
17 offsetting -- we offset ourselves in this area. The BP to our  
18 north would be the next --

19 Q. Well, let's use Exhibit No. 3 because it's awful  
20 hard to read that. If I'm looking in the SW/4 of Section 31,  
21 what well is that?

22 A. That's the Gallegos Canyon 59.

23 Q. That's the 59 operated by BP?

24 A. Correct.

25 Q. If I go over into the SE of 36, what is the

1 corresponding Coal gas well --

2 A. Gallegos Canyon Unit 244.

3 Q. 244.

4 A. Which are the two reddish colors on the map in  
5 Exhibit 7.

6 Q. Then when we go back to the composite of the  
7 decline curves on Exhibit 7, let's look first of all at BP's 59  
8 well. Find that one for me again.

9 A. It is the second line from the top being that  
10 purply-red color, pinky-red.

11 Q. It appears that there is -- that well bore has  
12 experienced some downward decline before the two wells would  
13 come on together.

14 A. That well has been on production, if I recall  
15 correctly, and I might have that number exactly -- I think it's  
16 1955, approximately. Prior to 1960, it's been on production.  
17 It's cumed over 1.5 -- it's over 1 BCF. It's in the 1.5 range,  
18 if I recall correctly. But I know it's over 1 BCF of  
19 cumulative production. So it's a very mature well. It would  
20 have certainly been in decline at the time that we put this  
21 well in production.

22 Q. To aid the Examiner in following this composite  
23 display, do you have individual decline curves for each of the  
24 key wells?

25 A. I do. On the following pages is each of the

1 decline curves.

2 Q. Let's turn to the first one I have in my book,  
3 which is the Gallegos Canyon 53 well. Do you have that?

4 A. Correct.

5 Q. And then we can flip over the next pages, the  
6 244.

7 A. Right. And I put a little arrow on those to  
8 indicate at what point we turned on the A 8R well.

9 Q. Let's look at the 244 now, because this is one of  
10 the offsetting wells from BP. Do you see any change in the  
11 character of the decline curve for this production from this  
12 well --

13 A. I don't.

14 Q. -- in association with the combined production  
15 from the Mudge wells?

16 A. I put a line there where I would place the  
17 decline, and both in looking at the decline line that I put on  
18 and the actual production data for that well, the well that did  
19 not seem to be at all aware that there was another withdrawal.

20 Q. Let's have you make that comparison for the other  
21 BP well, which is 59 well. It's about three pages beyond.

22 A. Okay.

23 Q. Do you see the decline curve for the Gallegos  
24 Canyon 59 well?

25 A. Okay. Actually, it has the year of that. That

1 was drilled in 1992, apparently, according to this first  
2 production, 1992.

3 Q. Find for us the point on the decline curve for  
4 the 59 well that you now have combined production from the two  
5 Mudge wells. I'm on the Gallegos Canyon 59 curve.

6 A. Okay.

7 Q. Now find the date in which --

8 A. It was in approximately March of '05, and you can  
9 see that the well had been on a very steady decline really  
10 since from 1994 all the way through the present. It's a pretty  
11 steady decline all the way through there.

12 Q. As you examined the production decline for that  
13 well, do you find any change in the curve that you would  
14 attribute to having to compete against the two Mudge wells?

15 A. No, I don't.

16 Q. Let's turn to one of the other conclusions that  
17 you gave the Examiner earlier, and that was you were  
18 calculating the drainage effects of these wells?

19 A. Correct.

20 Q. Let's turn to Exhibit Tab No. 8, and have you  
21 identify what you've done here.

22 A. What I did is I used the cumulative gas  
23 production from each of those adjacent wells and applied a 10  
24 percent decline to all of those -- each of those wells because  
25 that would be the typical decline that we've seen in all of

1 those, calculated the remaining recoverable gas and the  
2 estimated ultimate recovery, and then I divided by the -- we've  
3 calculated approximately 180 standard cubic per ton of gas  
4 content divided by the gas content and the thickness and  
5 multiplied by constant to determine the drainage area.

6 And so I sorted these drainage areas from smallest to  
7 largest and highlighted in yellow the Mudge A 8R and the Mudge  
8 A 12 well. So the drainage areas range from eight acres to 254  
9 acres with the Gallegos Canyon Unit well being the one that  
10 would drain 254 acres. Our wells were draining 25 and 127 for  
11 a total of 152 -- 153.

12 Q. In doing this calculation, was your method the  
13 same for each of the wells?

14 A. It was. I used the actual coal thickness for  
15 each well obtained from the isopach map that used constant  
16 decline and gas content for each well.

17 Q. So all the assumptions and evaluations in here  
18 are consistent for each of the wells?

19 A. Correct.

20 Q. And what have you concluded from this work?

21 A. Well in slide nine -- Exhibit 9 -- it shows kind  
22 of a summary that the cumulative production, the data on the  
23 Mudge A 12 is 635 million cubic feet. For the 8R it's 53.  
24 They have the same coal thickness of 19 feet being in the same  
25 quarter section. I used the same gas content of 180. We have

1 some core data in that area that we used to determine the gas  
2 content. So from that I calculated the drainage areas would be  
3 128 acres and 25 acres for the A 12 and 8R, which would be a  
4 total area drained of 153, which would be less than the  
5 160 acres in that quarter section. It's also less than the  
6 320-acre proration unit.

7 Q. In your opinion, is it fair and reasonable to  
8 allow XTO to produce both wells concurrently?

9 A. It is. I feel that it is. You know, it came  
10 about as an error, but it does not seem that we're causing a  
11 detriment to these wells. In fact, we need the additional well  
12 to properly drain that quarter section, so we'd like to  
13 continue operating this.

14 Q. Let's turn to Exhibit 10 where you have again  
15 summarized your conclusions and have you give the Examiner your  
16 conclusions again.

17 A. Okay. The first conclusion was on the production  
18 plots: The production did not accelerate when the A 12 and 8R  
19 was completed, indicating the wells are not interfering with  
20 one another.

21 The second conclusion is they're not noticeably  
22 affected -- they are noticeably affected by gathering system  
23 pressure as the wells tend to rise and fall together rather  
24 than inversely.

25 Third, as seen on the production plots, there's no



1 MR. CARR: I did not call her up.

2 Q. (By Mr. Jones): Did you talk to Bill Hawkins or  
3 any other BP people?

4 A. I spoke to -- I can't remember the name of the  
5 first person -- but I spoke to Tim Perkins or a geologist with  
6 Mr. Perkins and discussed with him what we were trying to do  
7 and any concerns he had.

8 Q. Is it your opinion that increased density is  
9 actually needed in this low productivity area? From looking at  
10 this and other --

11 A. Well, you know, we can always find errors where  
12 we could say yes, in individual areas, increased density could  
13 recover additional gas. Whether it could be recovered  
14 economically, I don't know, because these are both pretty low  
15 volume wells at 45 and 65 MCF a day. So increasing density  
16 would probably not be something that we would request.

17 Q. The economics would be another step. Do you have  
18 to do that for your company also?

19 A. I do.

20 Q. So --

21 A. The -- you know, as you can see, the drainage  
22 areas range all the way up to 254 acres. The initial wells  
23 that were drilled there in the earlier days did a very good job  
24 of draining a pretty large area and reduced the pressures. You  
25 know, it was a pretty wide swatch for which we see often for

1 Oklahoma and Pictured Cliffs.

2 So infill wells have a tougher time meeting economic  
3 hurdles.

4 Q. So what kind of pressure do you think is out  
5 there right now, reservoir pressure?

6 A. Less than 120, probably.

7 Q. That well that you shut in, did you talk to our  
8 district office before you shut it in voluntarily without  
9 talking to anybody else?

10 A. We didn't, no. It was a decision made within  
11 XTO.

12 Q. You don't think there's any damage done to that  
13 well because you shut it in?

14 A. No.

15 Q. It's dry or something?

16 A. It's not completely dry. It probably makes less  
17 than a barrel of water a day, half a barrel, maybe. If we  
18 turned it back on, I think it would probably take two or three  
19 months to fill it back up. To get it pumped down, we'll  
20 probably swab it a few times and put it back on pump.

21 Q. On pump?

22 A. We had these at about 4 to 5 PSI line pressure,  
23 so we've got them pretty low.

24 Q. Is it your own compression?

25 A. It is.

1 Q. Wellhead compression?

2 A. I'm not certain, but I think so, yes.

3 Q. What CO2 is it making?

4 A. I don't think that -- I think it's negligible.

5 Q. Really? This 180 standard cubic feet per ton, is  
6 that an old number, or are you satisfied that's a good number?

7 A. It is. It's an average of two coal wells that  
8 were within a couple of townships of that area.

9 Q. Whole cores?

10 A. Correct. It would have been isotherm data.

11 Q. And your recovery factor?

12 A. 86 percent.

13 Q. 85? Are you comfortable with that?

14 A. We are, yes. It's well after well after well  
15 confirms that.

16 Q. Your best well out here, 1 BCF cum -- you say you  
17 would never want to drill a well in the SW/4. I know your  
18 geology map is kind of drawn that way, but they can draw those  
19 maps, you know, depending on their -- what they see, your coal  
20 is pretty good here. It's pretty thick.

21 A. I think, based on the recoveries we've gotten,  
22 there's very little geologic separation between the Fruitland  
23 Coal and the Pictured Cliffs, and that the Pictured Cliffs well  
24 has probably at least robbed pressure, if not gas, from the  
25 Fruitland Coal. Having the Pictured Cliffs well that we

1 currently operate in the SW/4 is probably doing a good job of  
2 draining both zones.

3 Q. That 8R well, was that drilled directionally?

4 A. I don't think so. Not intentionally, no.

5 Q. I thought I saw a line there on the plot.

6 A. If there were any meandering in the well bore,  
7 that would be reflected on the map. But I don't -- there's  
8 probably some, but at these depths, it wouldn't be far.

9 Q. Is it your lower Fruitland that's the only  
10 contributor here? You fraced the upper portion of it?

11 A. If there is an upper portion, we would go back  
12 and add that. And when we took over these wells, you know,  
13 last year, it takes us a while before we get all the data in  
14 our systems and understand what we have and so forth.

15 But looking at the log, I have not seen the upper  
16 coal that we would probably go after. But if there is one,  
17 that would be another step we'd go back through and hit all  
18 these at 3-foot, 2-foot, 4-feet.

19 Q. No sands that are storing gas around there around  
20 the coal?

21 A. Those are real hit-and-miss. Usually, they're  
22 not mappable, but if we see it on a log, then we would request  
23 permission to complete that as a Fruitland Sand.

24 Q. And frac it through the coals?

25 A. Right. Well, we would frac through the coals in

1 a separate procedure than in sand because the sand would  
2 preferentially take the whole frac. So if we could isolate the  
3 sand to be able to frac that alone, we would frac that. But  
4 normally we only go through and hit the coals and frac those.

5 Q. Okay. That's -- but the coals are pretty  
6 continuous out here, aren't they?

7 A. They are.

8 Q. So you would think that more density of the wells  
9 would drain an area faster if one area was more densely drilled  
10 than another area. But you've done a lot of work on decline  
11 curve analysis, but logically wouldn't you assume that the area  
12 would be drained -- it would have to be drained faster if the  
13 coals are continuous.

14 A. Right.

15 Q. Right?

16 A. I would assume that, yes.

17 Q. Okay.

18 A. I mean, the fact that when we drill a well in  
19 2004, and it had a cum production of 400, 300 to 400 versus the  
20 earlier wells that had over BCF would tell you that those first  
21 wells had a lot more pressure and had been depleted. You know,  
22 if I sorted this by completion date, I think it would look just  
23 about the same as this, so --

24 Q. Okay. Thank you. You've been real thorough, and  
25 I appreciate it. I don't have any other questions.

## EXAMINATION

1  
2 BY MR. BROOKS:

3 Q. Yeah. Looking at Exhibit 3, you said the green  
4 indicated Fruitland Coal wells?

5 A. Correct.

6 Q. So looking over into Section 1, there are two  
7 wells shown in the NE/4. One of them has a dotted line, so I  
8 assume it's a directional well; is that correct?

9 A. I think that those dotted lines are just so the  
10 labels could possibly be legible. I made them too small for  
11 them to truly be legible, but that's just to move the label  
12 away from the wells so that they're not --

13 Q. Those are XTO wells, are they not?

14 A. They are both XTO wells, the 32 and the 32R.

15 Q. Now, are they, then, completed in the same  
16 quarter section?

17 A. Well, they are, except the one has been  
18 abandoned. The initial well, the 1-32 to the west, has been  
19 abandoned.

20 Q. So they're not simultaneously producing?

21 A. No, they aren't.

22 Q. Okay. Now, down in the SE/4, that well doesn't  
23 show any green that I could see, so I'm assuming it's not  
24 completed in the Fruitland Coal?

25 A. Correct.

1 Q. But you've got one in the Fruitland Coal over in  
2 the SW/4?

3 A. Correct.

4 Q. And that's also an XTO well?

5 A. It is.

6 Q. Now, is the ownership -- does XTO have 100  
7 percent working interest ownership in Section 1?

8 A. We do in that -- Ryan indicated that we do in the  
9 E/2. I'm not certain on the W/2, but often if we have 100  
10 percent in one half a section, we would -- there's a big chance  
11 we would have that in the west half.

12 Q. Well, that's a concern to me. Let me see: Do  
13 you know if that's set up -- your previous witness indicated he  
14 didn't know. Do you know if that is set up -- those wells  
15 there are set up in the E/2 unit in Section 1 or whether  
16 they're a N/2 unit?

17 A. Think it's an E/2, W/2 unit.

18 Q. Okay. If it's an E/2 unit, then I think we're  
19 okay. But --

20 A. We could certainly get that information.

21 MR. BROOKS: Could you supplement the record with  
22 that information, Mr. Kellahin?

23 MR. KELLAHIN: We'll double-check. It's my  
24 understanding it was an E/2 spacing unit, but we'll check it.

25 Q. (By Mr. Brooks): Okay. Then up in the -- well,

1 in Section 31 we're okay, because I'm sure the way the  
2 operatorship is denoted, that's going to be a S/2 unit. BP is  
3 the operator of that well, correct?

4 A. Correct.

5 Q. And they would put their own acreage in the well.  
6 Now, up in Section 36, is that -- there's a well that's shown  
7 that look like it's very close to the center line to the  
8 east/west center line of Section 36. It looks like a Fruitland  
9 Coal well. Do you know if that one is in the SE/4 -- or the  
10 SW/4?

11 A. I'm quite sure it's in the SE/4.

12 Q. Okay.

13 A. And I'm sure that must be a laydown since that is  
14 so close to the center line.

15 Q. And that's a BP well.

16 A. Yes, it is.

17 Q. Okay. I guess my only concern, then, is about  
18 Section 1, to be sure that that is in the E/2 unit.

19 MR. KELLAHIN: We'll double-check.

20 MR. BROOKS: Okay. Thank you.

21 EXAMINATION

22 BY MR. WARNELL:

23 Q. Yes. I have a question. If we could go to  
24 Tab 5, second page, on your cross section.

25 A. Okay.

1 Q. The first well there in your cross section,  
2 No. 58 is it?

3 A. Yes. The 59, yes.

4 Q. Oh, 59, okay. That little blue-dashed line goes  
5 right through there. Two zones are perforated here?

6 A. Yes. That well is a Fruitland Coal and Pictured  
7 Cliffs completion.

8 Q. Okay.

9 A. And they would have -- I'm sure they must have  
10 proper permission to have both of those wells.

11 Q. I'll check on that just as an exercise.

12 MR. WARNELL: That's all the questions I have. Thank  
13 you.

14 MR. JONES: Okay. That was very informative. Thank  
15 you very much.

16 THE WITNESS: Thank you.

17 MR. JONES: Okay. With that, we'll take Case 14247  
18 under advisement.

19 \* \* \*

20 I do hereby certify that the foregoing is  
21 a complete record of the proceedings in  
22 the Examiner hearing of Case No. \_\_\_\_\_  
23 heard by me on \_\_\_\_\_

24 \_\_\_\_\_, Examiner  
25 Oil Conservation Division

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**REPORTER'S CERTIFICATE**

I, JOYCE D. CALVERT, Provisional Court Reporter for the State of New Mexico, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest in the final disposition of this proceeding.

DATED this 4th day of December, 2008.




JOYCE D. CALVERT  
New Mexico P-03  
License Expires: 7/31/09

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF NEW MEXICO            )  
  )  
COUNTY OF BERNALILLO         )

I, JOYCE D. CALVERT, a New Mexico Provisional Reporter, working under the direction and direct supervision of Paul Baca, New Mexico CCR License Number 112, hereby certify that I reported the attached proceedings; that pages numbered 1-42, inclusive, are a true and correct transcript of my stenographic notes. On the date I reported these proceedings, I was the holder of Provisional License Number P-03.

Dated at Albuquerque, New Mexico, 4th day of December, 2008.

  
\_\_\_\_\_

Joyce D. Calvert  
Provisional License #P-03  
License Expires: 7/31/09

  
\_\_\_\_\_

Paul Baca, RPR  
Certified Court Reporter #112  
License Expires: 12/31/08