

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF WILLIAMS PRODUCTION
COMPANY, LLC FOR EXCEPTIONS TO THE
SPECIAL RULES AND REGULATIONS FOR THE
BLANCO-MESAVERDE GAS POOL FOR A PILOT
PROJECT TO DETERMINE THE PROPER WELL
DENSITY REQUIREMENTS FOR MESAVERDE
FORMATION WELLS, SAN JUAN AND
RIO ARRIBA COUNTIES, NEW MEXICO

CASE NO. 14291

RECORDED
INDEXED
MAR 19 2009

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Legal Examiner
 RICHARD EZEANYIM, Technical Examiner
 TERRY G. WARNELL, Technical Examiner

March 19, 2009

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico
Oil Conservation Division, DAVID K. BROOKS, Legal Examiner,
RICHARD EZEANYIM, Technical Examiner, and TERRY G. WARNELL,
Technical Examiner, on Thursday, March 19, 2009, at the
New Mexico Energy, Minerals and Natural Resources Department,
1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: JOYCE D. CALVERT, P-03
 Paul Baca Court Reporters
 500 Fourth Street, NW, Suite 105
 Albuquerque, New Mexico 87102

INDEX

Examiner Hearing
CASE NO. 14291

PAGE

APPEARANCES

3

APPLICANT'S WITNESSES:

MORGAN VERNE HANSON

DIRECT EXAMINATION BY MS. MUNDS-DRY
EXAMINATION BY MR. EZEANYIM

5
13

MARGARET ANN LESSENGER

DIRECT EXAMINATION BY MS. MUNDS-DRY
EXAMINATION BY MR. WARNELL
EXAMINATION BY MR. EZEANYIM

14
24
24

KENLEY HAYWOOD MCQUEEN, JR.

DIRECT EXAMINATION BY MS. MUNDS-DRY
EXAMINATION BY MR. EZEANYIM

25
35

APPLICANT'S EXHIBITS 1 through 3 and No. 10
APPLICANT'S EXHIBITS 4 through 8
APPLICANT'S EXHIBIT 9

12
23
35

REPORTER'S CERTIFICATE

41

A P P E A R A N C E S

FOR THE APPLICANT:

Ocean Munds-Dry, Esq.
HOLLAND & HART, LLP
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501

FOR DEVON ENERGY PRODUCTION, LP:

James G. Bruce, Esq.
ATTORNEY AT LAW
P.O. Box 1056
Santa Fe, New Mexico 87504

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 MR. EZEANYIM: At this time, we call Case No. 14291.
2 This is the Application of Williams Production Company, LLC for
3 Exceptions to the Special Rules and Regulations for the
4 Blanco-Mesaverde Gas Pool for a Pilot Project to Determine the
5 Proper Well Density Requirements for Mesaverde Formation Wells,
6 San Juan and Rio Arriba Counties, New Mexico.

7 Call for appearances.

8 MS. MUNDS-DRY: Good morning, Mr. Examiner. Ocean
9 Munds-Dry with the law firm of Holland & Hart, here
10 representing Williams Production Company, LLC this morning, and
11 I have three witnesses.

12 MR. EZEANYIM: Any other appearances?

13 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
14 representing Devon Energy Production Company, LP. I have no
15 witnesses.

16 MR. EZEANYIM: Any other appearances? Okay.

17 May the witnesses stand up, state your name and be
18 sworn.

19 [Witnesses sworn.]

20 MR. EZEANYIM: Okay. You may proceed.

21 MS. MUNDS-DRY: Thank you. I would like to call my
22 first witness.

23 MORGAN VERNE HANSON

24 after having been first duly sworn under oath,
25 was questioned and testified as follows:

1 DIRECT EXAMINATION

2 BY MS. MUNDS-DRY:

3 Q. Would you please state your full name for the
4 record.

5 A. Morgan Verne Hanson.

6 Q. And where do you reside?

7 A. Tulsa, Oklahoma.

8 Q. And by whom are you employed?

9 A. Williams Exploration and Production Company.

10 Q. And in what capacity are you employed with
11 Williams?

12 A. I am senior staff landman.

13 Q. And have you previously testified before the
14 Division, and were your credentials accepted and made a matter
15 of record?

16 A. Yes.

17 Q. Are you familiar with the application that's been
18 filed in this matter?

19 A. Yes, I am.

20 Q. Are you familiar with the status of the lands in
21 this area that are the subject of the application?

22 A. Yes, I am.

23 MS. MUNDS-DRY: At this time, Mr. Ezeanyim, we would
24 tender Mr. Hanson as an expert witness in petroleum land
25 matters.

1 MR. EZEANYIM: Mr. Hanson is so qualified.

2 Before we proceed here, I don't know what the nature
3 of your appearance is, Jim Bruce. Do we have a contesteer?

4 MR. BRUCE: No, sir. No, sir. Devon Energy owns
5 acreage offsetting this project area and is an interested
6 party.

7 MR. EZEANYIM: Okay. Go ahead.

8 MS. MUNDS-DRY: Thank you.

9 Q. (By Ms. Munds-Dry): Mr. Hanson, would you
10 briefly summarize what Williams seeks with this application?

11 A. We seek approval of a pilot project for the
12 purpose of determining the proper well density requirements for
13 wells in the Blanco-Mesaverde gas pool within the Rosa Unit
14 area in the San Juan and Rio Arriba Counties in New Mexico
15 pursuant to Division Rules 19.15.15.11(C) NMAC.

16 Q. And can you tell me the boundaries that Williams
17 proposes for the pilot project area?

18 A. Boundaries of the pilot project area will be in
19 Township 31 North, 6 West, Sections 1 through 5, all; Sections
20 8 through 17, all; Sections 21 through 26, all; in Township
21 32 North, 6 West, Sections 32 through 36, all.

22 Q. And what is the purpose of this pilot project?

23 A. It's to study the feasibility of increased
24 density for all of the Mesaverde formation wells within the
25 Rosa Unit area and permit the drilling of one additional well

1 in each of the three existing 320-acre gas proration units.

2 Q. Mr. Hanson, what rules currently govern the
3 development of this pool?

4 A. The special pool rules and regulations for the
5 Blanco-Mesaverde gas pool, which currently provide for a
6 320-acre gas proration unit, up to four wells per gas proration
7 unit under Rule 1(B)1, and then wells may be drilled no closer
8 than 660 feet to the outer boundary of the unit on uncommitted
9 lands and no closer than ten feet to any interior 4/4 line or
10 subdivision to inner boundary within the participating area.

11 Q. Thank you. Would you please turn to what's been
12 marked as Williams Exhibit No. 1, and review this for
13 Mr. Ezeanyim.

14 A. This is a map showing the Rosa Unit area with the
15 various types of interest shown. The Bureau of Land
16 Management, federal lands, are shown in gray, and most of the
17 other colors are hatched over. But in the brown, you can see
18 the State lands, and in white you can see the fee lands. And
19 then there is one uncommitted tract lying in between
20 Sections -- in Sections 34 -- or I'm sorry -- 33 and 34 and in
21 between Sections 3 and 4. That's in Township 31 and 32 North,
22 6 East.

23 MR. EZEANYIM: Excuse me. If I may ask, you are
24 talking about those Rules 1(A)1, 1(B)1 -- which order?

25 THE WITNESS: The Blanco-Mesaverde.

1 MR. EZEANYIM: Do you know the order number?

2 THE WITNESS: I do not have that with me, no.

3 MS. MUNDS-DRY: I can look that up for you,
4 Mr. Ezeanyim.

5 MR. EZEANYIM: Is it Order No. R-10987 and 081?

6 MS. MUNDS-DRY: That sounds right.

7 MR. EZEANYIM: I would really appreciate if -- you
8 know, in the application it says 1(B)1 in the regulations.

9 THE WITNESS: Right.

10 MR. EZEANYIM: I think it's important for us if you
11 mention which order number you're talking about.

12 THE WITNESS: I'll make sure we do that the next
13 time.

14 MR. EZEANYIM: Okay. Thank you.

15 Q. (By Ms. Munds-Dry): Mr. Hanson, before we turn
16 to -- I just want the Examiners to get an idea on the larger
17 map on Exhibit 1 where we're proposing the pilot project you
18 previously gave the description.

19 If you could turn back to Exhibit 1 for just a
20 minute, and indicate for the Examiners where you're proposing
21 the pilot project.

22 A. The pilot project is all within the boundaries of
23 the existing Mesaverde participating area in the Rosa Unit, and
24 it comprises basically the western portion of the participating
25 area.

1 Q. Thank you.. Now, if you could please turn to
2 Exhibit No. 2, and review this for the Examiners.

3 A. This exhibit shows the pilot area, and it
4 indicates the wells that we plan in the pilot, and you can see
5 them. They're in triangles. We have a larger version of this
6 map, but they're in red, green, and blue triangles on this map.

7 Q. And this, according to the legend, shows the
8 drilling plan for the future?

9 A. Yes, it does. This also shows existing Mesaverde
10 wells. And if you'll notice, there is the green and the white.
11 And I'll have -- Ken McQueen will explain this in a little bit
12 more detail. But the white areas of this map indicates areas
13 where there is no Mesaverde location on a 40-acre tract.

14 Q. So it appears that the proposed wells are in 4/4
15 sections that are not already occupied by a Mesaverde well?

16 A. That's correct.

17 Q. If you could please review for the Examiners what
18 Williams' interest is in this area.

19 A. Williams owns -- Williams is the operator of the
20 Rosa Unit, Williams Production Company, LLC. And Williams
21 Production Company is the working interest owner with just a
22 little over 58 percent working interest in the Mesaverde
23 participating area.

24 Q. And what is the character of the lands under the
25 proposed pilot project area?

1 A. Mostly federal. And as indicated on Exhibit 1,
2 there are some State lands and some fee tracts within that
3 also.

4 Q. And is Exhibit No. 3 a copy of the Notice of
5 Affidavit, Exhibit A, which lists all parties that were
6 notified, the notice letter, the Affidavit of Publication, and
7 then the green cards and the return receipts?

8 A. Yes, it is.

9 Q. To whom was notice provided?

10 A. Notice was provided to all working interest
11 owners within the Rosa -- all interest owners -- excuse me --
12 within the Rosa Unit. It was provided to the Commissioner of
13 Public Lands and the Bureau of Land Management.

14 It was also provided to the offsetting operators,
15 which is Devon, ConocoPhillips, and Energen.

16 Q. And has Williams met with representatives of the
17 Bureau of Land Management concerning this application?

18 A. Yes, we have.

19 Q. And what was their response?

20 A. The Bureau of Land Management is in support of
21 this application.

22 Q. And, Mr. Hanson, I'm going to hand you what we've
23 marked as Exhibit No. 10.

24 MS. MUNDS-DRY: Mr. Examiner, I hope Mr. Lovato
25 doesn't mind, but I just wanted to recognize that Mr. Lovato of

1 the Bureau of Land Management is here today. And he delivered
2 to us this morning a copy of what we would like to submit as
3 Exhibit No. 10.

4 MR. EZEANYIM: Okay.

5 MS. MUNDS-DRY: And I'll get more copies. I
6 apologize. I just have a limited number of copies, so I will
7 get that to the court reporter.

8 Q. (By Ms. Munds-Dry): Mr. Hanson, what is
9 Exhibit No. 10?

10 A. Exhibit No. 10 is a letter to Commissioner
11 Fesmire from the Bureau of Land Management signed by Mr. Steve
12 Henke, in support of the application.

13 Q. And I believe that the letter states a couple of
14 conditions that the BLM would request be made part of any
15 order that resulted from this hearing?

16 A. Yes, it does.

17 Q. And has Williams had a chance to review those
18 conditions?

19 A. I have not had a chance to review those
20 conditions.

21 Q. Do you know if anyone else from Williams has had
22 a chance to review those conditions?

23 A. I think Mr. McQueen may have had an opportunity
24 this morning, but he may not have had. I'm not sure.

25 Q. Okay. Has Williams discussed this application

1 with the OCD Aztec office?

2 A. Yes, we have. They were in the meeting with the
3 Bureau of Land Management on March 16, 2009.

4 Q. And do you know what their response was to this
5 application?

6 A. They were favorable to this application.

7 Q. And has Williams received any objections to the
8 proposed pilot project?

9 A. No, we have not.

10 Q. And were Williams Exhibits 1 through 3 prepared
11 by you or compiled under your direct supervision?

12 A. Yes, they were.

13 MS. MUNDS-DRY: At this time, Mr. Examiner, we would
14 move the admission of Exhibits 1 through 3 and No. 10 into
15 evidence.

16 MR. EZEANYIM: Exhibits 1 through 3 and No. 10 will
17 be admitted.

18 [Applicant's Exhibits 1 through 3 and No. 10 admitted
19 into evidence.]

20 MS. MUNDS-DRY: And that concludes my direct
21 examination of Mr. Hanson.

22 MR. EZEANYIM: Okay. Any questions?

23 MR. BROOKS: Did you state what percentage of working
24 interest that Williams owns?

25 THE WITNESS: I kind of had that in my pile from the

1 last testimony, and I got it buried here.

2 But it's 58.19 for 7.19 percent working interest is
3 what we have.

4 MR. BROOKS: That's all I have.

5 MR. EZEANYIM: Mr. Warnell?

6 MR. WARNELL: No questions.

7 EXAMINATION

8 BY MR. EZEANYIM:

9 Q. How many actual MCF are you seeking?

10 A. I believe in this project there will be 20. Ken
11 will --

12 Q. I mean per spacing unit now.

13 A. Within the unit?

14 MS. MUNDS-DRY: Oh, per spacing unit?

15 THE WITNESS: Oh, one per spacing unit. Under this
16 pilot project, we will not be placing one in each spacing unit.
17 We have selected specific spacing units within the pilot
18 project area.

19 Q. (By Mr. Ezeanyim): Yeah. I don't know what he's
20 talking about in this letter. I just got it.

21 But why is it necessary for you to do five wells per
22 spacing unit instead of four to be able to do that study? Why
23 is that necessary to add that additional well?

24 A. I believe that Mr. McQueen will provide
25 engineering testimony to that effect.

1 Q. So what I'm understanding is that four wells will
2 not be enough to get at that?

3 A. We wish to make the proper determination of what
4 the correct density within the Rosa Unit will be, and by
5 drilling these wells, we hope to gain the data necessary to
6 make that determination.

7 Q. Okay. Maybe when we hear from Mr. McQueen.
8 Okay. Thank you very much.

9 MS. MUNDS-DRY: Thank you. I'd like to call my next
10 witness.

11 MR. EZEANYIM: You may. Go ahead.

12 MARGARET ANN LESSENGER

13 after having been first duly sworn under oath,
14 was questioned and testified as follows:

15 DIRECT EXAMINATION

16 BY MS. MUNDS-DRY:

17 Q. Would you please state your full name for the
18 record.

19 A. Margaret Ann Lessenger.

20 Q. And where do you reside?

21 A. In Golden, Colorado.

22 Q. And by whom are you employed?

23 A. Williams Exploration and Production Company.

24 Q. And in what capacity?

25 A. I'm a staff geoscientist.

1 Q. Have you previously testified before the Oil
2 Conservation Division?

3 A. I have not.

4 Q. Would you briefly summarize for the Examiners
5 your educational background?

6 A. Okay. I have a B.S. in geophysical engineering
7 from the Colorado School of Mines, 1981. I have an M.S. in
8 geophysics from the Colorado School of Mines, 1988. And I have
9 a Ph.D. in geology from the Colorado School of Mines with
10 emphasis on stratigraphy and sedimentology in 1993.

11 Q. Dr. Lessenger, would you please also summarize
12 your work experience for the Examiner?

13 A. Yes. I have nine years of oil and gas
14 exploration experience with petroleum exploration companies. I
15 also have ten years of research in petroleum geology for both
16 the Colorado School of Mines and a private company. And I've
17 been with Williams for two-and-a-half years.

18 Q. Are you familiar with the application that's been
19 filed by Williams in this case?

20 A. Yes, I am.

21 Q. And have you made a geological study of the
22 Mesaverde Formation in the San Juan Basin?

23 A. Yes, I have.

24 MS. MUNDS-DRY: And at this time, Mr. Examiner, we
25 would tender Ms. Lessenger as an expert witness in petroleum

1 geology.

2 MR. EZEANYIM: Are you a member of any professional
3 organizations like professional geologist, engineering, or
4 whatever?

5 THE WITNESS: Am I a member of professional
6 organizations?

7 MR. EZEANYIM: Yeah, registered, not member.

8 THE WITNESS: I'm not a registered member, but I'm a
9 member of professional organizations.

10 MR. EZEANYIM: Okay. So qualified.

11 Q. (By Ms. Munds-Dry): Dr. Lessenger, I'd ask you
12 to turn to what's been marked as Exhibit No. 4 and review this
13 packet for the Examiners.

14 A. Okay. Are we going to do the PowerPoint?

15 Q. I guess we've elected, since we have the packets
16 here, just to do it that way.

17 A. Okay. I thought we were going to do PowerPoint,
18 but that's okay.

19 The first page of this packet shows the general
20 stratigraphy of the San Juan Basin, and, in particular, it
21 shows the position of the Mesaverde group which has the arrows
22 to it.

23 This is a typical depositional wedge with the Point
24 Lookout marine sandstone at the base that's contemporaneous
25 with the Menefee Formation following behind as the Point

1 Lookout progrades into the ocean, which is to the east.

2 The Menefee Formation is non-marine. It's composed
3 of fine grains, silica-like sediments and sandstones that are
4 alluvial in nature.

5 Above the Point Lookout is the Cliffhouse Sandstone,
6 which is also a marine sandstone, which is stepping more
7 landward. So the three -- these three units complete the
8 sedimentary wedge of the Mesaverde group.

9 If you turn the page, you look at a typical
10 stratigraphic column of the San Juan Basin. You have the
11 Mancos shale followed by -- successively followed by the marine
12 seaward-stepping Point Lookout Sandstone, then followed by the
13 seaward- and landward-stepping non-marine Menefee Formation,
14 and then followed by the Cliffhouse landward-stepping marine.

15 So that's just the vertical expression of the
16 development of the sedimentary wedge in the basin.

17 Turn the page. Okay. This just shows a general
18 schematic of what the depositional model might be in this case
19 with the green area showing the non-marine Menefee Formation,
20 the black showing positions of possible coals, and the yellow
21 showing the marine sands in the case of when the system was
22 stepping more seaward, the Point Lookout, and in the case when
23 the system was stepping more landward, the Cliffhouse
24 Sandstone.

25 Okay. The next page shows a log cross section from

1 west to east on the W/2 of the Rosa Unit with the Mesaverde
2 section. There are -- it shows the three units in the bottom.
3 It shows the Point Lookout in the middle of the Menefee and at
4 the top the Cliffhouse. The logs that are displayed here on
5 the gamma ray, which is color-coded by API value, it shows the
6 neutron curve in pink, the density curve in blue, and the
7 resistivity curve in a lighter blue with some orange shading.

8 To left of the gamma ray shows where I've calculated
9 to be the pay sand in each of these units. In the Cliffhouse
10 it's colored green. In the Menefee it's colored blue. In the
11 Point Lookout, the Point Lookout is divided into an upper sand
12 and a lower sand with the upper sand having a purple color and
13 the lower sand an orange color.

14 I calculated this pay by using some log cutoffs. For
15 the Cliffhouse Sandstone, I colored pay sand in those positions
16 that had less than 80 API. In the Menefee Formation, I called
17 pay sand at less than 110 API, but also a density greater than
18 two grams per CC to eliminate the coals.

19 In upper Point Lookout, I use a cutoff of 80 API, and
20 in the lower Point Lookout, which is a little shalier, I used a
21 cutoff of 100 API.

22 What I want to point out on these log cross sections
23 is that the log character is actually correlatable to the
24 depositional style of these sandstones, and that, in turn, is
25 related to their potential connectivity and heterogeneity.

1 If you turn the page, this shows one of these log
2 cross sections, and it highlights the Cliffhouse Formation. It
3 also shows an outcrop photograph of the Cliffhouse Sandstone,
4 which is located in Mancos Canyon in Colorado. If you note on
5 the outcrop, this is a fairly homogeneous sandstone.

6 Similarly, if you look at the log character of the
7 open-hole logs, you'll see that relative to the other units,
8 they are also rather homogeneous. My prediction is that the
9 Cliffhouse sandstone would have lateral continuity of
10 sandstone.

11 If you turn the page again, this shows more outcrop
12 photos of the Cliffhouse Sandstone. And what you can see is,
13 even over a distance, at least in the scale of the photograph,
14 the sandstone is relatively continuous.

15 If you turn the page, we've now gone down to the
16 Point Lookout Sandstone. And, again, I show an outcrop photo
17 of the Point Lookout. I want you to note the heterogenous
18 nature of the sandstone. It's not only composed of sands, but
19 finely interbedded siltstones and claystones and mudstones.

20 We can also see the same character in the log with
21 the serrated nature of the gamma ray and also a more serrated
22 nature in the other open-hole logs. What I would predict is
23 that the lateral continuity of the Point Lookout Sandstone is
24 less likely than in the Cliffhouse Sandstone.

25 And if you turn the page, you see another outcrop

1 photo of the Point Lookout Sandstone, again, stepping back and
2 looking at it in a larger scale, and you can see these thinner
3 sandstone units. Some of them are more continuous. Others are
4 more discontinuous than they actually shale out laterally.

5 So what I would conclude, would predict, is that the
6 Point Lookout Sandstone would be less homogenous or more
7 heterogenous than the Cliffhouse Sandstone. Even though they
8 are both marine sandstones, they have a very different
9 character.

10 If you turn the page, here's an outcrop photo and log
11 plot of the Menefee Formation. In the Menefee Formation, I
12 want you to note the very discontinuous nature of the
13 sandstones. These sandstones are composed of channel belt fill
14 and crevasse plays which generally do not extend laterally
15 great distances.

16 You can similarly see this same heterogeneous
17 character in the open-hole log responses with thicker units of
18 fine grain mudstones and more variability in the sands
19 themselves and the character of the sands.

20 If you turn the page, I've highlighted these sand
21 bodies in this outcrop photo showing that the sand bodies, even
22 in this scale of the outcrop, are laterally discontinuous. And
23 the point being is that at this scale they are very
24 discontinuous. So we can conclude that most likely they will
25 lead discontinuous at the scale of the increased spacing

1 density as well.

2 Q. Thank you, Dr. Lessenger. Would you then, from a
3 geologic perspective, explain why Williams has decided to
4 propose and undertake this pilot project?

5 A. We believe that the Mesaverde wells in the Rosa
6 are not effectively draining the reservoir because they are not
7 accessing all of the sand bodies, and we want to determine if
8 there are any undrained reservoirs and, subsequently, any
9 additional reserves to be recovered with the development under
10 current rules.

11 And we will evaluate the reservoir for both an
12 economic as well as a reservoir prospective.

13 Q. And will the information you see apply throughout
14 the Rosa Unit?

15 A. This pilot will provide data that will reflect
16 the reservoir characteristics of only a portion of the
17 reservoir in the Rosa Unit, and as we've shown you previously,
18 the Mesaverde is really not prospective in the eastern portion,
19 so it will not apply there.

20 Q. How will this information help, if at all, and
21 apply to the rest of the San Juan Basin?

22 A. There are other pilots in the San Juan Basin, and
23 this will be supplementary information to those pilot projects.

24 Q. Dr. Lessenger, would you please turn to what's
25 been marked as Exhibit No. 5, and review this for the

1 Examiners.

2 A. Okay. Exhibit No. 5 is an isopach of net pay
3 multiplied by porosity in the Cliffhouse Sandstone.

4 Q. Okay. And Exhibit No. 6?

5 A. Exhibit No. 6 is a similar map. It's net pay
6 times porosity in the Menefee Formation.

7 Q. And Exhibit No. 7?

8 A. Number 7 is a similar map. It shows the net pay
9 times porosity in the upper Point Lookout.

10 Q. And finally Exhibit No. 8.

11 A. Number 8 is a map of the lower Point Lookout
12 showing the net pay isopach multiplied by porosity. The reason
13 why we're showing you this right now is that this is data that
14 I've compiled and mapped that is input into the original
15 gas-in-place calculations that Mr. McQueen will address later.

16 Q. And based on your study of the Mesaverde
17 Formation and the maps that you have assembled for us here
18 today, could you please summarize your geological conclusions
19 for the Examiners.

20 A. Yeah. My conclusions are there are effectively
21 three separate reservoir units within the Mesaverde. There's
22 the Cliffhouse Sandstone, which I would predict would be more
23 laterally continuous. It has lower BDH, so it's a prospective
24 reservoir unit and should not be contributing as much to the
25 pay.

1 The two other units -- the Point Lookout Sandstone is
2 likely to heterogenous, but it's more homogeneous than the
3 Menefee. The Menefee almost -- I would predict -- is almost
4 probable that it is discontinuous, and that is where, according
5 to the geologic calculations, the bulk of the reserves would
6 lie.

7 So what this does is that with additional wells, it's
8 likely that we will encounter new untapped reservoirs within
9 the spacing unit. And, again, I've provided maps showing the
10 data input that will be addressed later by Mr. McQueen on the
11 original gas-in-place calculations.

12 Q. Thank you. Were Williams Exhibits No. 4 through
13 8 prepared by you or compiled under your direct supervision?

14 A. They were.

15 MS. MUNDS-DRY: Mr. Ezeanyim, we move the admission
16 of Exhibits 4 through 8 into evidence.

17 MR. EZEANYIM: Exhibits 4 through 8 will be admitted.

18 [Applicant's Exhibits 4 through 8 admitted into
19 evidence.]

20 MS. MUNDS-DRY: And that concludes my direct
21 examination of Dr. Lessenger.

22 MR. EZEANYIM: Mr. Bruce, do you have anything to
23 say?

24 MR. BRUCE: I have no questions.

25 MR. BROOKS: No questions.

1 MR. EZEANYIM: Okay. Mr. Warnell?

2 EXAMINATION

3 BY MR. WARNELL:

4 Q. I have a question or two, Dr. Lessenger.

5 A. Sure.

6 Q. I spent 25 years with Schlumberger, so I like to
7 look at logs.

8 Just a couple of questions to kind of help orientate
9 me with the scale of it all. What's the scale on the density
10 neutron? Is that 0 to 30, or do you know?

11 A. Density neutron? No, it's not a standard scale.
12 I don't recall the specific scale, but I tried to scale it in
13 order to see the character, rather than looking at a new cross
14 over, a density cross over. It's not scaled for that.

15 Q. It looks like you've got a cutoff on the
16 resistivity where you're shading it away or --

17 A. It's probably -- it's either 15 or 20 ohms, yeah,
18 and I don't recall which for this particular plot.

19 Q. I have no further questions.

20 EXAMINATION

21 BY MR. EZEANYIM:

22 Q. Is this unit in a high or low productivity area?

23 A. I'm not familiar with the designation of high and
24 low productivity area for the Mesaverde.

25 Q. Maybe Ms. Munds-Dry can help you with that.

1 MR. EZEANYIM: Do you know which area it is? The low
2 or high productivity area?

3 MS. MUNDS-DRY: I don't know, Mr. Ezeanyim. I don't
4 know if Mr. McQueen knows the answer to that question.

5 MR. HANSON: I believe that's a Fruitland Coal
6 reference. It doesn't apply to the Mesaverde.

7 MR. EZEANYIM: Okay. Okay. I have no further
8 questions.

9 MS. MUNDS-DRY: Thank you. I'd like to call my next
10 witness.

11 KENLEY HAYWOOD MCQUEEN, JR.

12 after having been first duly sworn under oath,

13 was questioned and testified as follows:

14 DIRECT EXAMINATION

15 BY MS. MUNDS-DRY:

16 Q. Would you please state your full name for the
17 record.

18 A. My full name is Kenley Haywood McQueen, Jr.

19 Q. And where do you reside?

20 A. I reside in Tulsa, Oklahoma.

21 Q. And by whom are you employed and in what
22 capacity?

23 A. I'm employed by Williams Exploration and
24 Production, and I serve as the director of San Juan Region.

25 Q. And by background, what is your training?

1 A. I'm a degreed petroleum engineer.

2 Q. And have you previously testified before the
3 Division, and were your credentials accepted and made a matter
4 of record?

5 A. I have previously testified, and they have been
6 accepted.

7 Q. And are you familiar with the application that's
8 been filed by Williams in this case?

9 A. I am.

10 Q. And have you made an engineering study of the
11 proposed pilot project area?

12 A. I have.

13 MS. MUNDS-DRY: We would tender Mr. McQueen as an
14 expert in petroleum engineering.

15 MR. EZEANYIM: He is so qualified.

16 MS. MUNDS-DRY: Thank you.

17 Q. (By Ms. Munds-Dry): Mr. McQueen, as we did with
18 the last case, would you please start off by explaining to the
19 Examiners why this application is important to Williams and
20 what we hope to achieve here.

21 A. We have drilled 176 locations, Mesaverde
22 locations, in the prospective pilot area within the Rosa Unit.
23 We are rapidly nearing the completion of the drilling of all
24 the viable 80-acre spaced locations in the Rosa.

25 The map that Mr. Hanson introduced into testimony was

1 designed to indicate by shading all of the 4/4 sections that
2 are currently occupied by Mesaverde location or will be drilled
3 by a Mesaverde location shortly.

4 Q. Mr. McQueen, was that Exhibit No. 2?

5 A. That's correct. Our interest in further
6 developing the Mesaverde has been peaked by some of our
7 San Juan competitor's applications to the Commission for
8 additional infill drilling. And ConocoPhillips, in particular,
9 has been down and has asked for several pilot areas going from
10 80-acre to 40-acre spacing.

11 We've elected to take a bit of a different approach
12 here in that we have an ongoing exploitation program in our
13 deep potential reservoirs in the Rosa; this would be the Dakota
14 wells. And we realize that a number of these Dakota wells that
15 we'll be drilling during the course of the next two years will
16 be located on 40/40, or 4/4s, 40 acres that are not currently
17 occupied by a Mesaverde completion.

18 That, coupled with the fact that in calculating the
19 original gas in place, we see a significant amount of gas
20 remaining, we would like to take on this pilot project of
21 selecting specific well bores that are on open Mesaverde
22 locations and gather data to ascertain and determine what might
23 be the optimal spacing in the Mesaverde in the Rosa Unit.

24 Q. Mr. McQueen, would you then, with that, turn to
25 what's been marked as Exhibit No. 9, and review this for the

1 Examiners.

2 A. Yes. I took Dr. Lessenger's PHID-H maps that she
3 had provided to us, and we calculated gas in place for each of
4 the four zones that she described in her presentations. Those
5 four zones would be the Cliffhouse, the Menefee, and we divided
6 the Point Lookout into the upper Point Lookout and the lower
7 Point Lookout.

8 And based on her PHID-H maps and other
9 considerations, which include the water saturation of
10 40 percent and initial pressure of 1400 PSI and an initial
11 reservoir temperature of 150-degree Fahrenheit and an initial
12 gas compressibility factor of 0.852, we determined these
13 gas-in-place numbers for each of the zones that Dr. Lessenger
14 described geologically earlier.

15 And our determination for gas in place showed
16 90.2 BCF in the Cliffhouse; 261.8 BCF in the Menefee; 76.4 BCF
17 in the upper Point Lookout; and 208.7 BCF in the lower Point
18 Lookout, for a total gas in place within this two-township Rosa
19 study area of 637 BCF.

20 We compared that against what we expect to be
21 recovered; that is, the estimate, the ultimate -- excuse me --
22 the estimated ultimate recovery in the existing wells and the
23 wells that we plan to drill. And to date, out of this
24 two-township area, we have cumed 76.4 million cubic feet. And
25 based on our just completed internal and SEC-compliant reserve

1 study, we estimate the remaining Mesaverde reserves in this
2 area at 37.1 BCF.

3 So our estimated ultimate recovery for the study area
4 is 113 BCF, which is only approximately 18 percent of the total
5 gas in place for this study area. And based on the fact that
6 the bulk of the gas is located originally in the Menefee zone,
7 and as Dr. Lessenger testified that's the most heterogenous of
8 the group, we think there is merit here for gathering data in
9 the fifth well in the selected proration units.

10 Q. Based on the data that you have assembled here,
11 what kind of recovery do you think Williams can achieve in this
12 unit?

13 A. Well, we think that a 40 to 50 percent of
14 recovery of gas in place is not unreasonable in this particular
15 unit. And that may require more than the one well per
16 proration unit. But we do have some experience in some of our
17 other operations.

18 In the Piceance Basin of western Colorado, we are
19 currently exploiting the Williams Fork Formation there, which
20 is a fluvial depositional environment, and that reservoir has
21 been down-spaced to ten acres. And our internal representation
22 of recovery there is estimated at 85 percent of the gas in
23 place due to that down-spacing.

24 In the Green River Basin, we also have ownership in
25 both the Jonah and the Pinedale fields, which are very large

1 gas resource plays. And the bulk of those fields have been
2 down-spaced to 10-acre spacings with a number of active
3 five-acre pilots active there as well.

4 So our belief is that there is significant additional
5 gas that can be achieved through additional or down-spacing.

6 Q. And, Mr. McQueen, what kind of data do you plan
7 to acquire during the pilot project if it's approved?

8 A. Specifically, there's two data points that I'm
9 interested in acquiring in these new Mesaverde well bores,
10 which are undrilled 4/4s. The problem I have with the pressure
11 data that we are currently able to acquire is that each of
12 these Mesaverde intervals are typically stimulated with large
13 hydraulic fractures. And as a consequence of that, basically
14 all four of these zones are combined, from a production
15 standpoint.

16 And my interest is to obtain specific reservoir
17 pressure in each of the intervals. So in these test wells, we
18 would propose conducting de-fits on each of the subintervals to
19 look for pressure differences that exist in those intervals.

20 Again, we believe that because of the nature of the
21 depositional environment in the Menefee that we would see
22 probably a larger pressure difference in that zone than what we
23 might measure in an existing well bore where all four of the
24 zones are effectively commingled and produced together.

25 The second point that we hope to obtain -- we'll

1 obtain from this infill project is the initial potential, the
2 deliverability of the well, collect -- individually and
3 collectively in the four zones. Obviously, that's a very
4 important piece of information and gives us an indication from
5 an economic viewpoint whether or not this is a viable project
6 to pursue further down-spacing.

7 Q. Mr. McQueen, earlier through Mr. Hanson we
8 submitted Exhibit No. 10, which is a letter from the BLM. Did
9 you have a chance to review that letter?

10 A. I have reviewed the letter from the BLM, and we
11 can accept the conditions that are provided there. We do
12 have -- the study area in the two townships consists of 26
13 sections. We have identified as many as 20 potential wells in
14 which additional data can be gathered because of our ongoing
15 deep drilling program.

16 And certainly, we would prioritize those wells that
17 the BLM have asked us to do and meet those requirements first.
18 And based on data that we gather from the first group of wells,
19 then make a determination whether it's warranted to continue or
20 not.

21 Q. And for the Examiners, one of the conditions -- I
22 mentioned this after you reviewed what kind of data you were
23 going to collect -- is to essentially collect that kind of data
24 that they would need to further evaluate this project. And
25 that's acceptable to Williams?

1 A. That's completely acceptable to us. Our plan
2 would be to collect the data and report back our findings to
3 the BLM.

4 Q. You also spoke earlier of the challenges with
5 gathering pressure data. At this time, does Williams have any
6 pressure data it can provide to the Division?

7 A. I would characterize our pressure data as spotty
8 at this point. With the advent of using P-tos to report
9 initial potential and not using the AOF test like we did in
10 years past, we don't have a lot of what I would say current
11 pressure data there to hang our hats on.

12 And also, because of the nature that I described,
13 that the pressures that we would measure would be an average
14 pressure over all of the zones, is the reason that we want to
15 go forward with this test and identify pressures in each of the
16 individual zones that compose the Mesaverde formation.

17 Q. So if I understand you correctly, any pressure
18 data that you could have would really not be meaningful when
19 you're really looking at the area as a whole?

20 A. I think the best data -- I think the data that we
21 need to ascertain how to better recover the gas in place is the
22 zonal data, the pressure data in each of the individual
23 components of the Mesaverde interval. And we really don't have
24 a way to obtain the individual zones after these wells have
25 been massively hydraulically stimulated.

1 Q. So as you say, this would be one of the main
2 purposes for the pilot project?

3 A. That's correct.

4 Q. And based on your review of Dr. Lessenger's study
5 and the compilation of the data you submitted here today, would
6 you please summarize your conclusions?

7 A. The gas-in-place calculation numbers indicate
8 that there's significant gas remaining in the reservoir after
9 we produce the reserves that we have with the existing well
10 bore configuration. And with our ongoing effort to develop the
11 deep reserves in the Rosa Unit, we believe it provides us an
12 opportunity to gather additional data and better assess whether
13 or not there's opportunity for further down-spacing in the Rosa
14 Unit.

15 Q. How soon does Williams hope to commence these
16 operations?

17 A. We are prepared to commence operations as soon as
18 the Commission approves the application.

19 Q. And keeping in mind the BLM's request for
20 reporting, how soon do you believe that Williams can be
21 prepared to report back the results of its work to the
22 Commission?

23 A. Certainly we'll be able to report to the
24 Commission in November of this year following this summer's
25 drilling activity. Of course, Rosa has seasonal restrictions,

1 so any data-gathering activity that would be conducted this
2 year would be complete by November 1st, and then upon a
3 complete analysis of that data, we would ask the BLM for an
4 opportunity to present our findings at that point and discuss
5 what's the best way to move forward.

6 Q. And how long does Williams request that the pilot
7 project be allowed for in order to gain a sufficient amount of
8 data?

9 A. We're requesting two years to complete the pilot
10 project.

11 Q. And, again, will you be prepared to report back
12 with all your data at that time to the Division and the BLM?

13 A. Yes, we will.

14 Q. And, Mr. McQueen, will approval of this
15 application and the implementation of the proposed pilot
16 project be in the best interests of conservation, the
17 prevention of waste, and the protection of correlative rights?

18 A. We believe it will.

19 Q. Was Williams Exhibit No. 1 prepared by your or
20 compiled under your direct supervision?

21 A. Exhibit --

22 Q. Exhibit No. 9?

23 A. Yes, it was.

24 MS. MUNDS-DRY: Mr. Ezeanyim, we move the admission
25 of Exhibit No. 9 into evidence.

1 MR. EZEANYIM: Exhibit No. 9 will be admitted.

2 [Applicant's Exhibit 9 admitted into evidence.]

3 MS. MUNDS-DRY: And that concludes my direct
4 examination of Mr. McQueen.

5 MR. BRUCE: No questions.

6 MR. BROOKS: No questions.

7 MR. WARNELL: No questions. But if you could give me
8 the porosity sale on this.

9 MS. MUNDS-DRY: We'll be glad to provide that.

10 EXAMINATION

11 BY MR. EZEANYIM:

12 Q. In the Rosa Unit, how many acres are in the Rosa
13 Unit, do you know? How many acres do you have in the Rosa
14 Unit?

15 MS. MUNDS-DRY: Almost 54,000.

16 MR. HANSON: Almost 54,000.

17 THE WITNESS: There's slightly more than 14,000 acres
18 in the study area.

19 Q. (By Mr. Ezeanyim): Okay. I'm coming to that.
20 I'm talking about the whole. Is there 54,210, I think?

21 MS. MUNDS-DRY: I believe that's correct. It might
22 be in your application.

23 Q. (By Mr. Ezeanyim): Okay. Out of that, 14,000
24 acres in the study?

25 A. There's 14,764.85 acres in the application area.

1 Q. Okay. I thought -- in that Rosa Unit, how many
2 of them are federal lands?

3 A. Most are federal lands.

4 Q. They are federal lands?

5 MR. HANSON: 91 percent of the lands are federal.

6 MR. EZEANYIM: 91 percent is federal. Then the rest
7 is what?

8 MR. HANSON: Fee and state.

9 THE WITNESS: State and fee.

10 Q. (By Mr. Ezeanyim): Okay. Mr. McQueen, in the
11 14,700 acres, is it fully developed with all the exceptions
12 that are required?

13 A. It is not fully developed at this point, but we
14 expect it to be fully developed by 2011.

15 Q. Okay.

16 A. We have 176 existing wells, and it will be fully
17 developed when we have 188 wells. So there are 12 remaining
18 locations that are on our drilling schedule for the 80-acre
19 spacing.

20 Q. Okay. Why I'm asking this question is because,
21 you know, we are talking about pressure in these wells.

22 A. Yes.

23 Q. So out of those, you couldn't do them if you
24 drilled them new. Because if you want us to give you one
25 additional optional infill.

1 A. Correct.

2 Q. Now -- but the ones that are already drilled, you
3 can't find the information from them when you drilled them --
4 pardon me -- out of the 12 wells that have been drilled in that
5 area? And then I think you could get pressures. You can get
6 anything you want.

7 A. The fifth well gives you an additional draw point
8 per proration unit.

9 Q. A what?

10 A. An additional point of production. And while
11 your point is correct that some of this data could be gathered
12 from existing wells, we believe that -- and, again, based on
13 what we're seeing from other operators -- that two, perhaps
14 four more wells per proration unit is really justified in light
15 of so little of our gas in place being recovered.

16 Q. What are you seeing from other places? What do
17 you say you are seeing from other places?

18 A. We're seeing Conoco aggressively pursue 40-acre
19 pilots. That's an additional four wells per proration unit,
20 and I believe five or six different units that they operate.

21 Q. Have we given them permission to do that?

22 A. I believe you did. I hope you did, because
23 they've been drilling on a 40-acre spacing.

24 Q. Okay. I hope so too. I don't know. But --

25 A. I think so.

1 Q. You need two years to complete the drilling of
2 those additional two wells? Plus, if we approve this
3 application to give you the authority to drill additional --
4 maybe in those -- I don't know how many of them, but spacing
5 units, are we talking about 320s?

6 A. Yes. It's currently 320 acres with four wells
7 per proration unit.

8 Q. Okay. I see what you mean. Okay. So what you
9 intend to do after two years, are you going to come back and
10 say, "Well, we need to make it permanent now and develop it
11 on -- downgrade it to five wells"?

12 A. That would be -- our intent is, based on the data
13 that we would acquire, we would come back to the Commission and
14 ask for what we believe would be the appropriate down-spacing
15 at that point in time.

16 That's why we are not asking for down-spacing to 40s
17 at this point in time. We simply want to use the opportunity
18 of the wells that are being drilled to other formations to
19 collect this data and ascertain what we think the optimum
20 spacing is and then come back to the Commission, present the
21 data request, and request the appropriate down-spacing at that
22 point in time.

23 Q. And your Exhibit 9, I would like to get clarity.
24 It's not going to be more than approximately 18 percent. This
25 is currently what you are doing?

1 A. Yes, sir.

2 Q. But since you already drilled the wells, I don't
3 know what you're going to do, can't project.

4 A. Correct.

5 Q. The assumption what -- maybe I will just ask you
6 that question: What recovery factor are you expecting if we
7 approve it?

8 A. Well, that's part of what we hope to ascertain in
9 our data gathering, but certainly 40 to 50 percent recovery
10 factor is not out of the question for reservoir, a fluvial
11 reservoir of which the Mesaverde is -- at least in the Menefee
12 is a fluvial reservoir. That's why I noted some of our other
13 work in a fluvial reservoir.

14 At the Piceance where the down-spacing has gone to
15 ten acres per well -- and they're anticipating as high as 80
16 percent recovery factor there, which I find quite remarkable
17 for a fluvial-type reservoir. Typically, you expect 85 percent
18 recoveries in Gulf Coast reservoirs where you have higher
19 permeability.

20 Q. So you might even come in to ask for eight wells
21 per unit to get at that 50 percent?

22 A. It's within the realm of consideration. I think
23 it's a bit premature on my part to speculate, but certainly the
24 trend in fluvial reservoirs has been to drill more wells than
25 fewer wells. And that's because the sand lenses in the fluvial

1 depositional environment are essentially isolated from other
2 sand lenses, and you don't see a good continuity of sand bodies
3 across a lateral extent. So that's why it's important to have
4 more well bores and then massively hydraulically fracture those
5 well bones so that you can essentially contact as many of these
6 sand bodies as possible.

7 Q. When you contacted BLM, did you give them some
8 engineering data to try to convince them what you are trying to
9 do? Or did you just tell them you want to do this, and they
10 say, yes, go ahead. What did you do?

11 A. We provided them, basically, all the information
12 that we have shown you this morning --

13 Q. Okay.

14 A. -- including our calculations of gas in place and
15 how much gas remains.

16 Q. Okay.

17 MR. EZEANYIM: Anything further?

18 MS. MUNDS-DRY: Nothing further.

19 MR. EZEANYIM: Nobody has any more comments? Good.

20 You may step down.

21 At this point, Case No. 14291 will be taken under
22 advisement.

23 And this concludes the hearing for today. I do hereby certify that the foregoing is
a complete record of the proceedings in

24 * * * the Examiner hearing of Case No. 14291
heard by me on 3/19/09

25 , Examiner,
Oil Conservation Division

1

2 **REPORTER'S CERTIFICATE**

3

4 I, JOYCE D. CALVERT, Provisional Court Reporter for
5 the State of New Mexico, do hereby certify that I reported the
6 foregoing proceedings in stenographic shorthand and that the
7 foregoing pages are a true and correct transcript of those
8 proceedings and was reduced to printed form under my direct
9 supervision.

10 I FURTHER CERTIFY that I am neither employed by nor
11 related to any of the parties or attorneys in this case and
12 that I have no interest in the final disposition of this
13 proceeding.

14 DATED this 19th day of March, 2009.

15

16

17

18

19 

20

21 JOYCE D. CALVERT
22 New Mexico P-03
23 License Expires: 7/31/09

24

25


1 STATE OF NEW MEXICO)
2 COUNTY OF BERNALILLO)

3
4 I, JOYCE D. CALVERT, a New Mexico Provisional
5 Reporter, working under the direction and direct supervision of
6 Paul Baca, New Mexico CCR License Number 112, hereby certify
7 that I reported the attached proceedings; that pages numbered
8 1-40 inclusive, are a true and correct transcript of my
9 stenographic notes. On the date I reported these proceedings,
10 I was the holder of Provisional License Number P-03.

11 Dated at Albuquerque, New Mexico, 19th day of
12 March, 2009.

13
14 

15 _____
16 Joyce D. Calvert
17 Provisional License #P-03
18 License Expires: 7/31/09

19
20 

21 _____
22 Paul Baca, RPR
23 Certified Court Reporter #112
24 License Expires: 12/31/09
25