

ORIGINAL

1 NEW MEXICO OIL CONSERVATION DIVISION HEARING

2 DOCKET NO. 41-08, CASE NO. 14246

3 LORDSBURG, NEW MEXICO

4
5
6
7
8 TRANSCRIPT OF PROCEEDINGS

9
10 On the 7TH day of APRIL 2009, this
11 matter came on for HEARING before the HEARING
12 EXAMINER, DAVID BROOKS.

13 The Oil Conservation Division appeared
14 by Counsel of Record, MS. MIKAL ALTOMARE.

15 The Applicant, RASER POWER SYSTEMS,
16 LLC, appeared by Counsel of Record, MS. OCEAN
17 MUNDS-DRY, Law Office of Holland & Hart.

18 The Opposing Party, AMERICULTURE
19 INCORPORATED, appeared by MR. DAMON SEAWRIGHT.

20 At which time, the following
21 proceedings were had:

RECEIVED
2009 MAY 13 AM 11 18

1 TABLE OF CONTENTS

2 RASER POWER SYSTEMS' WITNESSES PG

3 MICHAEL HAYTER

4 DIRECT EXAMINATION BY MS. MUNDS-DRY 12

5 CROSS EXAMINATION BY MS. ALTOMARE 19

6 CROSS EXAMINATION BY MR. SEAWRIGHT 21

7 EXAMINATION BY HEARING EXAMINER 38

8 REDIRECT EXAMINATION BY MS. MUNDS-DRY 44

9 RECROSS EXAMINATION BY MR. SEAWRIGHT 45

10 RECROSS EXAMINATION BY MS. ALTOMARE 46

11 OIL CONSERVATION DIVISION WITNESSES

12 CARL CHAVEZ

13 DIRECT EXAMINATION BY MS. ALTOMARE 52

14 CROSS EXAMINATION BY MS. MUNDS-DRY 73

15 CROSS EXAMINATION BY MR. SEAWRIGHT 75

16 REDIRECT EXAMINATION BY MS. ALTOMARE 113

17 AMERICULTURE'S WITNESSES - JAMES WITCHER

18 DIRECT EXAMINATION BY MR. SEAWRIGHT 118

19 CROSS EXAMINATION BY MS. ALTOMARE 131

20 CROSS EXAMINATION BY MS. MUNDS-DRY 134

21 EXAMINATION BY HEARING EXAMINER 140

22 REDIRECT EXAMINATION BY MR. SEAWRIGHT 146

23 RECROSS EXAMINATION BY MS. MUNDS-DRY 148

24 RECROSS EXAMINATION BY MS. ALTOMARE 149

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

EXHIBITS ADMITTED

OIL CONSERVATION DIVISION **PG**

EXHIBIT 1 - MINUTES FROM JAN 27TH 72
MEETING IN SANTA FA

EXHIBIT 2 - DRAFT PERMIT 72

AMERICULTURE

EXHIBIT 1 - JIM WITCHER'S PRESENTATION 130

1 TUESDAY, APRIL 7, 2009, 9:10 A.M.

2 -0-

3 HEARING EXAMINER: Good morning, ladies
4 and gentlemen. We'll call the hearing to order.

5 This is a special docket of the New
6 Mexico Oil Conservation Division for the purpose of
7 hearing a matter under the New Mexico Water Quality
8 Act.

9 This is Case No. 14246, application of
10 Raser Power System, LLC, for approval of a
11 discharge permit pursuant to New Mexico Water
12 Quality Act, Hidalgo County, New Mexico.

13 We'll call for appearances of counsel.

14 MS. MUNDS-DRY: Good morning, Mr.
15 Hearing Examiner. Ocean Munds-Dry with the Law
16 Firm of Holland & Hart here representing Raser
17 Power System, LLC, this morning, and I have one
18 witness.

19 MS. ALTOMARE: Mikal Altomare on behalf
20 of the Oil Conservation Division, and I have one
21 witness.

22 MR. SEAWRIGHT: Damon Seawright on
23 behalf of AmeriCulture, and I have one witness.

24 HEARING EXAMINER: Any other
25 appearances? Very good. Will the witnesses please

VICKIE ISAACS, CCR/RPR

4

1 stand to be sworn.

2 Please state your names.

3 MR. HAYTER: Michael Hayter.

4 MR. CHAVEZ: Carl Chavez.

5 MR. WITCHER: James Witcher.

6 HEARING EXAMINER: Thank you.

7 Will the court reporter swear the
8 witnesses.

9 (Witnesses sworn.)

10 HEARING EXAMINER: Okay. There is a
11 sign-in sheet that was passed around. Is it around
12 there somewhere? Does somebody have the sign-in
13 sheet?

14 MAN IN AUDIENCE: I believe it's here,
15 sir.

16 HEARING EXAMINER: Okay. If you could
17 be sure that it gets around and everybody that's
18 present has an opportunity to sign in.

19 Before we proceed with the formal part
20 of the hearing, we would like to give an
21 opportunity to any members of the public who might
22 have to leave before the hearing is concluded.
23 We'll give you another opportunity before the lunch
24 and recess, but if there's anyone who would like to
25 make a statement for the record before the formal

1 part of the hearing begins so that you will have
2 the flexibility to leave whenever you want to, we
3 will give you that opportunity at this time.

4 Is there any member of the public that
5 wants to make a comment at this time?

6 Very good. Hearing none, we will then
7 begin with the formal part of the hearing. The
8 caption of this case is the Application of Raser
9 Power System, LLC. However, I believe that that is
10 not the actual applicant in this case.

11 Can you state, Ms. Munds-Dry, what
12 entity is actually the applicant for the permit in
13 this case?

14 MS. MUNDS-DRY: Mr. Hayter can explain
15 that to remind the Hearing Examiner the
16 relationship between Raser and Los Lobos, but Los
17 Lobos, a renewable power LLC, is actually the
18 applicant on the application.

19 HEARING EXAMINER: Okay. Very good.
20 Thank you.

21 As the applicant, I assume you are the
22 one who will start here. Do you want to make an
23 opening statement?

24 MS. MUNDS DRY: No, sir. I don't
25 believe we need to do that this morning. I can go

1 ahead and present my witness if you like.

2 HEARING EXAMINER: Ms. Altomare, do you
3 want to make an opening statement at this time?

4 MS. ALTOMARE: I'll reserve. I wanted
5 to make a brief introduction prior to presenting my
6 witness.

7 HEARING EXAMINER: Okay.

8 Mr. Seawright. Go ahead.

9 MR. SEAWRIGHT: I'm Damon Seawright,
10 president of AmeriCulture, a 13-year-old
11 aquaculture company that grows fish on the property
12 within a half mile of Raser's proposed power plant
13 project.

14 We drink and bathe in and grow our
15 fish in water that comes from a well less than 500
16 feet from where Raser proposes to inject copious
17 quantities of chemicals into the groundwaters of
18 the Animas.

19 Raser has chosen to do this despite
20 the existence of wide-spread use of the air cooling
21 in the geothermal power industry. I have a vested
22 interest in the determination of this hearing
23 because AmeriCulture grows fish in waters
24 potentially in hydraulic connection with the
25 contaminated water Raser proposes to inject.

1 Geothermal power generation can be
2 done in an environmental benign fashion that
3 protects the environment, protects correlative and
4 water rights, does not result in the waste of
5 geothermal resources, and does not threaten plant,
6 animal, or human health and physiology.

7 We're opposed to Raser's proposed
8 injection permit as currently submitted for the
9 following reasons: At its essence, Raser's proposed
10 injection permit includes two primary aspects, both
11 of which have a potential to pollute groundwaters
12 protected under the New Mexico Water Quality Act,
13 and endanger plant, animal, and human health for
14 those relying on regional waters for business and
15 personal sustenance.

16 The first aspect which would be
17 elaborated on by AmeriCulture's direct-case witness
18 Jim Witcher, is that Raser proposed to inject of
19 unknown quality and chemistry into an
20 uncharacterized and unexplored geological stream.

21 As such, neither the production or the
22 injection wells should be permitted as such, but
23 rather is exploratory wells until such time that
24 scientifically -- a scientifically credible case
25 can be built with the production and injection

1 scheme will have limited impact on the New Mexico
2 groundwaters and those that rely on it.

3 Second aspect is Raser plans to inject
4 a cocktail of form, and in some cases, hazardous
5 chemicals used to control algae, micro-organisms,
6 and scaling into one of Hidalgo County's largely
7 untouched water resources.

8 AmeriCulture's fish are grown in a
9 mixture of cold groundwater and geothermal water,
10 and, therefore, the injection of potentially
11 hazardous chemicals in it is of grave concern to
12 AmeriCulture. AmeriCulture even has a water well
13 which production zone lies between 1,400 and 2,100
14 feet below ground level which overlaps the
15 injection depth proposed by Raser.

16 Raser's very own hydrogeological
17 consultant firm has reported to them that Raser's
18 project will likely dramatically impair the water
19 rights of surrounding businesses and persons as
20 indicated by projected drawdown in regional wells.

21 This expectation is directly relevant
22 to water quality in that it would demonstrate the
23 direct connection between Raser's wells, and those
24 of AmeriCulture and Burgett geothermal. This
25 tissue containing certain of the cooling tower

1 chemicals may be regarded as adulterated by the
2 Food & Drug Administration and, therefore, unsafe
3 for human consumption.

4 As we've revealed in the initial
5 hearing, no acute toxicity levels for the proposed
6 chemicals have ever been determined for the fish
7 that we grow, mild Tilapia, nor is the dispersal of
8 degradation of at elevated temperatures or inter-
9 reactivity of the proposed chemicals sufficiently
10 well known to render as scientifically credible for
11 their use.

12 Therefore, injected chemicals should
13 be limited to those approved for potable water, and
14 anti-scaling, anti-microbial, and algicidal
15 chemicals listed in the application do not meet
16 this description. This concern is particularly
17 germane to the environmentally benign alternatives
18 to cooling towers exist.

19 Based on an internal document from
20 Raser's hydrologist, John Shomaker, Raser was
21 informed that they could essentially lift
22 AmeriCulture's water table by injecting into an
23 intermediate zone below some of AmeriCulture's
24 wells.

25 In order for this to work, the

1 injected water must be in hydraulic connection with
2 our water. We draw water from the well less than
3 500 feet from one of the proposed injection wells
4 that we drink and bathe in. If John Shomaker is
5 correct, it is possible for those chemicals -- that
6 those chemicals will migrate into our well.

7 We do not feel like being guinea pigs
8 when environmentally benign cooling technologies
9 exist.

10 HEARING EXAMINER: Thank you.

11 Are you going to be able to hear the
12 witness if he sits over there on the other side of
13 the screen?

14 THE REPORTER: It depends if he talks
15 loud. If not, he can move where you are.

16 HEARING EXAMINER: If a witness is not
17 -- I think as long as we're not using the projector
18 --

19 Who's going to be using the projector?
20 Mr. Witcher? Okay.

21 Are either of your witnesses going to
22 be using it? Okay. As long as we're not using the
23 projector, I think I will move over to that table
24 so to allow the witness to be closer to the court
25 reporter.

1 MS. ALTOMARE: Is Mr. Witcher going
2 first?

3 HEARING EXAMINER: It would be the
4 Applicant.

5 MS. ALTOMARE: Oh, you're right. I'm
6 sorry. My bad.

7 HEARING EXAMINER: Okay. Ms. Munds-
8 Dry, you may call your first witness.

9 MS. MUNDS-DRY: Thank you, Mr.
10 Examiner.

11 **MICHAEL HAYTER,**

12 (Having been first duly
13 sworn, testified as follows:)

14 **DIRECT EXAMINATION BY MS. MUNDS-DRY**

15 Q Would you please state your name for the
16 record?

17 A Michael Hayter.

18 Q Mr. Hayter, where do you reside?

19 A I reside in Highland, Utah.

20 Q Who are you employed by?

21 A Raser Technologies.

22 Q What is your position with Raser?

23 A I'm the director of geothermal
24 development.

25 Q Since it's been a while since we had our

1 last hearing, would you please explain to the
2 Examiner the relationship between Raser and Los
3 Lobos?

4 A Yes. Raser Technologies operates two
5 business divisions; one is an electric motor
6 technology business, and the other is a geothermal
7 development and power business. Those have been
8 separated into special purpose entities.

9 Specifically, within the power
10 generation business, we have created Raser Power
11 Systems as a wholly-owned subsidiary to then own
12 and operate the various geothermal development
13 projects, and the power plants that we have and
14 will have operating.

15 Part of that reason is that these
16 entities need to be able to take advantage of tax
17 equity arrangements that make it necessary legally
18 to structure them in that fashion.

19 Q Thank you. You previously testified at
20 the December 2008 hearing for this application?

21 A Yes, I did.

22 Q And what is Raser seeking through this
23 application?

24 A Raser is seeking the authorization permit
25 to be able to drill the injection wells, the Class

1 V injection wells that are required for the
2 geothermal power generation plant. Also, pending
3 our drilling wells for production wells from the
4 State -- excuse me -- from the New Mexico Oil
5 Conservation Division.

6 Q Is it your understanding the focus of this
7 hearing is for the discharge permit only?

8 A This is for the discharge permit, yes.

9 Q Mr. Hayter, do you recall at the
10 conclusion of the last hearing in this matter,
11 again, since it's been a while, just to remind of
12 where we are at.

13 Mr. Brooks indicated that staff needed
14 to complete its technical review before he could
15 undertake the reporting and issuing of the permit?

16 A Yes.

17 Q At the conclusion of that hearing, did you
18 contact the OCD?

19 A At the conclusion of the last hearing, we
20 were in touch with the OCD on more than one
21 occasion. We've been in touch on several
22 occasions.

23 Q And was there a meeting that resulted from
24 those contacts?

25 A Yes. We had a meeting on January 27th in

1 Santa Fe in which we met together with the OCD and
2 with Mr. Seawright, and our various technical
3 representatives.

4 Q I believe the Division will get into more
5 detail about this, but what happened after that
6 meeting? Can you give us a brief summary of what
7 happened?

8 A Well, at that meeting we had the
9 opportunity to each, again, state our case. In
10 summary, what happened at the end of the meeting is
11 that we agreed on a set of issues, and at that
12 point, the Oil Conservation Division, I believe it
13 was the chief of the Water Quality Bureau,
14 introduced a draft of the permit with specific
15 requirements that we would be held to in order to,
16 I think, both protect the water quality, as well as
17 give us a specific list of things that we needed to
18 deal, which included the water monitoring plan,
19 more information in detail around that, as well as
20 specific water quality monitoring wells and other
21 remedies, I guess, to make sure that the quality of
22 the water to protect in the Animas Basin.

23 Q Have you had a chance to review that draft
24 permit?

25 A Yes, we have.

1 Q Is Raser comfortable and willing to accept
2 the conditions that have been set forth in that
3 draft permit?

4 A We are.

5 Q If you can give, Mr. Hayter, the Examiner
6 just an idea of, for the spring and summer, any
7 time lines that you're up against, just to give an
8 appreciation of our need and Raser's need to
9 proceed in this matter as quickly as possible?

10 A Yes. I can appreciate -- we have
11 experienced a delay of several months now, which is
12 understandable given the need to look at all the
13 issues that are involve here because they're
14 important to the community and important to us as
15 well.

16 But we are in a position now where
17 every month that we delay the project becomes more
18 expensive to the project. We have over \$20 million
19 dollars of equipment sitting on site, at the
20 particular project site. We continue to invest in
21 the expertise that's needed to be able to design
22 and build this project.

23 We're anxious to move it along. It
24 does cost us money to -- even though we're not able
25 to do anything, we're spending money on a regular

1 basis to keep the project moving and keep it going
2 forward.

3 I would also say we're anxious to
4 bring some economic development and jobs to the
5 community. We're in touch with several community
6 leaders and with several of our neighbors, and
7 found great support for the project.

8 I think in the current economic
9 situation that we're all in, that it would be very
10 useful to this community to have the jobs that can
11 be created from the drilling, construction, and
12 operation of this plant.

13 Q Mr. Hayter, you have other members of the
14 Raser team with you today. I'd just like to give
15 the opportunity to introduce those to the folks
16 here.

17 A Okay. I will start of with Mr. Bob
18 Giguiere, who is sitting in the back room -- in the
19 back of the room with a blue shirt. I'll have him
20 stand up. Mr. Giguiere is construction manager
21 with Raser Technologies. He has the distinction of
22 having built the first binary geothermal power
23 plant in the U.S. in 1980 at Lakeview, Oregon. He
24 has built other plants since then, and has been
25 involved in that in the industry since the

1 beginning of 1980. Mr. Giguiere has been, at this
2 point, selected to be a construction management --
3 or manager for this project. So he is well
4 qualified to build this project.

5 We also have Mr. Ben Barker who is our
6 vice president of resource management. Mr. Barker
7 has a long history of over 30 years in the
8 geothermal industry as well. He has been one of
9 the chief engineers for the Geysers, which was the
10 largest geothermal project and plant in the world.
11 It produced, at one time, nearly 50 percent of the
12 world's geothermal power.

13 He has a PhD from Stanford in --
14 you'll have to remind me, Ben -- in petroleum
15 engineering, but has applied that petroleum
16 engineering background to geothermal ever since.
17 He's qualified. He's been involved in all phases
18 of geothermal exploration, exploitation, and
19 ongoing operations for over 30 years.

20 Q Mr. Hayter, if this application is
21 approved and the discharge permit is issued, will
22 these gentlemen be responsible in their various
23 capacities on this project?

24 A Yes, they will.

25 Q Finally, in your opinion, Mr. Hayter, will

1 the discharge permit as proposed by the Division
2 meet all water quality standards under the
3 applicable regulations?

4 A We will meet all water quality standards,
5 and we will meet all the additional requirements
6 that we've been asked to meet in the permit draft.

7 MS. MUNDS-DRY: Thank you. That
8 concludes my direct-examination of Mr. Hayter.

9 HEARING EXAMINER: Ms. Altomare.

10 MS. ALTOMARE: Thank you, Mr. Hearing
11 Examiner.

12 **CROSS EXAMINATION BY MS. ALTOMARE**

13 Q Mr. Hayter, you had indicated that you had
14 reviewed a draft permit that had been presented to
15 you. I understand that there have been several
16 renditions of that draft permit as the process has
17 gone forward.

18 Have you had a chance to review the
19 most recent version of that that was submitted to
20 counsel on Friday?

21 A Yes, I have.

22 Q And you are familiar with the most recent
23 additions and versions, I believe it's parts 20 and
24 21 that would be monitoring and sampling plan and
25 conditions, it would be submitted as our exhibit,

1 OCD, during the course of this hearing?

2 A Yes, I have reviewed that.

3 Q And you are comfortable with all of the
4 additional conditions that are being imposed of
5 that particular version of the permit?

6 A Yes.

7 Q And you've indicated that you expect that
8 you, Raser, will meet all water quality standards
9 in the course of this project?

10 A That's correct.

11 Q And one of the things that is discussed in
12 the permit conditions is that the effluent will be
13 required to meet water quality standards prior to
14 re-injection or prior to injection?

15 A Yes.

16 Q Does Raser understand that if for some
17 reason in the course of the monitoring and sampling
18 that takes place pursuant to this permit, the
19 results indicate that water quality standards are
20 not met, that Raser will be required to shut down
21 the project and revisit the permit conditions?

22 A Yes.

23 Q That there will be additional
24 modifications imposed, the permit will be revised,
25 that the project will not go forward unless and

1 until water quality standards are met?

2 A Yes. I understand that, and we agree with
3 those terms.

4 MS. ALTOMARE: I think that that's all
5 the questions that I have for Mr. Hayter.

6 HEARING EXAMINER: Mr. Seawright.

7 **CROSS EXAMINATION BY MR. SEAWRIGHT**

8 Q Mr. Hayter, according to -- given Raser's
9 2008 losses of approximately \$45 million, and their
10 2008 liabilities of approximately \$150 million, and
11 sales in 2008 of less than \$200,000, how would
12 Raser finance a costly environmental clean-up
13 should your activities result in the contamination
14 of our groundwater?

15 A Well, Raser has -- I'm not familiar with
16 all the details, but we do have the requisite
17 insurance for these types of projects. We are
18 required, in fact, by the lenders in their due
19 diligence process to have -- to have met all of the
20 permits, to meet all of the state and federal
21 regulations under which we operate or develop. So
22 how we would finance those is the same answer in
23 terms of how we're going to finance the growth of
24 our company.

25 We have publically announced the

1 strategic relationship with Calleon (phonetically),
2 which is a French investment bank, one of the
3 larger investment banks, who is acting as our
4 advisor in locating for us a strategic investment
5 partner who will be purchasing 50 percent of our
6 thermal project, which is a 238 megawatt project in
7 central Utah.

8 Those proceeds will be used to -- will
9 be deployed here at Lightning Dock, will be
10 deployed at other projects, and we will keep on
11 hand sufficient cash in order to move ahead with
12 our projects. They are capital intensive, and we
13 do have resources to fund the company going
14 forward.

15 We also have in progress several pre-
16 pay arrangements with other utilities that will
17 provide capital to our company, and reduce the
18 burden on us to find other sources of capital.

19 Q I understand that you can be creative in
20 financing the project itself, but I was more
21 interested in actual financing in clean-up after
22 it's over.

23 Are you stating that you will maintain
24 an insurance policy sufficient to --

25 A We have made all required insurance

1 policies to meet any kind of regulations and/or
2 requirements that our lenders impose upon us for
3 the financing of a project. Those typically
4 include -- though I'm not familiar with the
5 specific list of insurance policies that we have on
6 this project or will have, but they typically
7 include any types of insurances that will cover our
8 risks and liabilities.

9 Q I understand. Okay. So you are willing
10 to maintain an insurance policy that would finance
11 for environmental clean-up should a contamination
12 occur?

13 A Well, I don't know to specifically -- I'm
14 not committing to a specific policy. I'm stating
15 that we do maintain policies that do protect us as
16 a company, as a publically-traded company, as well
17 that provide that kind of liability protection.

18 I'm not qualified to give you the
19 answer specifically as to what policy that would be
20 or how we're maintaining it, and I just don't have
21 that information at this point.

22 Q I'll ask it a different way. How is
23 Raser, or its subsidiaries in this case, Los Lobos,
24 how does Los Lobos reassure the citizens of New
25 Mexico that if an environmental contamination

1 occurs, that it will be properly financed? How do
2 you make that assurance?

3 A Well, we're under the same obligations,
4 first of all, as a publically traded company.
5 We're regularly audited. We provide those
6 financial records to the public, we report to the
7 SCC, we provide accounting for both our assets and
8 liabilities.

9 This is a project, these are
10 liabilities, and typical financial construction
11 projects on power plants, and any type of project
12 finance and long-term lending finance in operation
13 of the power plant, there are policies of this
14 issue that are put in place.

15 So we have insurance policies that are
16 required to protect our liabilities, and the
17 liabilities of the community would have in these
18 kinds of situations. We'll have cash on hand as we
19 bring that into the company for these projects.

20 Q Okay. This liability would include the --

21 A Sir, we're under obligation with the water
22 quality permits, and under these various
23 regulations in the state to maintain those
24 standards. Yes, we do intend to fully enforce
25 those permit requirements.

1 Q How would Raser mediate the situation of
2 chemical residuals that were injected in the
3 groundwater or found in the tissue of our fish?

4 MS. MUNDS-DRY: Objection, Mr.
5 Examiner. I think we're getting outside the scope
6 of this hearing. We're also getting outside the
7 scope of my direct testimony.

8 HEARING EXAMINER: Okay. I will
9 sustain the objection since it's outside the scope
10 of direct testimony.

11 Q (BY MR. SEAWRIGHT) Is Raser willing to
12 provide the Oil Conservation Division with the
13 levels of the amount of chemicals acceptable to the
14 Food & Drug Administration in fish tissue?

15 MS. MUNDS-DRY: Same objection, Mr.
16 Examiner.

17 HEARING EXAMINER: Yes.
18 You may respond to the objection
19 because I don't remember the --

20 MR. SEAWRIGHT: Well, I referenced the
21 actual permit itself where there is in Section 20,
22 the section that specifically outlines the
23 determination of the water toxicity levels for
24 these chemicals in our fish.

25 AmeriCulture contends that it's not

1 just the lethality of these issues, but, rather,
2 the impact on the physiology and breeding, and,
3 also, the salability of our fish. So I think this
4 question is particularly germane.

5 HEARING EXAMINER: Well, I believe
6 there was some general statements made in direct
7 testimony to the effect that the chemicals -- the
8 injected substances would not be harmful,
9 therefore, I will overrule the objection.

10 Q (BY MR. SEAWRIGHT) Mr. Hayter, is Raser
11 willing to provide the OCD with levels of the Nalco
12 chemicals acceptable to the Food & Drug
13 Administration for fish tissue?

14 A I don't think we have the levels. I don't
15 think we have the levels of toxicity, nor have we
16 determined what the levels were.

17 Q I understand. Would you be willing to
18 investigate that and provide that information to --

19 A That's a part of this particular permit,
20 actually, to provide a toxicity test.

21 Q Not toxicity. I'm actually referring to
22 those levels -- I'm talking about sub-acute
23 toxicity levels, and acceptable limits to the Food
24 & Drug Administration that would allow us to sell
25 our product as safe and wholesome to citizens of

1 the United States.

2 Those particular chemicals, would you
3 be willing to provide the OCD with levels of those
4 Nalco chemicals acceptable in the tissue of my
5 fish?

6 A I don't know what those levels are.

7 Q I understand.

8 A I think that -- I believe, personally,
9 that the FDA regulations are out of context in
10 terms of what we're discussing here for water
11 quality.

12 Q The purpose is -- even if the purpose of
13 the water quality act is to protect human and
14 animal health and safety, I believe it's
15 particularly germane to -

16 MS. MUNDS-DRY: Objection.
17 Argumentative.

18 HEARING EXAMINER: I was going to ask
19 was that a question, or something just expressing
20 an opinion? Do you have a question?

21 Q (BY MR. SEAWRIGHT) So you're not willing
22 to provide -- to determine, if necessary, and
23 provide to the OCD the --

24 A I'm not willing to commit to a particular
25 set of regulations that I'm unfamiliar with

1 concerning the FDA. I simply can't commit to that
2 at this point. I don't have any information about
3 what those regulations are, I'm not familiar with
4 them, and, in all honesty, I can't commit to that.

5 Q You are aware in the proposed permit you
6 will be required to determine the acute toxicity
7 levels for these Nalco chemicals in Tilapia?

8 A Yes, I'm aware of that.

9 Q So in light fashion, would you be willing
10 to assume responsibility of reporting those levels
11 that are determined to be acceptable to the FDA in
12 fish tissue?

13 A We will report the results of the toxicity
14 test to the OCD as required by the permit.

15 Q I'm not referring to the toxicity test,
16 I'm referring to those levels determined by the FDA
17 to be acceptable in fish tissue. It's a very
18 simple question.

19 MS. MUNDS-DRY: Objection. It's asked
20 and answered. He's asked him several times, and I
21 think the witness has given him his best answer.

22 THE COURT: Sustained.

23 Q (BY MR. SEAWRIGHT) Would you please state
24 all the reasons that you are aware of for the
25 movement of one of the injection wells from its

1 initially southernly location of the proposed
2 location on AmeriCulture's property?

3 A Yes. The first and foremost, in addition
4 to the geology studies that we've worked out to try
5 to determine initially what we know and don't know
6 about the hydrology of the geothermal resource, in
7 addition to that, we have hired Shomaker &
8 Associates because they had a reputation in the
9 state for being a very qualified organization.

10 We hired them to analyze what we know
11 about the particular hydrology of the area because
12 we were foreseeing the need to look at potential
13 water impairment, as well as the geothermal issues
14 and water quality of the State. So we were looking
15 at both the requirements and responsibilities we
16 have under the OCD, as well as under the State
17 Engineer.

18 So upon performing that analysis and
19 getting the results from Mr. Shomaker, one of the
20 suggestions was an injection well in that location,
21 in that vicinity, would provide some mitigation to
22 possible impairment of wells on the AmeriCulture
23 area. So that was the primary reason for moving
24 that there.

25 We also had been made aware of by you,

1 Mr. Seawright, that we had a joint operation
2 agreement that had been signed in approximately
3 1997, I think it was, in which we were given the
4 rights, or the owner of the assets at that point,
5 which we became the assignee to have the right to
6 drill wells on your property, in exchange for your
7 right to use the geothermal fluids down to 1,000
8 feet.

9 Having received technical data and
10 analysis and opinion that indicated we should put a
11 well in the vicinity to deal with the water
12 impairment issues, we decided -- and having the
13 right to do so, we moved that well to that
14 location.

15 MR. SEAWRIGHT: Your Honor, I have a
16 question pertaining to what Mr. Hayter just
17 mentioned. I have a document here that I would
18 like to provide him so that he can --

19 HEARING EXAMINER: You may approach the
20 witness.

21 Q (BY MR. SEAWRIGHT) I refer you to the
22 second page of this document, Mr. Hayter.
23 Beginning at the highlight on the first paragraph
24 which reads:

25 "I'm planning to include in the OSE

1 application," the State Engineer application, "a
2 provision to re-inject water, at a rate to be
3 determined from monitoring results into an
4 intermediate zone below AmeriCulture's completions,
5 but above the geothermal production interval so as
6 to maintain the heads in the former without
7 introducing a water quality problem (since the head
8 distribution will still result in downward flow,
9 once the geothermal production is occurring.)"

10 Do you recognize this?

11 A I recall it now that you put it in front
12 of me, yes.

13 Q Thank you. As we have brought out, given
14 at the initial hearing, the discussion of in order
15 for the proposed injection as stated in this e-mail
16 to reduce the impairment upon water right, there
17 must be hydraulic conductivity.

18 Are you concerned with that hydraulic
19 conductivity?

20 A No, I'm not concerned with hydraulic
21 conductivity. I think we have the opinion of the
22 technical expert who is telling us that this is a
23 plausible and feasible solution to two problems.
24 One is how to maintain a reservoir, a geothermal
25 reservoir, and the second is how do we both

1 maintain and operate a geothermal reservoir, and,
2 also, mitigate any kind of water impairment issues
3 which we are addressing in a different
4 jurisdiction.

5 But as a project, we need to look at
6 all the particular issues. So in this situation,
7 we felt like we had a solution to both of those
8 problems.

9 Q Do you understand that in order for this
10 to work, that the water in AmeriCulture's wells
11 must necessary be in connection with the waters
12 that has been proposed --

13 A Well, what I understand is what Mr.
14 Shomaker's e-mail says, which is that there is the
15 opportunity to maintain the heads in the former
16 without introducing a water quality problem because
17 the head distribution will result in a downward
18 flow.

19 I, obviously, defer to somebody who
20 has got the education and experience in this area,
21 educational background and experience to make these
22 kinds of judgments, but I trust his judgment.

23 MS. ALTOMARE: Mr. Examiner, I'm going
24 to object at this point. We're straying into
25 geological issues in water quality and geothermal

1 issues. We're talking about applications to the
2 Office of the State Examiner, not applications
3 regarding injection and water quality issues.
4 We're straying well outside the scope of the
5 purpose of this hearing, the discharge permits.

6 MR. SEAWRIGHT: Your Honor, I believe
7 that is quite relevant because this is a Water
8 Quality Control Commission hearing, and hydraulic
9 conductivity between the well that's being proposed
10 and our wells, necessarily means that there is flow
11 path between those two wells.

12 They are injecting water of unknown
13 chemistry, contaminated chemicals, and there is a
14 continuous flow path back to our well. It
15 necessarily introduces the possibility of a
16 contamination of our water, and, also, the
17 potential for the elevation of chemical
18 contaminants as set forth in Section 3108, title
19 20.

20 HEARING EXAMINER: I will overrule the
21 objection. You did say something in your question
22 about impairment of water rights, which, of course,
23 is not an issue in this other than for this agency,
24 the question for the State Engineer, but I will
25 overrule the objection.

1 You may respond as you can.

2 THE WITNESS: Well, I think there's a
3 couple of points that I want to make about this,
4 and that is that we have been over this several
5 times that the fully hydrology, the full geology of
6 this system is not understood. Part of what we're
7 requesting is the opportunity to understand that.

8 In exchange, we're willing to accept
9 and agree to the specific requirements that are
10 placed upon us, and the responsibilities we have to
11 monitor these particular wells. As part of this
12 monitoring plan, as I understand it, we have the
13 obligation, and we will respect that.

14 In fact, we have and it's always been
15 our plan to monitor your wells, Burgett's wells,
16 and any other wells that are required in order to,
17 first of all, take a baseline measurement of the
18 particular water quality in the area.

19 Then as we go into a production phase,
20 to be able to monitor that on -- a testing
21 production phase, test the production flow and test
22 the results of that, and then go into a production-
23 operation stage where we then monitor that on an
24 ongoing basis.

25 So I think we have a professional

1 opinion that says, number one, that that will not
2 be a problem. Secondly, in order to mitigate any
3 potential for a problem, we have a plan to take a
4 baseline test, and then to continually monitor that
5 and agree to, as stated by the OCD earlier, to shut
6 down and remedy any problems that occur. Or I
7 should say if that theoretically occurs because we
8 don't have any proof that they would occur, and we
9 don't have the data that supports that.

10 Q (BY MR. SEAWRIGHT) Is the -- to the best
11 of your knowledge, is the well that's referenced in
12 this e-mail one in the same as the northern most
13 injection well?

14 A I believe so, yes.

15 Q Is it your understanding that the
16 objective of -- that the overall production flow
17 proposed by Raser involves the drawing of water
18 from a yet to be characterized geothermal resource,
19 and the return of that thermally depleted water
20 back to that geothermal resource?

21 A Yes. In theory, that's always the goal is
22 to try to re-inject the fluids in a way that they
23 -- in this case, we have two issues to deal with.
24 We want to have a regenerative affect on the
25 resource, but we also want to have, if we can, take

1 care of any mitigating water impairment issues.

2 Q Are you aware that this states that the
3 injection well that is referenced is to be placed
4 in an intermediate zone below AmeriCulture's
5 completions, but above the geothermal production
6 interval?

7 A Well, as I stated, this is one of those
8 situations where we have to try to find a solution
9 to two problems with the same answer. So I think
10 that this is our best shot at being able to solve
11 two problems that are addressed.

12 I would also state that there is an
13 order of priority in the wells. This is not the
14 well we'll start with. This is not necessarily a
15 well that we would even use. We may find that all
16 of our injection is taken care of in one or two
17 injection wells. But until we get into a more
18 definitive testing environment, we won't be able to
19 determine that yet.

20 Q You stated earlier in your testimony you
21 would shut it in if these -- given that you said
22 that you would shut in -- the project would be shut
23 in provided these water quality standards would be
24 exceeded.

25 Does that still hold true if the water

1 quality standards of our production wells are
2 exceeded above standards or baseline in terms
3 higher?

4 A I don't understand the question.

5 Q You stated earlier that the water quality
6 guidelines of groundwater are exceeded, that you
7 would shut in. Given that you said that, if the --

8 A If I could correct you. Given that that
9 is what's being required of us, and we certainly
10 agree to it, yes.

11 Q Okay. Given what is required that if you
12 be shut in, provided the water quality standards
13 are exceeded in your monitoring wells, if the water
14 quality levels and the water contaminate levels in
15 our production wells exceed the maximum contaminate
16 level or baseline, whichever is higher, then does
17 that still hold true?

18 A I think in the spirit of the -- in the
19 letter of law, we would be required to shut down
20 and investigate the reasons for any change in those
21 wells. I would also state that we would intend to
22 understand the impact of the productions wells you
23 have as well on the resource.

24 I think there will be a mutual
25 obligation to each other to understand the impact

1 of your production wells, together with the impact
2 of our production wells and injection wells.

3 We have been, and will continue to be,
4 cooperative in that sense with you to understand
5 how the hydrology is affected by your production
6 wells and our production wells.

7 Q Mr. Hayter, are you aware that there is a
8 domestic well being used for human consumption and
9 aquatic life within 500 feet of the proposed
10 injection well?

11 A I was not aware initially of that. I'm
12 aware now.

13 MR. SEAWRIGHT: Thank you. That's the
14 end of my questioning.

15 HEARING EXAMINER: Thank you.

16 Mr. Hayter, I may be going over some
17 things that we went over in the previous hearing.
18 It's been a little time ago and I have forgotten
19 things.

20 **EXAMINATION BY HEARING EXAMINER**

21 Q How many injection wells are there going
22 to be proposed?

23 A We have proposed three injection wells.

24 Q How many production wells?

25 A We have proposed five. Five production

1 wells.

2 Q At the time of the previous hearing, there
3 was some uncertainty of the location of the wells.
4 Do I understand that the location of the wells has
5 now been fixed?

6 A The location of the wells has been fixed
7 at this point. Although, one of the requirements
8 in a geothermal environment where you don't yet
9 quite understand all of the implications of what's
10 down below the ground, is that if we, in the
11 process of drilling and testing, we find new
12 information that we will adjust accordingly.

13 Whether it be information to our
14 benefit or to our detriment, we will adjust our
15 further drilling plan accordingly. It wouldn't
16 make sense to continue with a specific drilling
17 plan if we find something that would change our
18 minds about what we would drill, how we would
19 drill, or where we would drill afterwards.

20 Is it okay to defer to an expert on
21 that for a moment?

22 Q Okay.

23 THE WITNESS: Mr. Barker -

24 HEARING EXAMINER: Well, he has to be
25 called as a witness so I think --

1 THE WITNESS: That's fine. I think the
2 statement stands that in a geothermal, we're
3 presenting a plan. If at some point that plan
4 needs to be adjusted, then we will work together
5 through the regulatory process that exists to make
6 the changes to that plan.

7 Q (BY HEARING EXAMINER) My understanding is
8 the Division will be presenting a draft permit to
9 the Examiner at this hearing?

10 A That is my understanding as well.

11 Q And you have reviewed the draft permit?

12 A We have reviewed it.

13 Q It's satisfactory to you?

14 A Yes, it is.

15 Q And the draft permit fixes the locations
16 where the wells are to be drilled?

17 A That's correct. My understanding is that
18 the production wells -- or excuse me -- the
19 injection wells, if we intend to make any changes,
20 we would then go through a similar process of
21 advising the OCD of those requested changes, and
22 then having that available for public comment or
23 protest, and then we would go through a similar
24 hearing. But at this point, they are fixed.

25 Q Now, the water that is being injected, is

1 that the water that has been produced from the
2 geothermal -- produced from the geothermal
3 production wells and heat has be extracted?

4 A The majority of that water is from the
5 geothermal production wells. There will be a small
6 amount of that water in the neighborhood, if I
7 remember correctly, and I don't have this
8 information in front of me, but it would be
9 somewhere in the neighborhood of 2- to 400 gallons
10 a minute of the cooling water, blow-down water that
11 would be mixed with that, and then analyzed before
12 it was injected to ensure that we aren't projecting
13 any -- that the mixed geothermal and cooling fluid
14 don't exceed the quality of the water that we
15 extracted.

16 Q Don't exceed?

17 A Don't significantly change. That they're
18 still within the regulatory, I guess, limits or
19 limitations that we're under.

20 Q That they do not exceed Water Quality
21 Control standards?

22 A Yes, that's what I'm trying to say.

23 Q Okay. What is the source of this cooling
24 water?

25 A Those would be shallow groundwater wells

1 out to the west of the project.

2 Q In the same general vicinity?

3 A Approximately a mile-and-a-half to two
4 miles out to the west I think is the current
5 location.

6 Q Okay.

7 A Some distance out to the west.

8 Q Mr. Seawright asked you some questions
9 about chemicals, a word that's often used in a very
10 generalized sense. What will you be adding to the
11 water?

12 A These would be a mixture of chemicals
13 referred to as biocides and other treatments to
14 keep the algae growth at a minimum, or to keep it
15 from becoming a problem in the cooling tower, from
16 inhibiting the cooling tower operations. I'm not
17 sure.

18 I don't recall the specific mix of
19 chemicals or additives to the fluids, but they're
20 all fluids that are currently being used in other
21 operations in New Mexico in cooling towers, or
22 being discharged to effluent waters of New Mexico.

23 Q Have your experts advised you that these
24 additives can be added to this water without
25 causing groundwater to exceed what are New Mexico

1 water quality standards?

2 A Yes.

3 MS. MUNDS-DRY: Mr. Examiner, since it
4 has been a while, you may recall that we had
5 Jennifer Wright from Nalco testify at the last
6 hearing. She went over each chemical and discussed
7 that they would meet water quality standards.

8 HEARING EXAMINER: Thank you for
9 refreshing my recollection. Unfortunately, due
10 both to the hearing last week and to the fact that
11 I attempted to locate a copy of the transcript
12 yesterday morning, the Division administrator
13 couldn't find it, which I hope will be remedied
14 when I return.

15 I have not had a chance to review the
16 transcript of the prior hearing.

17 MR. SEAWRIGHT: Mr. Hearing Examiner,
18 during that same hearing I had asked Ms. Wright,
19 and she could not provide an answer. What I did
20 ask her is if she could be so certain that those
21 chemicals met groundwater quality standards when
22 there was no such standard exists for those
23 chemicals.

24 HEARING EXAMINER: Well, I am certain
25 that the transcript from the previous hearing will

1 be found and will be reviewed, and an order is
2 issued in this hearing.

3 Thank you very much. That's all my
4 questions.

5 MS. MUNDS-DRY: Mr. Examiner, I just
6 have one question on redirect.

7 HEARING EXAMINER: Go ahead.

8 **REDIRECT EXAMINATION BY MS. MUNDS-DRY**

9 Q Mr. Hayter, Mr. Seawright asked you about
10 -- particularly the well that you referred to that
11 was in the Northern area closest to their facility?

12 A Yes.

13 Q You had testified earlier that you had
14 reviewed the most recent draft permit that the
15 Division will submit as an exhibit here shortly.

16 Is it your understanding that one
17 condition in that permit will require not only
18 baseline information be sought, but ongoing
19 monitoring of the AmeriCulture and Burgett wells?

20 A Yes, that is correct.

21 Q And that's satisfactory to Raser?

22 A Yes, it is.

23 MS. MUNDS-DRY: Thank you. That's all
24 I have.

25 HEARING EXAMINER: Do you want to

1 follow-up on Ms. Munds-Dry's questions?

2 MR. SEAWRIGHT: I have a question that
3 results from the questions that you asked.

4 HEARING EXAMINER: Okay. Go ahead.

5 **RE-CROSS EXAMINATION BY MR. SEAWRIGHT**

6 Q You stated in your testimony that these
7 chemicals will meet groundwater quality standards
8 for New Mexico; is that true?

9 A It's my understanding the injection of
10 these chemicals and the fluids that we'll be
11 injecting are within the regulations.

12 Q Are you aware that at least that there are
13 no standards for these chemicals for New Mexico?

14 A That there are no -- I'll have to ask you
15 a clarification question. There are no specific
16 standards for which chemicals?

17 Q Are you aware that in Title 20, which sets
18 forth the groundwater quality standards for
19 contaminants in maximum contaminate levels and
20 toxic compound, that the Nalco chemicals are not on
21 that list, therefore, there is no standard in the
22 State of New Mexico?

23 My question is: Given that there are
24 no standards for those, how can you be so certain
25 that Nalco chemicals meet New Mexico water quality

1 standards when there are no standards?

2 A Well, I think, first of all, because they
3 are currently -- they've currently been permitted
4 for use in New Mexico with other operations, they
5 are currently being used in New Mexico, they're
6 currently being discharged as part of cooling water
7 discharge, at least one existing, if not more
8 existing operations.

9 MR. SEAWRIGHT: I don't have anything
10 further.

11 HEARING EXAMINER: Very good. The
12 witness may step down.

13 Oh, did you have another question, Ms.
14 Altomare? Go ahead.

15 MS. ALTOMARE: Yes.

16 **RE CROSS EXAMINATION BY MS. ALTOMARE**

17 Q Just to clarify, and I will go into
18 this more with my witness. Regardless of
19 hypothetical conjecture about whether or not the
20 effluent meets WQCC standards, is it your
21 understanding that the effluent will be tested
22 prior to injection -

23 A Yes, the affluent --

24 Q -- to see whether or not it is safe for
25 re-injection?

1 A It will be monitored before re-injection,
2 yes.

3 Q I'm not sure if you know this or not. The
4 Nalco chemicals, the -- what did you say this was?

5 Is the biocide primarily a bromide?

6 A I honestly don't recall, but I think
7 that's true.

8 Q In your review of the draft permit, do you
9 recall seeing the groundwater, the monitoring
10 program, and the suite of extra chemicals that were
11 being --

12 A Yes. Yes, we'll be monitoring all
13 injected fluids. We have been given a list of
14 specific monitoring wells that we will drill, as
15 well as existing wells that we will monitor, and we
16 also have the suite and method of various chemicals
17 and other, I guess, metals and chemistries to be
18 monitored which include all of the chemicals that
19 have been proposed by Nalco, as well as a suite of
20 items that have been included as part of the
21 regulatory.

22 Q So Raser will be testing for a bunch of
23 specific chemicals that are known to be included
24 within the Nalco --

25 A Yes, I can see that bromide is included in

1 that list.

2 MS. ALTOMARE: Thank you.

3 HEARING EXAMINER: Anything further?

4 MS. MUNDS-DRY: Nothing further.

5 HEARING EXAMINER: The witness may
6 stand down.

7 HEARING EXAMINER: I believe that this
8 was the only witness you planned to call, correct?

9 MS. MUNDS-DRY: Yes, Mr. Examiner. We
10 listed several that we may call for rebuttal
11 witnesses, but that concludes our direct case.

12 HEARING EXAMINER: Very good.

13 Ms. Altomare.

14 MS. ALTOMARE: Yes. I want to call one
15 witness, Carl Chavez, and prior to that I just
16 wanted to do a brief introduction.

17 The Oil Conservation Division sees
18 this as really a very simple follow-up hearing, and
19 wants to emphasize to the Hearing Examiner that
20 this really has only to do with tying up loose
21 ends, and wrapping up the remaining issues that
22 were not able to be followed through on at the last
23 hearing.

24 Just by way of bringing us up to
25 speed, Raser, of course, submitted this

1 application, notice was issued pursuant to 3108,
2 and the hearing was requested by Mr. Seawright in
3 this case. Given that this is a new situation, I
4 think that it's fabulous that a natural hearing has
5 taken place because I think that this permit is
6 actually going to be much more comprehensive and
7 better for the hearing process having taken place.

8 A hearing did take place on December
9 1st, and at that time it was determined that there
10 were significant other things that need to be
11 discussed and contemplated to be included in this
12 particular permit.

13 At that time the hearing was recessed,
14 and the technical advisors, absent counsel, did
15 convene to discuss what additional monitoring might
16 need to be considered and included into this permit
17 to address the cooling tower issue, and other
18 issues that might be unique to this particular
19 project not previously contemplated in such
20 discharge permit processes.

21 We're now here at this hearing, and
22 the single issue left is revising -- figuring out
23 the last version of the draft permit, and whether
24 or not the permit is ready to be accepted by the
25 Hearing Examiner, and recommended for acceptance by

1 the secretary.

2 We will be presenting a revised permit
3 draft. We did present that to all parties on
4 Friday. We would like to advise the Hearing
5 Examiner and the parties that there are a couple of
6 remaining clerical errors and clarification-type
7 corrections that we did discover over the weekend,
8 and we would ask for leave to present a final red-
9 light version by the end of business on Thursday to
10 everybody. We apologize for that. There's been,
11 as the Hearing Examiner is aware, a little bit of
12 craziness going on at the OCD that left us a little
13 bit harried getting this done.

14 As the parties will see on Thursday
15 when we do present this, it is pretty much straight
16 forward clarification and clerical-type things.
17 But other than that, the substance of the draft
18 permit as presented on Friday, and as we are
19 presenting today as our exhibit, is the meat of
20 what we are presenting for consideration by the
21 Examiner today.

22 We are now confident after the hearing
23 on the 1st of December and the subsequent meeting
24 that occurred at the end of January, that the
25 permit adequately addresses all of the water

1 quality issues involved in this project.

2 The bottom line is, that if what Raser
3 has put forth as its expectations in this project
4 is accurate, and the effluent actually meets the
5 water quality standards as it claims, then the
6 sampling of the monitoring called for by the permit
7 should prove that up.

8 If the sampling of the monitoring
9 results indicate that they don't indeed meet those
10 water quality standards, then all operations will
11 halt, we'll go back to square one, and we will
12 revisit this permit application and either the
13 project will be terminated, or the permit will be
14 re-issued with significantly modifications to
15 address the possibility of treatment or whatever
16 needs to be done to make sure that contamination of
17 water doesn't occur.

18 But the bottom line is that this
19 permit is now structured to basically nip it in the
20 bud, so to speak, any potential water contamination
21 prior to it occurring because the testing happens
22 before the injection, as well as downstream, so to
23 speak, at the well sites.

24 We've got several safeguards going on.
25 We've got a baseline-type testing going on ahead of

1 time, and then we've got several different
2 monitoring wells set out integrating into the
3 permit.

4 At this time, I'd like to call my
5 witness, Carl Chavez, with the Oil Conservation
6 Division.

7 We'd like to ask for a brief recess
8 prior to him testifying.

9 HEARING EXAMINER: Okay. Well, it's a
10 good time to take a recess anyway.

11 (Recess)

12 HEARING EXAMINER: Let us proceed then.
13 Ms. Altomare, you may proceed with
14 examination of Mr. Chavez.

15 MS. ALTOMARE: Thank you, Mr. Examiner.

16 **CARL CHAVEZ,**

17 (Having been first duly
18 sworn, testified as follows:)

19 **DIRECT EXAMINATION BY MS. ALTOMARE:**

20 Q Mr. Chavez, did you bring your two
21 exhibits with you?

22 A Yes.

23 Q Great. I'd like to -- I think I've handed
24 them out. I'd like to direct your attention to
25 Exhibit No. 1.

1 Exhibit No. 1 and Exhibit No. 2, just
2 to get these on the record, can you identify these
3 for the record, please?

4 A You're asking me to identify them?

5 Q Yes.

6 A OCD Exhibit 1 is the meeting issues that
7 were identified during the Tuesday, January 27th,
8 2009 meeting in Santa Fe with our technical expert,
9 Mr. Glenn von Gonten and the various parties.

10 Q And the other side of that document?

11 A Includes the signatures of those persons
12 that were present during that meeting.

13 Exhibit 2 is the discharge permit
14 dated April 7, 2009, for this hearing.

15 Q The draft discharge permit?

16 A The most recent draft of the permit.

17 Q Mr. Chavez, by whom are you employed?

18 A The New Mexico Oil Conservation Division.

19 Q And what is your current position with the
20 OCD?

21 A I'm an environmental engineer in the
22 Environmental Bureau.

23 Q Have you previously been qualified as an
24 expert in environmental engineering?

25 A I have.

1 Q Have you previously testified before the
2 Oil Conservation Division or the Water Quality
3 Control Commission?

4 A I have. I've actually served as a
5 commissioner.

6 MS. ALTOMARE: I would move to have Mr.
7 Chavez qualified as an expert in the field of
8 environmental engineering.

9 MS. MUNDS-DRY: No objection.

10 MR. SEAWRIGHT: No objection.

11 HEARING EXAMINER: So qualified.

12 Q (BY MS. ALTOMARE) I'd like to first direct
13 your attention to what you have just identified as
14 OCD Exhibit No. 1. You had referenced this as the
15 list of meeting issues stemming from the January
16 27th meeting that was conducted. I'd like to go
17 over this in a little bit further detail.

18 Did you prepare this document?

19 A I did.

20 Q And did you circulate this document after
21 you prepared it to the people who attended that
22 meeting?

23 A I posted it on the website under OCD
24 online under the permit as the January 27th meeting,
25 2009 meeting.

1 Q Okay. So it is a part of the public
2 record of this file for this permit?

3 A It is. At the close of that meeting,
4 these were the issues that were identified, and I
5 was simply documenting those issues from the end of
6 the meeting on January 27th.

7 Q Item number 1, can you explain for the
8 Hearing Examiner what item number 1 indicates?

9 A Well, based on Mr. Jim Witcher's
10 presentation at that meeting, we identified this as
11 a Major Tectonic Inversion WNW fault. I believe
12 Mr. Witcher had developed a model of the geology at
13 the site.

14 Basically, AmeriCulture's position was
15 there under 1B, based on the that geologic model in
16 his presentation, that there was a gross lack of
17 subsurface information in the project area.

18 Q Okay.

19 A And Los Lobos' position was is that, "We
20 won't know until we drill and get more information
21 whether that model perhaps has some merit or not."

22 Q What was the OCD's position with regard to
23 the information presented by AmeriCulture and
24 Raser, Los Lobos' response?

25 A Well, the OCD's position were primarily

1 water quality issues, making sure that when they do
2 perform their drilling activities, that they're
3 protecting the water resources surface and
4 groundwater.

5 But as part of our discharge permit,
6 we'd included water quality monitoring of those
7 wells. In fact, it's inherent in the drilling of
8 those wells that well logging and all types of
9 geologic information will be incorporated into the
10 information that they provide to us.

11 Q So the OCD didn't take a position as to
12 whether or not the theory presented by Mr. Witcher
13 was accurate, only that if there's exploration
14 going on, it's done pursuant to a monitoring plan?

15 A Exactly. Our water quality monitoring
16 will address any geo-chemical and water quality
17 issues throughout that process.

18 Q Item number 2, can you explain what the
19 notations next to number 2 indicate?

20 A Well, this was during Mr. Mike Hayter's
21 presentation, and the segue into this one is that
22 we were talking about the location of injection
23 well 5107.

24 Los Lobos -- I think the point Los
25 Lobos was trying to make for that is that wherever

1 they drill, for example, if they drill at 4507,
2 that might be their preferred location to where
3 they start out at.

4 They will first drill and analyze the
5 information, and if they need to, they'll step out
6 and they might drill in a different location. They
7 might decide to turn an injection well into a
8 production well.

9 Our administrative process allows for
10 that. They have to get approval through the OCD to
11 change any location. I think what Mr. Hayter was
12 trying to indicate is that they need some
13 flexibility when they go in and do this project.
14 Just because they've changed the location or
15 convert an injection well to a production well,
16 there's an administrative process that we have to
17 allow that.

18 AmeriCulture's position was, again,
19 there's not enough information to do anything.
20 There is a problem with the State permitting these
21 wells without water chemistry and formation depth
22 information. Again, that's what this water quality
23 permit is about. This discharge permit is today
24 what we're addressing water quality monitoring
25 issues we feel that are pertinent.

1 In the drilling of all these wells,
2 there's going to be a data collection process and a
3 verification process that needs to be approved by
4 us anyway.

5 Q Item number 3 of the Mike Hayter
6 presentation indicated by number 3, can you explain
7 those notations?

8 A I think the key issue, again, here, and
9 you're kind of hearing it throughout the first two
10 items, was the water quality monitoring. We have
11 to make sure that that was correct. My
12 recollection is Los Lobos handed out a monitoring
13 and sampling plan dated December 2008.

14 I think we all realized from the
15 December 1st hearing that that was one of our issues
16 too. We were trying to work out the water quality
17 monitoring issues and never quite got resolved
18 adequately.

19 So when we came to this meeting, there
20 was a report handed out by Mr. Hayter, et al., and
21 AmeriCulture is concerned about the water quality
22 monitoring, as what is the OCD or was. The OCD's
23 position is that we handed out our own rendition,
24 our own draft of a discharge permit with water
25 quality monitoring because we felt that we needed

1 some monitor wells out there, but it wasn't, you
2 know.

3 So what we agreed to do in this
4 meeting was to look at Raser's sampling and
5 monitoring plan, and look at our monitoring plan,
6 and try to make a better water quality monitoring
7 program, and that's what we've done here today in
8 our discharge permit.

9 Q Now, there's some discussion about the
10 Nalco chemicals, specifically, that were testified
11 about at the previous hearing.

12 Were those specific chemicals
13 discussed or considered at the January meeting, and
14 later in your -- in the monitoring plan?

15 A Yes. The discharge permit draft that I
16 brought to the table included a provision for
17 requesting aquatic toxicity testing be done.
18 Specifically, for the aqua-culture facility that's
19 nearby their proposed project area.

20 Q So let's turn to Exhibit 2, which is the
21 proposed draft permit that the Oil Conservation
22 Division is presenting to the Examiner's review and
23 consideration today.

24 On page 7 at part 20, "Additional site
25 specific conditions - water quality monitoring

1 program," part A addresses that aquatic toxicity
2 testing that you're referencing?

3 A It does. Based on the December -- based
4 on the December 1st, 2008, testimony of Nalco where
5 they presented their chemicals at the mid-range and
6 high range, we're requiring an aquatic toxicity
7 test at the high range of those chemicals.

8 The OCD plans to use that aquatic
9 toxicity test, the results of that, as a tool to
10 help us to further assess the threat to aqua-
11 culture and to wildlife in that area.

12 Q Tell us a little bit about the additional
13 requirements imposed by the groundwater and surface
14 water sampling monitoring requirements in part B of
15 item 20?

16 A I think what I'd like to do for the rest
17 of the presentation is kind of take everybody back
18 to Appendix 1. This is water quality monitoring
19 program for the facility. We've broken it up into
20 five different tables for water quality monitoring.
21 A groundwater monitoring program that includes
22 eight monitor wells, and three nested wells
23 throughout the facility area in downgradient.

24 We have a Table 2 that includes
25 geothermal injection wells and production

1 development wells. All the development wells and
2 injection wells that are being proposed, we're
3 planning to monitor those on an annual basis.

4 Table 3 includes the water supply
5 wells, and these were proposed in the Los Lobos'
6 sampling and monitoring plan. You can see that
7 these include some of the Burgett wells,
8 AmeriCulture number 1 Federal on an annual sampling
9 schedule.

10 Table 4 includes all of the holding
11 ponds, drainage ditches, pits and ponds monitoring
12 program. Since these pits are lined, we're
13 primarily looking at metals and general chemistry,
14 and we're only monitoring whenever there's fluid in
15 them.

16 In addition to that, you might note
17 that under Table 1, the monitor wells are basically
18 located downgradient from each pit for reserve
19 evaporation pond from each well. So we'll be
20 monitoring the water table just immediately
21 downgradient to those.

22 The last Table 5 is the cooling tower
23 effluent monitoring program. It's the cooling
24 tower effluent. There's one location where all the
25 spent water is mixed with the boiling. The cooling

1 tower blowdown will be injected into the injection
2 wells. It will be at that manifold that we'll be
3 monitoring for metals and general chemistry.

4 Just to add further, we're proposing
5 monitoring ports at all the injection wells for the
6 first six months of monthly monitoring. We'll be
7 monitoring the cooling tower blowdown water going
8 to those injection wells. We'll be monitoring for
9 the full suite of chemicals, not just metals. In
10 general chemistry, we'll be monitoring for all the
11 suites.

12 Q So the monitoring of the blowdown water
13 will be done prior to the injection, prior to --

14 A For six months we'll be monitoring the
15 injection at the -- the injected fluids at the
16 injection wells, and then we'll be monitoring at
17 the cooling tower blowdown manifold area before it
18 goes to those injection wells.

19 Q How was it determined what specific
20 chemicals would be tested for?

21 A Well, again, we looked at the sampling and
22 monitoring plan provided by Raser. I conferred
23 with our Senior Hydrologist Mr. Glenn von Gonten on
24 all the analytical suites that we were looking at
25 monitoring for.

1 We came up -- for example, if you look
2 at Table 1, you'll notice that we're including all
3 the volatile organic hydrocarbons, the semi-
4 volatiles, all of the polycyclic aromatic
5 hydrocarbons, total petroleum hydrocarbons for any
6 organics that are present.

7 We're looking at dissolved metals
8 because we realize that this is a -- it appears to
9 be a gigantic underground source of drinking water.
10 Therefore, we looked at the dissolved fraction of
11 any metals in the water for ingestion.

12 You'll notice that we do include the
13 bromide for many of those Nalco Chemicals. Some of
14 these metals are a little bit esoteric, but they
15 were proposed by Raser, such as lithium, rubidium
16 tungsten, but we've also incorporated that into
17 this monitoring plan along with mercury, general
18 chemistry, uranium, because that's required under
19 our 2103 Water Quality Control Commission
20 regulations.

21 Q Again, what is the significance of testing
22 for bromides in this situation?

23 A Many of the Nalco chemicals are bromide
24 based.

25 Q Is that the biocide element?

1 A Yes. In addition to that, we're using the
2 aquatic toxicity test as a tool. We're going to
3 get that information back, and our permit is
4 written to where we can make changes to this permit
5 based on inspection and/or other requirements. So
6 it's very flexible.

7 We get new information, we find out if
8 we should be monitoring for other things. We will
9 implement that almost immediately into the permit
10 as a modification.

11 I guess you wanted me to --

12 Q Why is the list that's in Table 4
13 different than the list that's included in the
14 other sheets? What's significant about that?

15 A As I mentioned earlier, these are holding
16 ponds, drainage ditches, pits that are associated
17 with the drilling of the development wells and
18 injection wells. Because any discharge that would
19 occur there would be occurring into a lined system.
20 We're only concerned about metal and general
21 chemistry, and we'll be monitoring for that
22 downgradient.

23 Q Same thing with Table 5, cooling tower
24 effluent, that list is also different. What is the
25 distinction with that list?

1 A Similar to Table 4, metals and general
2 chemistry will be monitored at the cooling tower
3 effluent. That's the effluent before it goes to
4 the injection wells.

5 The purpose for that is that we're
6 trying to -- Raser is attempting to establish a
7 correlation with metals and general chemistry and a
8 Tresar monitoring system that they monitor on a
9 daily basis, and monitor specific conductance,
10 monitors temperature, and they want to be able to
11 use that Tresar system after a certain amount of
12 monitoring that would prove their case for
13 correlation.

14 So that's what we're kind of
15 monitoring for at the cooling tower effluent. I
16 guess that's another reason that during the six
17 months of monitoring at the injection well ports,
18 why we're monitoring for the full suite of
19 everything because we want to make sure anything
20 that's going into the groundwater is going to meet
21 our criteria.

22 Q And then back on Table 1, if you can
23 discuss for us where you have listed the
24 approximate well locations. Can you talk a little
25 bit about where the monitoring wells are located,

1 and what the significance of that is?

2 A Well, as we look across the site and we
3 see where these wells are being drilled, they're
4 going to have lined-pond systems, evaporation
5 ponds, reserve pits, and we want to make sure that
6 we put a shallow monitor well downgradient within
7 100 feet of each of those locations, and try to get
8 some upgradient coverage, upgradient of the
9 greenhouses.

10 By doing that, we're just going to
11 monitor the impacts. If we see through annual
12 monitoring that we have problems at some of those
13 pit areas, we might go back on to the site at other
14 drill locations where there's evaporation ponds
15 that require other shallow monitoring wells. This
16 will tell us whether we have remediation or
17 corrective action obligations during the operation
18 for the systems.

19 Q Back under Section 20, I just want to back
20 up and go to the beginning, how the water quality
21 monitoring program is initiated.

22 A I think what we've done here is in Section
23 20 we attempt to address Table 1 and Tables 3
24 through 5. Then under Section 21, we attempt to
25 address the production and injection wells through

1 monitoring.

2 Q Okay. Now, under B2 and B1, it looks like
3 within six months of system startup, the operator
4 Raser will be required to start submitting
5 background and compliance reports and some --
6 pretty much at the onset, they're starting to --

7 A Actually, at the end of the six-month
8 monitoring period, within 30 days of the end of
9 that, we're looking at receiving a report that
10 would document compliance with our criteria.

11 However, if at any time throughout
12 that monitoring process they're exceeding the
13 background or the Water Quality Control Commission
14 Standards or talks of pollutants are present,
15 they're required to shut down until we can figure
16 out what's going on. So there's a couple of
17 mechanisms for controlling their operation when
18 they start up.

19 Q Can you explain what the background water
20 quality conditions on how that's determined?

21 A Well, we're looking at this area on a
22 pretty large-scale basis. If you were to look at
23 the well locations, all development wells, all
24 injection wells, we've got monitoring of the
25 groundwater there, upgradient of the greenhouse,

1 we've got monitoring.

2 We're just trying to get a snapshot
3 over an extensively large area. At the project
4 upgradient and downgradient, we're trying to assess
5 all of those analytical suites you see in the
6 tables. The VOCs, SVOCs, we're trying to see -- I
7 mean, we may see upgradient, we may see things from
8 agriculture.

9 It may show up that we have a
10 pesticide showing up upgradient of the greenhouse.
11 That may be background from agriculture activity in
12 the area.

13 Q I wanted to direct your attention to the
14 very last page of the footnotes. Would you review
15 the footnote information and the significance of
16 those?

17 A Well, we certainly try to spell out what
18 the acronyms are in the tables. Footnote 1 just
19 indicates that before any system is started, we're
20 going to take those background water quality
21 monitoring at all those locations that I previously
22 mentioned to see just what we're looking at there.

23 Number 2 is a footnote that deals with
24 semi-annual groundwater monitoring. Whenever we go
25 to semi-annual, there might be concerns about when

1 we sample during the year due to irrigation
2 periods.

3 It's important to note that footnote
4 2, you won't find it in our tables right now, but
5 it's reserved there in the event we have an
6 anomalous concentration showing up, we might kick a
7 well or wells into semi-annual at that point. So 2
8 is there reserved.

9 3 is the one-time sampling event with
10 static water levels. We want to see what the
11 groundwater flow direction is like regionally and
12 locally before pumping begins under somewhat static
13 conditions realizing there are some wells off in
14 the background that are pumping, but we're trying
15 to look at natural conditions.

16 Q So, again, that's a baseline background
17 level for later comparison?

18 A Yes. And what happens after they start
19 pumping, you know, there could be some localized
20 effects from that, and we'll see that -- we should
21 see that from our monitoring.

22 "Thereafter, monthly sampling for the
23 six months with dynamic water level recording is
24 required. After six months of monthly monitoring,
25 the sampling shall be conducted at least annually."

1 All I want to say there is remember,
2 before we start up, we're testing groundwater.
3 Once we start that system up, that's when we begin
4 testing the cooling tower effluent, and we start
5 testing the sampling ports at the injection wells
6 of that cooling tower effluent before it gets
7 injected into the groundwater.

8 So we want to see just what that
9 mixture -- if it meets our standards. It's not the
10 groundwater, it's the effluent from the cooling
11 tower going to the injection wells for six months.

12 Number 4, "Sample quarterly while in
13 use," those deal with those pits.

14 "If organics are evident, sampling
15 with analytical methods similar to monitored wells
16 shall be implemented during the sampling event."

17 I think that if we brought any ditches
18 that are online and there's fluid in there, we're
19 going to want them to sample that and make sure
20 there's nothing going into the groundwater and to
21 the surface water avenues.

22 Number 5, "Daily for 10 business days
23 at system startup; thereafter weekly for two
24 months."

25 This deals with Table 5, the cooling

1 tower effluent. We want them to sample that daily
2 for 10 business days, analyze it for metals and
3 general chemistry.

4 "Thereafter weekly for two months, and
5 thereafter based on established correlation with
6 the 3D Tresar Control Monitoring System."

7 Once they can prove to us that that
8 Tresar System, through specific conductivity, is
9 correlative with metals and general chemistry, they
10 will be allowed to monitor the Tresar System and
11 cut back on the analytical monitoring.

12 Q Mr. Chavez, you, along with other OCD
13 staff, prepared this draft permit?

14 A Yes.

15 Q And are you comfortable that it addresses
16 the water quality issues at this site with this
17 project?

18 A I'm very happy to say, "yes." It's a much
19 more comprehensive final discharge permit that I
20 believe it addresses the interest of all parties
21 here, including the OCD.

22 Q And I think you heard me when I was doing
23 the introduction mention that we had discovered
24 some clerical and/or clarification corrections that
25 need to be made that we would be submitting a red-

1 line version by the end of business Thursday. Are
2 you going to be assisting me in that regard?

3 A Absolutely. And I think the main one is
4 that issue on the six-month monitoring at the
5 injection wells. It will be the cooling tower
6 blowdown before it gets injected into the
7 groundwater that we'll be looking at in that six-
8 month report.

9 Q Are you also of the understanding that
10 those are only clerical and/or clarification-type
11 corrections, that there's nothing substantive
12 compared to what we are submitting today?

13 A Yes.

14 MS. ALTOMARE: At this time I would
15 move OCD Exhibits 1 and 2 into the record.

16 MS. MUNDS-DRY: No objection.

17 MR. SEAWRIGHT: No objection.

18 HEARING EXAMINER: 1 and 2 are
19 admitted; OCD 1 and 2.

20 MS. ALTOMARE: At the risk of boring
21 everyone to death, since everybody has the actual
22 exhibit in front of them, I'm not going to belabor
23 it and have Mr. Chavez read the actual text into
24 the record.

25 I'll go ahead and ask the witness,

1 but, certainly, if there are further questions
2 about the content of the permit, he's happy to
3 answers questions.

4 HEARING EXAMINER: Ms. Munds-Dry.

5 MS. MUNDS-DRY: I have one question for
6 Mr. Chavez.

7 **CROSS EXAMINATION BY MS. MUNDS-DRY**

8 Q You noted on page 26 the footnotes, at the
9 end of your exhibit there is a note, actually, at
10 the bottom dealing with phase-separated
11 hydrocarbons?

12 A That's correct. If there's any presence
13 of floating hydrocarbons that show up during the
14 sampling, these should be checked once per month or
15 whenever they're monitoring and recorded on a
16 spreadsheet.

17 The data must be presented in table
18 form listing all of the impacted wells, date
19 inspected, the thickness of any product showing up
20 in the well measured to the nearest 0.01 of a foot,
21 and the amount of any product or water that was
22 recovered from the well. They might bail it just
23 to get an idea.

24 If there a lot there, or if they bail
25 it for five minutes, it may bail down and there's

1 no product showing up, maybe a minor type of thing.

2 Certainly, if phase-separated
3 hydrocarbons are floating on the groundwater are
4 observed in the monitored well, then appropriate
5 steps must be taken to recover those phase-
6 separated hydrocarbons using the best available
7 technology.

8 Now, it's important to mention that
9 some of those wells belong to AmeriCulture, and
10 they're responsible for those wells. The reason
11 for monitoring those wells, we just want to see
12 what's there. I mean, if there's nothing there and
13 things are fine, it's going to be great.

14 If we've got free product showing up
15 in one of those wells, then is that Raser's
16 responsibility? I think not. Not from the onset
17 of our initial monitoring.

18 Q Do you know, Mr. Chavez, as I just don't
19 remember in this permit this -- what I'll call "a
20 completion" is discussed anywhere else in the
21 permit? I just wonder if this wouldn't be placed
22 better somewhere in the permit, rather than in the
23 note here. It seems to be a condition. Do you
24 agree with that?

25 A Well, I think I just included it there,

1 but I can look and see if I have it elsewhere. To
2 my recollection, that's the only spot under the
3 footnotes that we have it.

4 Q Okay. That was the end of my questions.
5 I was just wondering about that.

6 A I think it's common knowledge, though, if
7 you're getting free product showing up, somebody
8 has to be contacted, and there's a process for
9 dealing with it. We can look at putting it up in
10 the text of Section 20, for example.

11 MS. MUNDS-DRY: That's all the
12 questions I have.

13 HEARING EXAMINER: Thank you.

14 Mr. Seawright.

15 **CROSS EXAMINATION BY MR. SEAWRIGHT**

16 Q Mr. Chavez, given that our primary
17 geothermal production well which we denominate as
18 State Geothermal well, given that that is the
19 primary production well, why was that not included
20 in Table 3, and is OCD willing to amend Table 3 to
21 include that well?

22 A So you're saying that the AmeriCulture
23 number 1 Federal, that's not -- you want to include
24 that and your other well, the deep well in there,
25 in the monitoring?

1 Q It's the well that itself. Yes, it's
2 intermediate. It's intermediate, yes. It's the
3 primary State geothermal resource well.

4 A Well, we can certainly consider it. I
5 know that during the January 27th meeting you did --
6 I don't think that issue was raised at that time
7 that you actually wanted that well monitored.

8 However, Raser handed out that
9 sampling and monitoring plan. We could consider
10 adding that, but we have to take a look at where
11 it's located and how it would -- how it would play
12 into our monitoring. It's possible that we could
13 include it.

14 Q Wasn't the monitoring plan handed out
15 toward the end of that meeting?

16 A Perhaps. Yeah, we would consider that.
17 What's the name of the -- the official name of the
18 well?

19 Q AmeriCulture State 1.

20 A What we can do is kind of go back to look
21 at those locations on a plan because we do need to
22 get a plan that shows all of the monitoring points.
23 We might find that that well may be better -- a
24 better well to monitor than another well. We'll
25 look at it.

1 Q Thank you. I notice that as far as the
2 analytical suite, it includes bromide, but does not
3 include -- bromide is still bound up in the form of
4 a compound. Are you able or willing to include
5 that since it's native form --

6 A I think we have to wait until we get the
7 results of the aquatic toxicity test and do some
8 monitoring and decide what else we need to look at.

9 I think at that point where we
10 understand based on a snapshot, a background, and
11 we get an aquatic toxicity test back, we learn more
12 about those chemicals, and I think we'll have a
13 better idea of what compounds, if any, that we
14 might want to incorporate into the monitoring
15 scheme.

16 Q Given that bromide, the anion, bromide is
17 being proposed as being part of the analytical
18 suite, and also given that bromide is tied up in
19 the form of a Nalco compound, which would
20 presumably not be picked up by bromide analytical
21 method, which would subsequent break up into
22 bromide in the resource, are you going to add the
23 compound bromide for that reason since it could
24 ultimately become bromide --

25 A Well, we know bromides are very mobile,

1 kind of like chlorides. They're good indicators
2 for monitoring downgradient. We are monitoring
3 things like pH in the general chemistry so if
4 there's something going on anomalous, we're going
5 to see it in pH, TDS and stuff like that.

6 It might make us more cognizant of
7 what's going on there, and are we detecting a
8 chemical of concern. I don't want to commit to
9 anything upfront. We need to do some monitoring
10 first, get our aquatic toxicity test back, and see
11 what else we would monitor for.

12 I would just ask you, what would you
13 propose we monitor for based on your study of the
14 Nalco chemicals?

15 Q Well, provided there is an analytical
16 method to detect, bromide is bound up in the form
17 of a compound. We would propose that that
18 analytical method be added to the suite.

19 A It may include the full compound analyzing
20 the --

21 Q The full compound that is not resolved,
22 but actually in the form of bio-compound.

23 A We would have to assess that. That's a
24 good -- maybe a good point.

25 Q The question regarding the monitoring

1 wells, you mentioned during your testimony that you
2 would -- that samples are required provided the
3 monitoring well as fluid. One of the designs of a
4 monitoring well, one of the monitoring wells is
5 designed to have a 15-foot screen, with 5 foot of
6 screen above the water table.

7 Given that drawdown beyond that range
8 of the screens likely to occur very quickly once
9 production commences, how do you propose to still
10 sample water from those monitoring locations?

11 A Well, if there's no static water level
12 present, we may not be able to sample it at that
13 location, and we would have to make a determination
14 at that time on what we're going to do about it.

15 It may just be a simple installation
16 of a deeper well in the vicinity of that well to
17 make sure that we get down into the monitoring,
18 where the water is present to sample.

19 Q Accordingly, would the OCD be willing to
20 include in the permit application or the draft
21 permit, a provision to accommodate that possibility
22 so that the intent of the monitoring plan is still
23 achieved even though pre-designed monitoring wells
24 may go dry?

25 A I think it's inherent in our monitoring

1 program that if wells go dry, we have to probably
2 drill another one there so I don't see a need for
3 that at all.

4 Q I have a series of questions pertaining to
5 Title 20 of the New Mexico Administrative Code.

6 Your Honor, I'd like permission to
7 give Mr. Chavez and other counsel a copy of this?

8 HEARING EXAMINER: You may approach the
9 witness for that purpose. I would add that there
10 may be objections if you ask the witness about
11 questions of law, and we'll rule on those when they
12 arrive.

13 MS. ALTOMARE: I was actually going to
14 insert a standing objection to these that it's
15 going to ask for a legal conclusion or analysis.

16 HEARING EXAMINER: I think the
17 objection will have to go to specific questions.

18 You may approach the witness, and
19 counsel will provide copies as you indicated.
20 Hopefully, you have a copy for me, also, as my
21 regulations are out in my car, and I didn't bring
22 them in.

23 Thank you, sir.

24 Q (BY MR. SEAWRIGHT) Mr. Chavez, given that
25 Title 20 categorizes applications into new,

1 modified, or renewable applications, what do you
2 consider this application to be?

3 A A new application.

4 Q This is a new. I would like to draw your
5 attention to Section 3108, subsection B, which sets
6 out the notice and requirements.

7 HEARING EXAMINER: What section is
8 this?

9 MR. SEAWRIGHT: 3108, subsection B,
10 page 16.

11 Q Was the notice recently run in the local
12 newspaper and satisfied notification requirements
13 set forth in Section 3108, subsection B?

14 MS. ALTOMARE: I'm sorry. The notice
15 for what?

16 Q (BY MR. SEAWRIGHT) Was the recent notice
17 published in our local paper done to satisfy --

18 A For this public hearing?

19 Q Yes.

20 A No, I don't think it dealt with 3108. I
21 think it -- it deals with 3108, a separate
22 provision, and I think it's 3108, it's either "K"
23 or "L."

24 MS. ALTOMARE: Mr. Examiner, I'm going
25 to object. He's asking for testimony about the

1 process, the administrative process under an
2 interpretation of these regulations. He's asking
3 that of a technical expert witness.

4 MR. SEAWRIGHT: Your Honor, I believe
5 that this application is not properly noticed
6 according to Section 3108, and my question is
7 intended to reveal that.

8 MS. ALTOMARE: This witness wasn't
9 responsible for issuing notice.

10 HEARING EXAMINER: You're certainly --
11 you're referring as to the facts, and not
12 notification so I'm going to overrule the
13 objection. I believe the witness has given an
14 answer to the question anyway.

15 Q (BY MR. SEAWRIGHT) Are you aware, Mr.
16 Chavez, that --

17 A 3108L, I believe, is the public notice
18 process for this hearing. I believe it was
19 complied with. We issued public notice before 30
20 days in a newspaper, a widespread newspaper,
21 Albuquerque Journal, the local Hidalgo paper, on
22 our website for this hearing under provision L.

23 Q So your understanding is that under B,
24 which outlines various noticing requirements, that
25 that is not --

1 A That's for the initial application that
2 was submitted. We followed all of those to the
3 best of my knowledge. We followed, at that time,
4 for the initial administrative completeness for the
5 draft permit that was issued and public notice at
6 that time. We're not dealing with that under this
7 hearing process, to my knowledge. We're dealing
8 with subsection L, 30-day public notice.

9 Q Given our concern, let me understand this
10 particular line of questioning, given that we
11 believe that subsection B set forth the public
12 notification requirements for this application, are
13 you aware that no two foot by three-foot placard,
14 which was required in section B, was ever posted
15 for the new lot on the revised location --

16 A That's not my understanding at all. I
17 believe I received some photos showing the
18 locations where those signs were placed, and in
19 compliance with 3108B provisions.

20 Q Are you aware that no signs were placed --
21 ever placed at the location of current --

22 A I can only tell you I recall receiving the
23 photos from Raser or Los Lobos verifying that those
24 signs were placed, and where they were placed.

25 Q Are you aware that the current locations

1 have never been posted in that manner?

2 A The current locations of the wells -

3 Q The current locations --

4 A -- were posted in the original public
5 notice.

6 Q Yes.

7 A And we posted those in the original public
8 notice from the original application. What we've
9 come up since then is the fact that just because a
10 well location changes, doesn't mean they're out of
11 our regulations.

12 We have an administrative process for
13 approving any location that they drill out,
14 approving any well that they're going to drill
15 before they drill it.

16 Relocation of wells, again, we touched
17 on it earlier, we have an administrative process
18 for that. So to the best of our knowledge, we
19 published the locations that were provided to us by
20 Los Lobos.

21 As part of that process, we realized
22 that there may be some changes to those locations.
23 So what I've tried to do in this public notice is
24 to clarify there's an administrative process for
25 that, to allow that.

1 Q Mr. Chavez, isn't it true that the
2 flexibility that's built into the system, in order
3 to change the locations of these various wells,
4 comes into play after a permit has been approved?

5 A Absolutely. It's an ongoing process. Is
6 there drilling and they decide when they drill
7 their first well, they want to drill the next well,
8 40-1307 in a new location, they'll have to put
9 forth a G103 sundry notice with a G101, G102 with
10 the survey of the new location, and all the
11 information that's required under our regulations,
12 and must be approved by the OCD.

13 Q My last question on this subject is, so
14 you're saying that the ability to change the
15 location of the wells is admissible prior to the
16 issuing of a permit, although the locations has not
17 yet been posted according to the guidelines set
18 forth in the --

19 A Well, what I'm telling you is, what we
20 posted on the website and in the papers that we
21 were required to indicate the locations of those
22 wells at the time we posted it.

23 Q I understand.

24 A And what I'm telling you is that
25 subsequent to that, there were issues raised with

1 relocations and flexibility of relocating some of
2 those wells based on the nature of the geothermal
3 exploration process.

4 I guess I'm just indicating that
5 public notice was proposed for those well
6 locations, and we do have a regulatory process for
7 approving deviations to those locations so I don't
8 understand the point you're trying to make.

9 HEARING EXAMINER: Okay. You need to
10 move on.

11 MR. SEAWRIGHT: I'll move on.

12 HEARING EXAMINER: Go ahead.

13 Q (BY MR. SEAWRIGHT) Do you regard this
14 application to be administratively complete?

15 A I do.

16 Q And when was that determination?

17 A I believe May 28th when we posted on the
18 internet. In addition to deeming the application
19 administratively complete, there's a process of
20 receiving additional documents to shore up any
21 technical issues and any other items needed moving
22 forward in the permit process.

23 Q So, for the record, you do not believe
24 that a re-determination of notice of administrative
25 completeness should be required, although the well

1 locations were changed prior to the --

2 MS. ALTOMARE: Mr. Examiner, I'm going
3 to object. This is beyond the scope of direct.

4 HEARING EXAMINER: I'll sustain that
5 objection. Also, it's a question of what the
6 witness believes is required is really not
7 relevant. The question is what is required.

8 Q (BY MR. SEAWRIGHT) Mr. Chavez, the draft
9 permit authorizes the operation of five production
10 wells, production or developing wells. I just want
11 to verify that this does not mean that by the
12 issuance of this permit, that they are authorized
13 to produce up to 12,000 gpm of hot water?

14 A Verify what, now? That they're not
15 authorized?

16 Q Yes. If I may read you just the first
17 sentence in the cover letter for the permit.

18 Pursuant to WQCC regulations,
19 20.6.2.3104 through 3114, and I'm going to skip
20 over the parenthetical comments:

21 "The Oil Conservation Division hereby
22 approves the discharge permit for three class V
23 geothermal injection wells, and authorizes the
24 operation of five production or development wells."

25 My question is: Does this mean that by

1 the issuance of this permit, that the -- Raser is
2 permitted to produce from these wells, or is that a
3 subsequent process?

4 A That's a subsequent process with various
5 geothermal forms that are required to request
6 permission of the department. Once they prove the
7 resource is there, they log the geology, et cetera,
8 and done the adequate testing to show that that
9 high temperature geothermal reservoir in fact
10 exist.

11 Q Thank you. I'd like to now draw your
12 attention to the draft OCD permit. I'd like to
13 refer you to section 13 on page 6 which reads:

14 "The owner/operator shall close all
15 Class V wells that inject non-hazardous industrial
16 wastes or a mixture of industrial wastes and
17 domestic sanitary effluent wastes, unless it can be
18 demonstrated that groundwater will not be impacted
19 in the reasonably foreseeable future."

20 Mr. Chavez, based on this provision,
21 isn't it a fact that the burden of proof of
22 demonstrating that groundwater will not be impacted
23 in the reasonably foreseeable future rests on
24 Raser?

25 MS. ALTOMARE: I'm going to object.

1 He's asking for a legal conclusion.

2 HEARING EXAMINER: Yes. I think that
3 question of burden of proof is a legal conclusion.
4 Of course, Mr. Chavez drafted the permit so he
5 would be entitled to construe what the permit says.
6 So I'll overrule the objection.

7 THE WITNESS: Your question again?

8 Q (BY MR. SEAWRIGHT) Based on this
9 provision, isn't it a fact that the burden of proof
10 of demonstrating that groundwater will not be
11 impacted in the reasonably foreseeable future rests
12 on Raser?

13 A Yes.

14 Q Furthermore, based on this provision,
15 isn't it true that if Raser fails to demonstrate
16 that groundwater will not be impacted at the
17 injection wells, would be closed?

18 A Not necessarily. You know, there's
19 different types of treatment mechanisms. They
20 could go for national pollutant discharge
21 elimination system permit where they discharged the
22 waters of the State, but they have to do treatment
23 before they can discharge.

24 Likewise, they might have a different
25 type of treatment system where they could treat the

1 water inline, and treat it to acceptable standards
2 before they inject it into the injection wells.
3 There's a modification process, then there's a
4 termination process.

5 It's up to Raser to decide whether
6 they want to terminate, or whether they want to
7 treat and go for a minor modification to the permit
8 to address that.

9 Q I'd like to next draw your attention to
10 provision number 18 which reads regarding
11 unauthorized discharges:

12 "The owner/operator shall not allow or
13 cause water pollution, discharge, or release of any
14 water contaminant that exceeds the WQCC standards
15 listed in the section 20.6.2.3103."

16 What would happen if the groundwater
17 quality standards as set forth in that section
18 3108, if you could just walk us through that
19 process?

20 A Well, they're to notify us after they have
21 had exceedances within a certain, I think, 72
22 hours. In some instances, 24 hours. But for the
23 groundwater monitoring program, within 72 hours
24 after having knowledge of an exceedance, they're to
25 notify us of the problem so that we can determine

1 the magnitude of it, and what needs to be done in
2 the way of abatement.

3 Not necessarily any exceedance is
4 going to require abatement where you go out there
5 and you start treating. But we certainly need to
6 be notified so that we can assess what we need to
7 do based on the toxicity of the pollutant, et
8 cetera.

9 Yes, it may cause a shutdown in the
10 system.

11 Q Isn't it a fact that the groundwater
12 quality standard for fluoride is 1.6 milligrams per
13 liter? That's found in section 3108 in title 20.
14 3103, rather.

15 HEARING EXAMINER: Groundwater quality
16 standards for what?

17 MR. SEAWRIGHT: For fluoride. 3103,
18 page 4.

19 HEARING EXAMINER: You're speaking
20 "fluoride," not "chloride"?

21 MR. SEAWRIGHT: Fluoride.

22 HEARING EXAMINER: Thank you.

23 THE WITNESS: I'm just toggling over to
24 3103 just to clarify it. 1.6 milligram per liter.

25 Q (BY MR. SEAWRIGHT) Yes. Isn't it a fact

1 the groundwater quality standard with total
2 dissolved solids is 1,000 milligrams per liter?
3 This is found on page 13.

4 A That's correct.

5 Q Are you aware that AmeriCulture uses a
6 well having both domestic and aqua-culture use
7 permits that is a fluoride level of approximately
8 5.6 milligrams per liter as was mentioned in --

9 A I was not aware of that, but if it, in
10 fact, is that, then that would be a background
11 water quality issue, possibly.

12 Q I understand. The level today may be less
13 than that since that level was taken several years
14 ago.

15 Are you aware that that same well was
16 previously measured and the solids level of
17 approximately 1,000 milligrams per liter?

18 A I was not aware of that.

19 Q So the fluoride level of that well is in
20 excess of the human health standard for fluoride,
21 isn't it true that the baseline tends to be the
22 allowable limit for further -- and further
23 increases are prohibited?

24 A Not necessarily. We look at all
25 background, all wells that are monitored for

1 fluoride in the area as part of assessing whether
2 one anomaly at one location, you know. It's just
3 not one well that exceeds, and, therefore, the new
4 background limit is this. It may be an average of
5 several wells to establish a background fluoride
6 level over a regionally widespread area.

7 But it would certainly bring our
8 attention to the fact that, you know, we have a
9 level that exceeds our limit here, and it may be a
10 background limit.

11 Q Doesn't the Title 20 state that if an
12 existing background level exceeds the standard, the
13 human health standard, that that now becomes the
14 new standard and no further increase is permitted?

15 A Say that again?

16 Q Doesn't Title 20 specify that in the event
17 the background level of a contaminant is higher
18 than the maximum allowable level, no further
19 increases are allowed?

20 A It would certainly depend on the toxicity
21 of the compound or the element that we're talking
22 about. If it's more -- if it's a chloride, more of
23 an aesthetic water quality value, you know, it may
24 have different connotations than trichloroethylene,
25 for example, being a background. That probably

1 wouldn't be allowed. Any toxic chemical under the
2 definition of WWW is not allowable.

3 All I would respond is that if it has
4 anything to do with human toxicity, carcinogenic,
5 then there might be concerns with that point.
6 Otherwise, background would be established through
7 multiple wells, and/or the use of localized.

8 Q Are you aware the fluoride content in the
9 water that Raser referenced in its public notice
10 contains nearly 10 million grams per liter of
11 fluoride?

12 A I perused that list briefly during the --
13 looking over the application. I didn't pay a whole
14 lot of attention to that yet because we have a
15 provision for establishing background, and that's
16 kind of where I'm more interested here. What is
17 background? What are the fluoride limits at each
18 location? So, I guess, no.

19 Q Are you aware that if that water were to
20 mix with the water that you referenced from our
21 Federal well, the 5.6 milligrams per liter, and the
22 resulting level of fluoride drawn from that water
23 to increase both basins, that would constitute a
24 violation of WQCC --

25 A It possibly could once we establish

1 background and it exceeds that, then that's going
2 to be a problem, possibly.

3 Q I'd like to refer, again, to the proposed
4 permit. This is in provision 20, section B,
5 subsection Roman numeral VIII, which reads:

6 "The owner/operator shall notify the
7 Santa Fe OCD office within 72 hours of its
8 determination that the concentration of the monitor
9 well sample exceeds the greater of the standards
10 specified in section 3103 or background."

11 A "Or if any toxic pollutant is present."

12 Q Am I correct that in my reading, that in
13 the event that WQCC standards are exceeded, that
14 OCD is merely to be notified, or are there
15 consequences specified in this permit?

16 A I believe there are consequences for
17 corrective action, you know, in the event of an
18 exceedance. Again, once we're notified, that's
19 what our determination is to be, whether there
20 needs to be some type of abatement of groundwater
21 under 20.6.2 NMAC.

22 Q I was unable to find those consequences.
23 Would you direct us to those, please?

24 A Well, one section that I know kind of
25 addresses that is section 3, the permit terms and

1 conditions. Pursuant to WQCC regulations, 3104:

2 "When a permit has been issued, the
3 owner/operator must insure that all discharges will
4 be consistent with the terms and conditions of the
5 permit, abide by the rules and regulations."

6 Section 15 deals with spill reporting.

7 "Owner/operator shall report all
8 unauthorized spills, leaks or releases, and shall
9 conduct corrective actions pursuant to WQCC
10 regulations, 20.6.2.1203."

11 Q What section are you reading from?

12 A Section 15, the spill reporting section.
13 So therein is the key mention or reference to the
14 corrective action that may possibly occur in the
15 event of a -- what we consider a release.

16 Q In reference to both the paragraphs that
17 you just referred us to, would you please read for
18 us the specific language that would set forth the
19 consequences beyond the simply not --

20 A "Spill reporting: Owner/operator shall" --

21 Q Where are you?

22 MS. ALTOMARE: Mr. Examiner, I'm going
23 to object. I think he's asking for a legal
24 conclusion. I think what he's actually referencing
25 is Regulation 3109, subpart E. It's getting into

1 how this permit is interpreted, and relates to the
2 regulations. One is actually a violation,
3 actually. Once a violation occurs on the permit.

4 MR. SEAWRIGHT: Your Honor, there's
5 conspicuous absence of any consequences other than
6 simply notifying the OCD. If it's a toxic
7 substance, there has been specifications that are
8 set forth that it's to be shut in. I do not see
9 any formal consequence other than notification
10 requirement if WQCC regulations are violated.

11 HEARING EXAMINER: The witness prepared
12 the exhibit, so he can testify to its contents.
13 I'll overrule the objection.

14 THE WITNESS: I think it's inherent in
15 our reporting and notification process that once we
16 get that notification, we assess the urgency of the
17 situation, and we implement either abatement, or
18 corrective action under our regulations. It's
19 inherent in the process.

20 We can certainly add language that
21 would add what you're saying that "shall abate
22 and/or," you know, stuff like that. We could do
23 that.

24 Q Would you add language accordingly?

25 A Yes, we could consider adding that to

1 section 15 that deals specifically with the report.

2 Q The stipulation that I referenced in
3 provision 20, this relates to the water supply
4 wells, does it not, as well as the monitoring well?

5 A Section 20 deals with all of the wells
6 with the exception of Table 2, the development
7 wells and production wells that are listed under
8 Table 2, and dealt with under Section 21. So it
9 includes ditches and things like that, holding
10 ponds.

11 Q In the event an abatement effort is
12 required, who would finance that?

13 A That would be the responsibility of the
14 owner/operator if, in fact, it's from their -- they
15 are the source. I gave an instance where they
16 might take a sample from AmeriCulture and they
17 might find an anomalous hit there. They might have
18 to report, "Hey, you've got free product in this
19 well," and it may not be their responsibility. It
20 may be us coming to you on that or some other well
21 owner.

22 Q Provided an abatement effort as a result
23 -- on the Raser production results, are you willing
24 to include a provision in the permit that assures
25 that the financial resources necessary to carry out

1 that abatement are imposed?

2 A I think that's inherent in the
3 regulations. I'm not a lawyer, so that's out of my
4 purview.

5 Q I'd like to refer you to Provision G.

6 A G of -- Provision G of what section?

7 Q It's -- I'm referring to the draft permit.

8 HEARING EXAMINER: Section 21?

9 MR. SEAWRIGHT: I apologize. Yes,
10 that's correct.

11 HEARING EXAMINER: Page 13?

12 MR. SEAWRIGHT: Yes.

13 A This reads: "The owner/operator shall
14 ensure that the operating surface injection and/or
15 test pressure for each injection well measured at
16 the wellhead shall be at a flow rate and pressure
17 that will not adversely affect public health, the
18 environment, and the correlative rights of any
19 future geothermal operators in the high temperature
20 geothermal reservoir."

21 Will the OCD consider the inclusion of
22 the language in quotes, "or others having
23 correlative rights," after the statement of
24 correlative rights on line 4?

25 A After the statement "correlative rights"

1 on the fourth --

2 Q It's states: "Environment and the
3 correlative rights of any future geothermal
4 operators."

5 Will you consider after the end of the
6 word "high temperature," to include "or others
7 having correlative rights," given that AmeriCulture
8 has a current State geothermal lease with the State
9 of New Mexico?

10 A I think that's something that I would have
11 to defer to legal counsel on.

12 Q Will AmeriCulture have access to the
13 monitoring data?

14 A Absolutely. It will be on OCD online, all
15 monitoring reports, all forms that are submitted.
16 Everything associated with the project will be
17 under GTHT 1, under OCD online where all the
18 information is now.

19 Q I notice that the sampling frequency set
20 forth in the monitoring plan, at least for water
21 supply wells, is annual. Given that potentially
22 agree that environmental consequences of an
23 environmental contamination, the potential for
24 abatement, will OCD consider more frequency for
25 reporting for certain compounds, not for just the

1 suite, perhaps --

2 A I guess right now the answer is "no."
3 Depending on what we see throughout this monitoring
4 process, we may add, depending on what we think is
5 going on there.

6 Right now, Raser is basically
7 indicating based on their process that we're not
8 going to exceed any of the water quality standards.
9 The onus is on them to show us that, and they're
10 certainly going to have to prove that. Once they
11 prove that to us, then we're going to go to annual
12 monitoring, and that's the need for quarterly,
13 semi-annual.

14 Water only travels so fast, so annual
15 is going to be more than adequate for that area,
16 right now, based on our sampling protocol.

17 Q In the event -- if, as a result of
18 AmeriCulture conducting analysis on its own water,
19 supply well water, how would OCD respond if we were
20 to provide you with the analytical data that showed
21 that WQCC regulations were being exceeded within
22 that interim time period?

23 A In one of your wells that's listed on our
24 monitoring program?

25 Q That was a sample independently.

1 A You're welcome to sample that as
2 frequently as you want. We would look at your
3 data, and look over the quality assurance, quality
4 control of your laboratory to make sure that it's
5 being analyzed in accordance with EPA standards of
6 protocol that are acceptable.

7 Q If those standards were to the
8 satisfaction of OCD, would OCD be willing to
9 include in the language of the permit a provision
10 that would trigger a full analytical suite outside
11 the normal time frequencies?

12 A I would say, no, right now. We'd have to
13 assess the situation on a case-by-case basis.
14 Right now we think we have an adequate monitoring
15 program in place.

16 Q If I could refer you to provision O of the
17 same section.

18 A Provision O of --

19 Q Page 15. It's on page 15, 21-0.

20 A Okay.

21 Q This provision basically spells out a bond
22 for plugging and abandonment and financial
23 assurances for shutting down the plant.

24 A For shutting down the what?

25 Q Shutting down the power plant. It says in

1 the last paragraph, and I read:

2 "If warranted, OCD may require
3 additional financial assurance for closure of the
4 power plant or facility."

5 Why, under a section denominated as
6 "Financial Assurance," is there no specifications
7 for Raser to cover financial costs of any abatement
8 efforts?

9 A Well, the only other section that I think
10 is applicable to this subsection 0 is 23, at the
11 closure. Where with the last sentence of section
12 23 under "closure" we reiterate again:

13 "OCD may require additional financial
14 assurance if surface water and groundwater is
15 impacted pursuant to WQCC paragraph 11 of 3107."

16 Q Where is this?

17 A This is under Section 23 of closure, the
18 last sentence.

19 HEARING EXAMINER: On page 17.

20 THE WITNESS: Page 17.

21 HEARING EXAMINER: Thank you.

22 THE WITNESS: Now, say your concern
23 again, Mr. Seawright? We've got it kind of listed
24 in a couple of places where we might -- we might
25 require additional financial assurance if we see

1 that this facility, under operation, there's
2 problems occurring that their best management
3 practices aren't being followed, they're having
4 releases, we're getting notifications and we see
5 that, "Gee, this operator, we're concerned because
6 they've had several discharges of salt water into
7 the ditch."

8 So we may include an additional
9 provision for additional financial assurance for
10 closure making sure that everything is cleaned up.
11 So that's what we're getting to there, I believe.

12 Q (BY MR. SEAWRIGHT) What provision in here
13 prevents a decision simply being made in a
14 boardroom that the cost of the abatement is too
15 great, and that the client just simply closed and
16 walked away from, and the potential contamination
17 remains unresolved?

18 A Well, I think that's what this financial
19 assurance is. We could opt to have a surface
20 facility management bond issued on the entire
21 facility. It just depends on how this project
22 operates, I think.

23 A lot has to do with that on our
24 decision to move forward with additional financial
25 assurance request per closure of all aspects of the

1 facility so the State doesn't get stuck holding any
2 bags.

3 Q I understand. Thank you. My questioning
4 now turns to the aquatic testing set forth in
5 Section 20.

6 HEARING EXAMINER: 20A?

7 MR. SEAWRIGHT: Yes, 20A.

8 Q You have a copy of the Title 20 that I
9 provided?

10 A Yes.

11 Q We can look as well, and if you can turn
12 to page 3 -- I'm sorry -- page 6 of Title 20.

13 HEARING EXAMINER: You're talking about
14 the regulations here?

15 MR. SEAWRIGHT: Yes.

16 Q I'd like to refer you to Title 20 under
17 the definition section on page 6, and I refer you
18 to the definition triple A, "water contaminant"
19 which reads:

20 "Water contaminant means any substance
21 that could alter if discharged or spilled the
22 physical, chemical, biological or radiological
23 qualities of water."

24 Mr. Chavez, isn't it a fact that water
25 contaminants includes substances that if

1 discharged, could alter the biological quality of
2 the water based on this definition?

3 A Yes, I think that's fair to say.

4 Q Given that the definition of contaminants
5 includes substances that affects the much broader
6 biological properties of water, such as spectron
7 (phonetically) physiology, general health, growth
8 and reproduction, does the OCD intend to consider
9 these parameters when contemplating approval of the
10 permit application?

11 A I believe we have. We're requiring the
12 aquatic toxicity test, and we're requiring the
13 monitoring that we're requiring. And then we're
14 going to monitor and see. You'll note, we also
15 include that WWW definition provision, toxic
16 pollutants, any detection of those.

17 Q Just walk me through the process here.
18 Suppose that a chemical contamination of our water,
19 as a result of Raser's activity occurs, and our
20 fish stop breeding. What would happen in that
21 case?

22 A I think we would have to certainly test
23 your wells. We'd have to come to terms with our
24 experts and our staff at our agency who may include
25 not only the OCD, maybe include the New Mexico

1 Environment Departments assistance.

2 Any type of assessment that it could
3 be related to the chemicals that may be added. If
4 that -- if it's the chemicals by Nalco and/or some
5 other operational issue at the facility.

6 Q Are you aware that in such a theoretical
7 instance, that we would be out of business because
8 our fish would not breed?

9 A That's the reason why we're going to the
10 -- not the only reason through the steps of this
11 permit, but that's one of the reasons we're
12 requiring the aquatic toxicity testing and the
13 monitoring that we are comprehensively across the
14 site.

15 Q Are you aware that our primary concern,
16 although we commend the OCD on the inclusion of
17 aquatic toxicity testing, that other sub-lethal
18 issues are a concern to AmeriCulture?

19 For instance, have you ever heard of
20 skeletal fluorosis? It's a debilitating phenomenon
21 found in Tilapia grown in waters containing
22 fluoride levels as low as 9 milligrams per liter,
23 the approximate fluoride level in the water
24 referenced in the public notice?

25 A I'm not, but that's one of the parameters

1 that we may need to be concerned about depending on
2 what we see from the aquatic toxicity testing and
3 monitoring. Remember, it's not just specific
4 chemicals that we're monitoring for.

5 As I indicated earlier, we're looking
6 at general chemistry, any changes to pH that's
7 emanating downgradient from the facility, we're
8 going to be detecting.

9 We're going to have an early detection
10 system, and if we feel that, again, based on
11 monitoring the aquatic toxicity data, further
12 evaluation of our monitoring program that we need
13 to add certain chemicals to indicate that, "Gee,
14 this is a biological -- having a biological
15 migration, it's going to -- that could be
16 responsible for your fish."

17 Q You're referring to sub-lethal affects
18 here, then, because aquatic toxicity --

19 A I'm not going to go into all the sub-
20 lethal, lethal, Food & Drug Administration.
21 Nothing. What we have is what we have in our
22 monitoring program, and we'll assess the situation
23 at the time of monitoring.

24 Q Are you aware that aquatic toxicity
25 testing deals only with killing fish, not other

1 things?

2 A Well, I do recall that Nalco had some
3 other aquatic toxicity testing of other specimens,
4 and they felt that was good enough, the fathead
5 minnow, and stuff like that and other species.

6 In order to address your concerns,
7 mainly the concerns of AmeriCulture, we've included
8 the stipulation of an aquatic toxicity test, and
9 that's where it's at now.

10 Q So you're saying --

11 A Sub-lethal, all of the things you're kind
12 of mentioning there, I mean, it's kind of
13 meaningless right now to me. I mean, until we
14 start getting the data back and start researching
15 the data and looking at our monitoring and seeing
16 what we're dealing with here.

17 Q Are you aware that the results of the
18 aquatic toxicity test will have no impact on
19 whether or not in sub-lethal consideration our fish
20 are considered safe and wholesome by the Food &
21 Drug Administration?

22 A Well, we are monitoring our wells looking
23 for general chemistry. We're looking for metals,
24 anything that could potentially be deleterious to
25 fish.

1 Q Walk me through this process if you would.
2 Suppose that as a result of chemicals that are
3 injected by Raser, the safety and wholesomeness of
4 our fish are brought into question and are regarded
5 as unsalable to the FDA. What would happen in that
6 case?

7 And, is the OCD willing to, without
8 referring to aquatic toxicity testing which has
9 nothing to do with safety and wholesomeness, it has
10 to deal with mortality, would the OCD be willing to
11 consider a provision to protect the business that
12 relies on the purity of this water in its current
13 state?

14 A Our job is to protect surface and
15 groundwater there, and that's what our program is
16 intending to do. In the event the fish are killed
17 at your place, I mean, there would have to be an
18 investigation.

19 There could be numerous explanations
20 for it. Maybe a worker who was daydreaming may
21 have added too much chemical. Maybe somebody had
22 ulterior motives.

23 We certainly look at all the
24 environmental aspects of the facility based on our
25 process, knowledge of the chemicals used there, all

1 the monitoring that we're doing, and try to assess
2 that as part of the investigation.

3 I don't know what you're trying to --
4 what are you trying to get us to do? I mean, you
5 have a fish kill. Do you want us to take ownership
6 of that?

7 HEARING EXAMINER: Excuse me. The
8 witness can't ask questions.

9 THE WITNESS: Oh, okay.

10 MS. ALTOMARE: I'm going to object at
11 this point as going beyond the scope of the
12 hearing. The goal is to address water quality
13 issues within the confines of the Water Quality
14 Control Commission regulations. I think we're
15 straying beyond that.

16 HEARING EXAMINER: Well, I think I will
17 sustain the objection for this reason: The only
18 witness, to my understanding has been designated,
19 is that the protestant is a geologist, and no one
20 with toxicological expertise or expertise in Food &
21 Drug Administration requirements has been
22 designated.

23 If there are water pollutant concerns
24 that need to be addressed by the OCD other than
25 those that have been identified or have been

1 identified by the Water Quality Control Commission
2 to promulgate standards, or those that are apparent
3 from water usage in the vicinity, it seems to me
4 that this specialized information would be the
5 knowledge of the protestant.

6 It would be protestant's burden of
7 bringing those to the hearing process. I'll
8 sustain the objection.

9 Q (BY MR. SEAWRIGHT) Does the analytical
10 suite which specifies pH include turbine oil that's
11 commonly used?

12 A If it floats on groundwater. I mean, it
13 would show up in a floating product, I presume. If
14 it's missable and it mixes with groundwater, then I
15 think we detect it in other ways through general
16 chemistry monitoring pH, so forth; specific
17 conductivity, TDS.

18 MR. SEAWRIGHT: I'm done with my
19 questions. Thank you, Mr. Chavez.

20 HEARING EXAMINER: Redirect? Well, no.
21 I guess I should -- I think I'm going to not ask
22 any questions of this witness at this time because
23 I have not had the opportunity to study this
24 permit, although I've heard what's been said about
25 it today. I really not fully grounded with its

1 requirements.

2 MS. ALTOMARE: I'd like to just clarify
3 one point that I think might make things a little
4 bit easier.

5 **REDIRECT EXAMINATION BY MS. ALTOMARE**

6 Q I'd like to draw your attention, Mr.
7 Chavez, to section number 5, which is on the very
8 first page of the actual permit modifications?

9 A Yes.

10 Q This section actually sets out the -- my
11 understanding is that this section sets out for the
12 entire permit, basically, what happens when a
13 modification or a change needs to be made for any
14 reason for the permit; is that right?

15 A That's one section that allows it. I know
16 that we have a provision for inspections. We can
17 do an inspection, and based on that inspection, we
18 can immediately implement a new monitoring
19 requirement. There's a lot of flexibility built
20 into this permit to address day-by-day items.

21 Q Right. But specifically in this section,
22 this section allows the Division Director -- it
23 says:

24 "The Division Director may require a
25 permit modification if any water quality standards

1 specified is being or will be exceeded or a toxic
2 pollutant as defined by the regulations is present
3 in groundwater."

4 In other words, if a violation of a
5 permit is discovered, if something is recorded
6 pursuant to this permit to the OCD as exceeding a
7 standard that has been set by this permit, this
8 would be the provision that we look at, one of the
9 provisions that we look at, as to how to go forward
10 with the modification of the permit?

11 A That's correct. Especially if it involves
12 treatments and/or monitoring new elements or
13 compounds. It may be a minor modification process
14 to the permit.

15 Q So Mr. Seawright's question as to how --
16 what do we do once we get the information regarding
17 reports from the operator as to an exceedance of a
18 particular level of a monitoring well, for
19 instance, this would be one of the sections that we
20 would look at as to how to modify the permit?

21 A After we're notified under Section 15,
22 that may be a consideration for us.

23 Q And in this particular section references
24 several different regulations under the WQCC regs
25 that set out the processes for modifications of the

1 permit?

2 A Absolutely. A good example, again, is if
3 Raser can't meet those injection criteria
4 standards, they might need to go to treatment, and
5 the modification would allow that to occur while
6 they're shut in conversing it.

7 Likewise, there's a provision for
8 termination if Raser so chooses to terminate the
9 permit at that point. So it's either modification
10 or termination of the permit if we can't meet those
11 water quality standards.

12 Q I just wanted to clarify with regard to
13 how modifications take place if something comes
14 back anomalous.

15 A There's an official process for it.

16 MS. ALTOMARE: That's all I have.

17 HEARING EXAMINER: Anything further,
18 Ms. Munds-Dry?

19 MS. MUNDS-DRY: Nothing further.

20 MR. SEAWRIGHT: Can I ask, who are you
21 going to contract with to do the aquatic toxicity
22 testing?

23 THE WITNESS: It's not us, it's who is
24 Raser going to contract.

25 HEARING EXAMINER: Okay. Is there any

1 member of the public who wants to make a comment?

2 MS. PETERSON: I would like to, sir.

3 HEARING EXAMINER: Please do.

4 MS. PETERSON: I'm Louise Peterson.

5 Mr. Seawright, I want to commend you
6 if the water quality is wrong, I'm glad you brought
7 these things forward.

8 If these meetings are to put a hurdle
9 down so that we stop economic development in our
10 area, then I'm very sad. Because two years ago the
11 County backed you 100 percent in a project that you
12 wished to do, and I would wish that you would pass
13 this down to Raser, and let's try to get together
14 and go forward.

15 Also, I would like Your Honor to know
16 that the water in the area of this place, the
17 people that have lived there forever, my father
18 used to own part of that farm area. The water is
19 not very palatable for drinking, and the fluoride
20 is very high. The ranchers that live in that area
21 all have brown teeth.

22 So I want you to know that this is not
23 something that is a new thing, the fluoride
24 content, and I thank you very much.

25 HEARING EXAMINER: Thank you.

1 MR. SEAWRIGHT: Under Commission rules,
2 am I allowed to comment at this time?

3 HEARING EXAMINER: Since the witness
4 was not giving sworn testimony but merely making
5 comments, cross-examination is not permitted.

6 Any further public comments? Very
7 good. Let us take a lunch recess until 12:45 then
8 we'll proceed with the protestant's case.

9 MS. ALTOMARE: Is Mr. Chavez excused,
10 or do you expect to have more questions for him?

11 HEARING EXAMINER: Pardon me?

12 MS. ALTOMARE: Is Mr. Chavez excused,
13 or do you expect to have more questions of him?

14 HEARING EXAMINER: He will be excused
15 at this time unless he is recalled by another
16 party. He will be allowed to step down. He will
17 not be excused.

18 MS. ALTOMARE: Thank you.

19 (Lunch recess.)
20
21
22
23
24
25

1 TUESDAY, APRIL 7, 2009, 1:05 P.M.

2 -0-

3 HEARING EXAMINER: I believe everyone
4 we need is here. Okay.

5 Ms. Altomare, is your presentation
6 concluded?

7 MS. ALTOMARE: Yes.

8 HEARING EXAMINER: Okay. Mr.
9 Seawright.

10 MR. SEAWRIGHT: I call Jim Witcher as a
11 witness.

12 JAMES WITCHER,

13 (Having been first duly
14 sworn, testified as follows:)

15 DIRECT EXAMINATION BY MR. SEAWRIGHT

16 HEARING EXAMINER: You may proceed.

17 THE WITNESS: Thank you. What I'd like
18 to do is make a brief presentation that covers some
19 of the stuff that has taken place at prior hearings
20 and give you a few other comments that I have.

21 What I'd like to do is start off at
22 this point to the geoscience deficiencies in this
23 application. First of all, there's been no
24 reservoir identified, so we don't know where this
25 water is going to be injected.

1 We don't know the permeability of
2 hydraulic properties of that water, where it's
3 going to be injected, nor do we know anything about
4 the chemistry of actual water that's going to be
5 produced, and actual chemistry of water that's
6 going to be injected.

7 Another thing that's key to this is
8 just a very basic cross section of what the geology
9 in the subsurface looks like. When you start
10 looking at permeability issues and hydraulic
11 conductivity, you need to know something about that
12 to plan a monitor well.

13 If you don't know where the site your
14 monitor well with respect to your injection wells
15 and your production wells, then you can't account
16 for either the drawdown or the rise of water levels
17 that may take place.

18 For instance, today we heard that the
19 monitor wells were gong to be sited where they have
20 10 feet below in the water table and 5 feet above.
21 If these are sited in the wrong places, those
22 monitor wells will disappear from view of your
23 monitoring of that water table within hours after
24 turning on those production wells, certainly,
25 within 48 hours or a week. So you've lost the

1 ability to deal with that because there is no
2 information here to develop a monitoring plan or an
3 injection plan with the current application.

4 What I'd like to do is go through a
5 summary here. One of the things that was brought
6 up earlier is some of the results of the meeting
7 that took place in Santa Fe. It's not the total
8 picture. I didn't talk about just a particular
9 structure for AmeriCulture. We didn't talk about a
10 particular reservoir issue there. We have talked
11 about several issues.

12 One that goes back that we do not know
13 where this water is going to come from. It's been
14 stated several times that production is going to be
15 done out of the Horquilla limestone that is
16 currently being produced by AmeriCulture and
17 Burgett. Isotopically it's incompatible.
18 Chemically it's incompatible. It has to flow
19 through a rhyolite, and a rhyolite only.

20 So there's no understanding here of
21 the sub-surface geology. So how can a disposable
22 plan be put in place? How can a monitor plan be
23 put in place when you don't even have a basic
24 framework to work around?

25 Another thing that's happened is

1 several times it's come up that we don't know what
2 we're talking about here in New Mexico because
3 there's experts from out of state like GeothermEx.
4 Well, none of these people have shown up on site to
5 give testimony. They have written reports, but
6 none of these reports have been put into play where
7 we can evaluate and comment on them.

8 Current state of knowledge. The
9 natural heat loss on this system is less than 10
10 Mwt. So when you're talking about a 20 MW power
11 plant, that immediately brings that into real
12 question. The up flow zone for this system is very
13 small. It probably covers an area a little larger
14 than a few acres in cross-sectional area from the
15 surface.

16 We have talked about fluid chemistry.
17 That big northwest fracture created some ground
18 preparation. That's a young fault out there that
19 reopened these fractures, and this is where your
20 current geothermal system is.

21 Problems. One of the problems with
22 this is that 12,000 gpm. I have yet to see a study
23 that shows that this is anywhere close to being
24 sustainable of 12,000 gpm over a small an area.
25 When you're producing and injecting in the same

1 place, you're going to have thermal breakthrough.
2 You're also going to have interference with a lot
3 of other wells.

4 So what that results in is a
5 degradation of water quality, chemical quality,
6 and, also, temperature. I view temperature as a
7 water quality issue when you are talking about a
8 geothermal system and --

9 MS. ALTOMARE: I'm going to object at
10 this point. Temperature is not considered to be a
11 water quality issue. The things that are listed on
12 here are not issues within the scope of this
13 hearing or within the scope of the discharge permit
14 process. They are things that should be considered
15 for later processes.

16 There are administrative processes in
17 place for consideration of geothermal rights, water
18 rights. The issues that are being addressed here
19 on this screen and by Mr. Witcher to the extent
20 that his testimony deals with geothermal rights and
21 geological issues, I would object to that.

22 HEARING EXAMINER: I acknowledge that
23 the Geothermal Resources Act issues and anymore
24 water rights issues are not before us in this
25 proceeding, but subject to that, I'll overrule the

1 objection and allow the witness to testify as he
2 sees fit.

3 MS. MUNDS-DRY: We'll let Mr. Witcher
4 have some latitude in presenting here, but I, also,
5 object to responding to things that took place at
6 the last hearing. They have already had their
7 opportunity to discuss these issues.

8 Now we seem to be re-treading back
9 into those issues that we dealt with in that
10 hearing, rather than focusing on the subject of
11 this draft permit.

12 MR. SEAWRIGHT: Mr. Examiner, there's
13 been a steady flow of references to the prior
14 hearing.

15 MS. MUNDS-DRY: I want to make sure we
16 are focused on this draft permit here which is the
17 subject of this hearing.

18 HEARING EXAMINER: Overruled.

19 You may continue.

20 THE WITNESS: I think to continue with
21 some thoughts that you had with the objections is
22 this: How can a disposal plant be permitted when
23 there is not a geologic framework identified to do
24 this?

25 One of the ways that you can look at

1 this, also, is if you do not have a sub-surface
2 knowledge of where your casing points are going to
3 be, how do you design a well or monitor well or
4 injection well to safely inject that fluid or
5 produce that fluid?

6 You have to have solid fluid to place
7 those casings points and nowhere to cement. This
8 kind of knowledge is currently not known. The only
9 way you get that is by drilling test holes. Then
10 the process would be to go to a disposal permit.

11 I have some comments on draft permits.
12 I think once that's identified up above, the
13 earlier version that I saw was they were going to
14 require your intermediate casing to be cemented
15 back to the surface. That's not a necessary thing
16 in a geothermal well, and that's not something that
17 you really want to do.

18 For instance, if your surface casing
19 is a 13-3/8ths casing and you run an intermediate
20 casing strings of 9-5/8ths all the way back to the
21 surface and cement back to the surface, you're not
22 going to be able to put in a high production pump
23 in that well because a high production pump is
24 going to require a 13-3/8ths casing.

25 So what you do is you hang that 9-

1 5/8ths casing inside the 13-3/8ths casing and you
2 hang it up sufficiently high enough, then you go
3 back inside, cement it up, and you're in business
4 again.

5 So I think that that was something
6 that was necessarily necessary to be there. That's
7 something that is certainly in Raser's paper, but I
8 view that as a geothermal person as we all need to
9 have that understood by OCD that that's not a good
10 way -- a good requirement for a geothermal well.

11 The other thing is that I didn't see a
12 requirement for a nested monitor well, or I didn't
13 see how that was going to be designed. What I did
14 see were wells that were designed to show 10 feet
15 of shallow monitor wells, 10 feet below the static
16 water table, and 5 feet above. That really doesn't
17 address the deep issue of injection on the overall
18 aquifer. It also presents a problem with the
19 shallow monitor wells when you have drawdown that
20 you end up losing access to samples of that
21 aquifer.

22 I guess our concern is how can a
23 disposal permit be approved when no definitive
24 information exists on the reservoir? It seems to
25 me it's applied on imaginary wells, and imaginary

1 reservoirs, and imaginary injection, and imaginary
2 production. This information is not known.

3 With that, that concludes what I have
4 to say.

5 Q (BY MR. SEAWRIGHT) Mr. Witcher, have you
6 been tendered as a witness in prior hearings as an
7 expert in geothermal hydrology of the Animas Basin?

8 A Yes, I have.

9 MR. SEAWRIGHT: I'd like to tender Jim
10 Witcher as an expert in geothermal issues and
11 hydrology related to Lightning Dock.

12 HEARING EXAMINER: I didn't hear you.

13 MR. SEAWRIGHT: I'd like to tender him
14 as an expert.

15 HEARING EXAMINER: I understood that.
16 You faded out at some point in terms of listing all
17 the things he was an expert in.

18 MR. SEAWRIGHT: I would like to tender
19 him as an expert in accordance with his prior
20 tendering as an expert in geothermal issues and
21 hydrology in Lightning Dock.

22 HEARING EXAMINER: Any objection?

23 MS. MUNDS-DRY: I don't remember how he
24 was qualified the last time. I don't remember
25 being specific to the Lightning Dock area. I guess

1 I wouldn't have a problem if it was in geothermal
2 resources, but specific to this area, that's where
3 I'm having a little trouble.

4 HEARING EXAMINER: Ms. Altomare.

5 MS. ALTOMARE: I have no objection to
6 him being represented as an expert to whatever
7 foundation was laid in the prior hearing. I don't
8 recall.

9 MR. SEAWRIGHT: That's what we're
10 asking.

11 HEARING EXAMINER: As I recall his
12 testimony in the prior hearing, he testified to
13 considerable expertise in geology of a general
14 area. I don't know how specific it was, but I will
15 accept him as an expert.

16 THE WITNESS: I do have prior review
17 papers published on Lightning Dock area.

18 HEARING EXAMINER: I will accept him as
19 an expert in geology in this area, and, also,
20 geothermal issues.

21 You may continue.

22 Q (BY MR. SEAWRIGHT) Mr. Witcher, what are
23 the key changes that you would make to proposed
24 permit to address some of the issues that you've
25 raised?

1 A I think rather than having a disposal
2 permit permitted at this time, I would include
3 permitting test wells and full evaluation of that.
4 Then when that developed -- that information is
5 developed, then seeing a permit for injection and
6 disposal occurs after that.

7 I believe that a full accounting of
8 information needs to be gathered on the deep sub-
9 surface and on some of the shallow sub-surface
10 before an adequate plan can be even developed.

11 In my experience with geothermal
12 systems across New Mexico that aren't developed for
13 direct use, there's two that I think of now that
14 actually inject and dispose of geothermal fluids.
15 The way they have done their permitting, they drill
16 production wells and drill test wells and then
17 permitted the injection.

18 I think specifically the operation in
19 Radium Springs, and the NMSU geothermal system in
20 Las Cruces when it was operating as a direct-use
21 heating system, that's the way that permitting
22 procedure occurred.

23 Q In your opinion, do you believe that their
24 production objective would result in excessive
25 overtake from geothermal resource? By that, I mean

1 would result in the extraction of thermal energy
2 beyond the resources' ability to sustain --

3 MS. MUNDS-DRY: Objection. That has no
4 relevance to this hearing.

5 HEARING EXAMINER: I believe that's a
6 correct observation. You may respond if you want
7 to, but Geothermal Resources Act issues are not
8 involved in these proceedings, is my understanding.

9 MR. SEAWRIGHT: I would agree to that
10 statement, but to the exception this evidence is
11 proposed as a production injection, and where the
12 production and injection cannot be considered
13 independently with regard to water quality
14 considerations.

15 HEARING EXAMINER: I'll sustain the
16 objection.

17 Q (BY MR. SEAWRIGHT) Mr. Witcher, with
18 regard to AmeriCulture's Federal well number 1, and
19 the written text written by John Shomaker, Raser's
20 hydrogeological expert, do you have any concerns
21 with the injection of injecting from this power
22 plant in a zone intermediate of the bottom of our
23 production wells and the top of the geothermal
24 reservoir?

25 A I do, and that's actually a part of that

1 -- there's two concerns: One, we don't know that
2 there's a confining caprock at depths that we can
3 stuff that fluid in where it wouldn't, at some
4 point in a very short time, encounter production
5 out of the state or the AmeriCulture Federal 1
6 well.

7 The other issue is that with 5,000 gpm
8 injected into a well at 600 feet away from the
9 AmeriCulture Federal well, 5,000 gpm with any
10 reasonable range of transmissivity that's known in
11 that area, the water is going to be flowing out of
12 Federal well in a very short period of time.

13 The amount of water that's injected
14 there, 5,000 gpm, is a lot, and a well nearby where
15 the water table is only 80 to 100 feet deep, water
16 levels from that injection at 5,000 gpm with any
17 reasonable transmissivity is going to be very high.

18 So there's going to definitely be a
19 chemical degradation.

20 Q So does the -- their proposal to inject at
21 a location above potential confining caprock is of
22 concern to you?

23 A Absolutely.

24 Q Should it be allowed?

25 A It should not be allowed at that location.

1 MR. SEAWRIGHT: That's the end of my
2 questioning, but I would like to enter this power-
3 point presentation as Exhibit 1.

4 HEARING EXAMINER: Do you have a hard
5 copy?

6 MR. SEAWRIGHT: I do.

7 MS. ALTOMARE: I'd like to reassert my
8 objection that this exhibit is not relevant to the
9 scope of this hearing.

10 HEARING EXAMINER: Okay. Objection
11 overruled. Exhibit A -- Exhibit No. 1 will be
12 admitted.

13 MR. SEAWRIGHT: Thank you. I'm done
14 with my direct.

15 HEARING EXAMINER: Very good. I guess
16 Ms. Munds-Dry should be the next to question the
17 witness.

18 You may question the witness.

19 **CROSS EXAMINATION BY MS. MUNDS-DRY**

20 Q Mr. Witcher, your recommendation that
21 Raser be required to drill test wells before any
22 production or injection wells, do I understand that
23 correctly?

24 A My recommendation would be that test wells
25 be drilled and then be tested before a disposal

1 permit be issued, and monitor wells be identified
2 as to location and design.

3 Q You understand that in the conditions in
4 the draft permit now requires extensive testing and
5 monitoring before Raser is allowed to inject or
6 produce?

7 A I understand that, but one of the problems
8 with that is that if you don't have test
9 information at sub-surface, you can't properly
10 design a monitor test well.

11 For one, you don't know where your
12 casing points are. The other, you don't know where
13 to place your springs. You have to have some basic
14 hydrogeologic information to be able to do that.

15 Q Isn't your argument a little bit chicken
16 and the egg?

17 A No, it's not chicken and the egg. It's
18 the other way around. It's that Raser is trying to
19 create a chicken without laying an egg in terms of
20 placing a monitor plan in place and a disposal
21 permit in place.

22 I don't understand how you have a
23 disposal plan when you don't even know what you're
24 going to inject, and where you're going to inject
25 it, and what's going to protect that injection from

1 the environment.

2 Q I don't know which slide it is, but you
3 stated that geothermal is hydrostatic. Let me see
4 if I can find this page. I don't recall. If you
5 recall from your presentation where that was?

6 A The comment that was given stating
7 geothermal from oil and gas, a typical oil and gas
8 situation --

9 Q So were you distinguishing between oil and
10 gas wells?

11 A Yes. Geothermal resources traditionally
12 are close to hydrostatic in pressure. They may be
13 even under pressure. The geysers in California are
14 pressured. They may flow Artesian, but that
15 pressure that's causing that flow is not great.
16 It's not like you have thousands of PSI pushing out
17 of the ground.

18 Q Are you aware that high pressure wellheads
19 are used in many fields to control pressure?

20 A Those aren't used to control pressure.
21 What those are used to control is steam pressure
22 and that's what that is. It's steam pressure when
23 this hot water comes up the borehole, then you get
24 pressure. This is why you use blowout prevention
25 equipment when you are drilling high temperature

1 wells.

2 It's not because that well has a
3 formation pressure that is overpressured, it's
4 because if it flashes to steam, then you have to
5 have a way to control it. One of the ways that you
6 do control it after it does flash into steam, is
7 you have valves down there to control that and
8 that's the way it works.

9 MS. MUNDS-DRY: No further questions
10 for Mr. Witcher.

11 HEARING EXAMINER: Ms. Altomare.

12 **CROSS EXAMINATION BY MS. ALTOMARE**

13 Q Mr. Witcher, you have a list in the draft
14 permit that you've itemized here in your
15 presentation. Were some of these that you've
16 itemized things that you noticed in previous drafts
17 of the proposed permit?

18 A The well construction information that I
19 have that is from the previous draft, because I was
20 looking at the one passed out today and I didn't
21 see that in three, but I prepared this ahead of
22 time.

23 Q So some of these things have been
24 addressed by the most recent version?

25 A The well construction issues in terms of

1 cementing and intermediate casing requirements,
2 cementing and intermediate casing, certainly has
3 been.

4 Q Those might be resolved by the most recent
5 draft?

6 A Yes, but the monitor well issue in terms
7 of screening and where they are placed and dealing
8 with drawdown in the reservoir, it's still being
9 able to monitor those. I don't see that that has.

10 Q Now, when you first noticed that on the
11 previous draft, did you bring it to the attention
12 of anybody in the OCD, Mr. Chavez or any of the
13 other engineers who were working on it so that they
14 could solve the glitches, correct the glitches or
15 discuss them with Raser, possibly addressing them
16 or expounding upon them in the permit language so
17 that it could be written in a way that might be
18 more amenable to all parties?

19 A I never received any of this information
20 until late last week.

21 Q To your knowledge, did anybody from
22 AmeriCulture contact --

23 A That's where I received this information.

24 Q Did anybody from AmeriCulture contact OCD
25 and advise OCD that they were unhappy with any of

1 these things listed on your itemized glitches and
2 draft permit page?

3 A No.

4 Q Are you an expert in discharge permits or
5 permit writing of any kind?

6 A No, I don't do that.

7 Q Have you ever been called upon to review
8 or consult for a discharge permit before?

9 A No.

10 Q Are you an expert in the Water Quality Act
11 or the Water Quality Control Commission
12 regulations?

13 A No.

14 Q You have recommended that the process in
15 this case would be better served by drilling --
16 permitting testing wells first, and then moving on
17 to a discharge permit process?

18 A That's correct.

19 Q Are you aware that that would require us
20 to go outside of the process established by the
21 Water Quality Control Commission regulations?

22 A I'm not aware of that.

23 Q That the regulations actually require
24 discharge permit process, but they don't provide
25 for anything in the way of such a test well --

1 MR. SEAWRIGHT: Objection. She's
2 already established through cross-examination that
3 he's not made any claim to be acting as an expert
4 in that, and that he is being asked to make a legal
5 opinion.

6 MS. ALTOMARE: He's recommending a
7 process that doesn't exist. I want to clarify from
8 him where he's getting that recommendation from.

9 MR. SEAWRIGHT: The deficiency is not
10 his fault. The deficiency --

11 HEARING EXAMINER: Yes, I'll sustain
12 the objection. I believe these are matters of
13 argument.

14 Q (BY MS. ALTOMARE) Let me rephrase it.
15 From where are you deriving the recommendation for
16 the permitting of test wells first, and then moving
17 into a discharge permit process? Is that something
18 that you came up with, or something that you are
19 drawing off of a body of law?

20 A Science and common sense. If you don't
21 have the information, how can you come up with some
22 sort of plan ahead of time?

23 Q Sir, you are not referencing a particular
24 established process?

25 A No, I'm not. I'm not establishing that.

1 Q You recognize that in the way that the
2 permit is structured, that the newest testing that
3 is being called for requires the monitoring to be
4 done prior to injection, not at the actual
5 injection location deep in the earth, but prior to
6 it being injected?

7 A I understand that, but you still have a
8 problem, plus when you are drawing down on this
9 aquifer, the way these monitor wells are designed,
10 after a few hours you are no longer going to be
11 able to collect a water sample to the water
12 chemistry. I don't know if you follow what I'm
13 saying.

14 Q I do. Put that aside. Would you agree
15 it's more protective of the environment to test
16 prior to the injection up at the time before you
17 consider injecting it into the ground, than after
18 it's already been injected and potentially diluted
19 by whatever is down there?

20 A Now, I'm not following that at all. When
21 you say, "injection at the top," what are you
22 referring to?

23 Q Before you ever consider putting the fluid
24 into the ground, would you agree that it is most
25 protective of the environment to test those prior

1 to the injection into the ground than after it's
2 already been exposed, after the environment has
3 already been exposed to it? It's more protective?

4 A I would go along with that. Are you
5 speaking like you have water samples out of
6 production wells and understand what that chemistry
7 is before you inject it? Then I would say
8 absolutely. I can obtain that with the testing
9 well.

10 Q But the fact that the monitoring plan
11 established by the permit calls for the testing
12 prior to injection, is a more protective measure
13 than if it were calling for testing after it had
14 already been injecting and monitoring of wells
15 after the fact?

16 A Well, my thought on this is that how can
17 you permit something to be disposed of when you
18 didn't even know what that something is? So you
19 need to have a test well, you need to have some
20 sort of information to understand what you're going
21 to be disposing. Coupled with that, you also need
22 to understand where you're going to be putting that
23 injecting.

24 Q One last clarification. Just for
25 clarification purposes, do you recognize that this

1 is a discharge, not a disposal, and that there is a
2 distinction? That this is a discharge of water
3 into the ground, not a disposal, to be
4 distinguished from a disposal of industrial waste?

5 A Discharge into the ground. I understand
6 that's what is planned here with an injection well,
7 yes.

8 MS. ALTOMARE: I think that's all I
9 have.

10 **EXAMINATION BY HEARING EXAMINER**

11 Q Mr. Witcher, I just have a few questions.
12 Your presentation today wasn't as complicated as
13 the last one. You, of course, have developed a
14 considerable expertise on geology of this as I
15 understand it. I appreciated your testimony
16 previously.

17 A I've been looking at it for 20-plus years
18 off and on.

19 Q I understand that this is not legal, most
20 of the areas that we deal with in OCD hearings is,
21 and that it's not an oil and gas area; therefore,
22 there hasn't been a lot of holes punched over this
23 area as there have been in many parts of the state,
24 correct?

25 A I would say that's correct, yes.

1 Q You said something about you needed to
2 explore the shallow and the ditch structure. What
3 depths are you talking about?

4 A There's several different ways that could
5 be done, and, also, depthwise. The resources out
6 of Lightning Dock, the current known resources, the
7 currently used resources, that's fairly shallow
8 depth.

9 Q That was my understanding, yes.

10 A I consider that to be anywhere from 1,500
11 to 2,000 feet to the surface. When you step off
12 into Animas Valley into the west, the depth that
13 you may encounter out there, if you are going to
14 explore for something, go after a particular rock
15 unit that may have some productivity, that could be
16 thousands of feet, it could be 10,000 feet or even
17 greater. It depends upon where the geothermal
18 approach is.

19 Q How many test wells in your opinion would
20 it take to adequately explore this, and for
21 purposes of what they are trying to do with this
22 permit?

23 A You know, a single test well located in
24 the right place might tell everything they need to
25 know.

1 Q Where would that be?

2 A That's -- I'm not Raser's consultants. I
3 don't think it would take -- I don't think -- what
4 I'm saying is, I don't think it would take eight
5 test wells. One test well may tell everything that
6 they need to know.

7 Q Okay. You went into this concern about
8 the cementing the surface and cementing the casing
9 of the surface. I gather from your response to Ms.
10 Altomare's request, your concern has been addressed
11 in that draft permit?

12 A Yes, that language was taken out of the
13 permit.

14 Q You said something that you were concerned
15 about injection into intermediate zone. What is
16 the intermediate zone that you're talking about?
17 As far as my notes, anyway.

18 A I think this reference to -- references
19 back to the e-mail that Dr. Shomaker had sent to
20 Jim Rosser of Raser. He was speaking of injecting
21 into an intermediate zone, and I'm not sure exactly
22 where that would be. I guess we'd have to ask Dr.
23 Shomaker.

24 Q I was wondering what it was intermediate
25 between, but I gather you don't know the answer to

1 that?

2 A I don't know the answer to that.

3 Q For somebody who doesn't know a lot about
4 monitoring wells, can you tell me a little more in
5 generic language, if you can, just exactly what's
6 the problem with the monitoring wells? Did they
7 not drill deep enough given the amount that the
8 water table is going to go down from the production
9 wells?

10 A May I draw a picture?

11 Q Please. That would be helpful.

12 A Land surface, monitor wells, screen
13 interval, water table. It's simple for water a
14 table. This is a screen interval monitoring well.
15 This is the surface. A well is placed in the
16 ground at some distance and that can vary.

17 When you pump in this well is, say,
18 screened right here, when you start pumping that
19 well, you get what is called a cone of depression.
20 The water levels drop as the cone like this, and
21 that's the concern is that when you start producing
22 off of these wells, then you have this cone of
23 depression that migrates out to where your monitor
24 well is, and at 3- and 5,000 gpm production that we
25 are talking about, this could be very rapid. In

1 fact, they can see the affect in a 10-foot drawdown
2 out here, 1,000 feet away, depending upon what the
3 aquifer properties are within 48 hours or less.

4 Then when that happens, you've
5 completely lost the ability to sample for water
6 chemistry out of this aquifer because this is now
7 all up and the water is drained out of that so you
8 have lost your storage.

9 Q How would you address that concern?

10 A Well, one way to address that concern
11 would be to have these tested water wells that had
12 been proposed by Raser in their original document
13 that they presented in Santa Fe in January. You
14 can actually have several zones depth screened.
15 The way the nesting well would work is to have one
16 borehole, and you'd have another monitor well
17 running down beside it, and you screen it down
18 here.

19 In the zone in between this area here
20 within the borehole, you'd have routed out or
21 sealed off with a mixture of cement or however it's
22 specified to do that so that the water that's in
23 this zone here is separated from the water in the
24 shallow zone. If you did have drawdown, you'd
25 still be able to get a sample so that can still be

1 done.

2 The other thing is one of the values
3 of this also is that if you are taking a water
4 level that's isolated from here, and a water level
5 that's isolated from here, when you look at the
6 water levels, the water levels in this well may be
7 here, and the water level in this well may be here.
8 That would tend to show an upward migration of
9 water because the heads would be different.

10 In other words, this has pressure out
11 that pushes it up the hole, and that's valuable
12 information to have when you're out monitoring a
13 situation.

14 HEARING EXAMINER: Okay. I believe
15 that's all my questions, Mr. Witcher.

16 I'm sorry. Are you "Mr." or "Doctor"?

17 THE WITNESS: No, I'm "Mr."

18 HEARING EXAMINER: Okay. I wouldn't
19 want to offend you by omitting the title if it
20 applied.

21 Did the parties have follow up? I
22 believe you should be first.

23 I'm sorry. You should be first since
24 it's your witness, then we'll let the opposing
25 parties proceed.

1 **REDIRECT EXAMINATION BY MR. SEAWRIGHT**

2 Q Given Ms. Altomare's line of questioning,
3 she was trying to draw some sense of equivalency
4 within the proposal of drilling the test wells
5 before the permitting process, and monitoring
6 would post permitting process.

7 Are there any concerns that you may have
8 or are there any differences between those two?
9 You may be measuring the same type of water than
10 producing some of the same formations, but as far
11 as the abilities for AmeriCulture's concerns and
12 concern regarding water quality in general under a
13 situation that is present permit and one that is
14 post permit, does that concern you?

15 A Well, that's one issue that comes to mind
16 automatically that's well construction materials.
17 For instance, a very high salinity fluid that are
18 very high chloride and very, very high saline types
19 are encountered, and the wrong well materials are
20 selected, you can have corrosion. It would happen
21 very rapidly out there, which could create a
22 problem down the road when you are injecting and
23 producing.

24 If you know about that sort of thing
25 ahead of time before you construct these wells, you

1 can design these wells to have materials that would
2 sustain very high salinity and high temperature,
3 and you don't run into a problem later on when you
4 suddenly realize that your well is filled because
5 your casing is corroded. So that's one issue that
6 comes to mind.

7 Another issue that comes to mind is
8 without some prior knowledge, then how does one
9 have an idea of what to be looking for in the first
10 place as to what can be deleterious coming out of
11 that reservoir? If you don't know ahead of time,
12 you may not be paying very much attention to it,
13 and then that goes back to some other issues.

14 It just sounds -- to me, it just sound
15 exploration, sound development to drill these
16 holes, and go through this process, and go through
17 your permitting with some methodology and follow
18 some sense, rather than just stepping right in the
19 middle of it and saying, "We're going to produce
20 this amount of power," when we haven't even drilled
21 any test holes, we haven't drilled any production
22 wells, we haven't drilled any injection wells.
23 That's the process that we are seeing here. It's
24 literally the cart before the horse.

25 Q You also mentioned that it's possible that

1 our Federal well might actually go Artesian. Now,
2 is that just a professional opinion, or is that
3 based on analysis of any type?

4 A It has to do with assuming a
5 transmissivity for the area, which I don't have a
6 transmissivity, actual pumping test measurement,
7 but just assuming one from previous work that's
8 been done. Just doing a simple test model, and
9 assuming that the aquifer would be somewhat
10 confined.

11 It's the shallow aquifer in connection
12 with the zone that's going to be produced. The
13 water level in such a hole is going to rise pretty
14 darn close to the surface, if not flow to the
15 surface at some point.

16 Q What water quality issue might that result
17 in a water quality concern?

18 A I would certainly allow transfer of
19 whatever you're injecting into the ground more
20 rapidly. Not zones around you.

21 MR. SEAWRIGHT: Thank you very much.

22 HEARING EXAMINER: Ms. Munds-Dry.

23 **RE-CROSS EXAMINATION BY MS. MUNDS-DRY**

24 Q Have you ever been a consultant to a
25 successful power plant that produced electricity in

1 New Mexico?

2 A No, ma'am.

3 Q So you don't know if you even can get
4 financing on one well for a project like this?

5 A I wouldn't even try to get financing
6 without a test well, let's put it that way.

7 Q Do you know if you can successfully get
8 financing on a test well with --

9 MR. SEAWRIGHT: I object to this line
10 of questioning. He's a geothermal expert. He's
11 not expected to be an expert in financing power
12 plants in New Mexico, given that there are none.

13 MS. MUNDS-DRY: This goes to the
14 suitability to his proposal.

15 HEARING EXAMINER: I'll sustain the
16 objection. He already testified he doesn't have
17 any experience with it, and it's outside his area
18 of expertise. He wouldn't be allowed to give an
19 opinion on it.

20 MS. MUNDS-DRY: Thank you. No further
21 questions.

22 HEARING EXAMINER: Ms. Altomare.

23 **REXCROSS EXAMINATION BY MS. ALTOMARE**

24 Q I'd like to direct your attention to page
25 7 of the draft permit, Section 20B(i).

1 "Groundwater and surface water
2 monitoring requirements."

3 HEARING EXAMINER: I'm sorry. What
4 paragraph was that?

5 MS. ALTOMARE: Page 7, Section 20,
6 subpart B, (i). That paragraph requires that the
7 "Owner/operator," Raser, "shall conduct all water
8 quality monitoring using low-flow purging and
9 sampling methods where monitor well screens do not
10 exceed 15 feet with 5 feet of screen placed above
11 the water table."

12 A That's what it says, yes.

13 Q So if there was a cone of depression due
14 to the drawdown causing a monitoring well to run
15 dry, for instance, you understand that that
16 continuing obligation requires Raser to basically
17 drill or amend their monitoring well so that they
18 continue to be able to meet that monitoring
19 obligation?

20 A Okay. Let's say that's true. Have you
21 ever tried to go get a drill contractor? It may
22 take you six months to get a drill contractor.

23 MS. ALTOMARE: I'm going to object
24 because the witness is asking questions.

25 HEARING EXAMINER: Sustained.

1 Q (BY MS. ALTOMARE) The other thing I wanted
2 to direct your attention to is page 20 of the end
3 -- in the appendix of the draft permit.

4 The permit does, in fact, provide for
5 nesting wells, does it not, on that table? Do you
6 see the destinations for nested wells?

7 A Okay. What I don't see here is well
8 construction information.

9 Q I think if you refer back to the provision
10 that we were just reading, which is 20B(i). It
11 references the groundwater monitoring program work
12 plan that is supposed to be submitted as part of
13 that plan, as part of the permit obligation is by
14 Raser, which is the point in time that the well
15 construction will be addressed.

16 Do you see that provision?

17 A Okay. I guess. Okay. What page was
18 that?

19 Q 20B(i), page 7.

20 A Page 7. Okay.

21 Q It says, "The owner/operator shall submit
22 a groundwater monitoring program work plan that
23 includes a well installation and monitoring plan
24 and a sampling and analysis plan"?

25 A Okay. I read that. What's the question?

1 Q Does that address what you're talking
2 about, at that point in time Raser would be
3 submitting a well installation and monitoring plan
4 for the sampling and analysis?

5 A Well, I guess my question is: Who is going
6 to review that and with regard to protection of
7 AmeriCulture's interest?

8 MS. ALTOMARE: Again, I renew my
9 objection to the witness posing questions to
10 counsel.

11 HEARING EXAMINER: I will sustain the
12 objection. I believe that was an unresponsive
13 answer so you may continue.

14 MS. ALTOMARE: That's the only
15 clarifications we needed to make.

16 HEARING EXAMINER: Any follow up, Mr.
17 Seawright?

18 MR. SEAWRIGHT: Not with Jim. I do
19 have another witness I'd like to call.

20 HEARING EXAMINER: Very good. The
21 witness may step down.

22 Okay. You have another witness? You
23 only identified Mr. Witcher.

24 MR. SEAWRIGHT: This is a continuation
25 of the previous hearing.

1 HEARING EXAMINER: Okay.

2 MR. SEAWRIGHT: And this witness has
3 been named by opposing counsel for --

4 HEARING EXAMINER: Who is the witness?

5 MR. SEAWRIGHT: The witness would be
6 John Shomaker.

7 HEARING EXAMINER: Any objection?

8 MS. MUNDS-DRY: If we could have some
9 clarification as to what the scope of his
10 questioning is going to be? This is an unusual --

11 MS. ALTOMARE: I would object.

12 MS. MUNDS-DRY: I'm just concerned that
13 we are going to get down into the hydrology given
14 that Mr. Shomaker is a hydrologist. I don't want
15 us to get down that road without having some better
16 understanding that this is going to be limited to
17 the scope of this hearing.

18 HEARING EXAMINER: Yes. Since you
19 didn't designate this witness as your witness, I'm
20 interested to know what you intend to examine him
21 regarding?

22 MR. SEAWRIGHT: Well, since all the
23 water quality issues that we are discussing today,
24 he is their hydrogeological expert, and has --
25 although he wasn't personally present at the last

1 hearing, his representative, Roger Peery, was. And
2 if this were the same hearing, I would be able to
3 recall Mr. Peery, but since he's not here, his
4 superior, John Shomaker, is. I feel that we should
5 be able to recall him as a witness.

6 THE EXAMINER: I don't recall that you
7 have named him as your witness in any of your pre-
8 hearing statements.

9 MR. SEAWRIGHT: We didn't. That's just
10 consistent with my understanding of the body of
11 witnesses named by representative counsel in a
12 court of law, we would be able to call to the
13 witness stand witnesses named by the parties, and
14 I'm under the assumption that that would be honored
15 in a hearing like this.

16 MS. ALTOMARE: Mr. Hearing Examiner, I
17 would object. I think it seems to me that we are
18 straying beyond the scope of this hearing, and, in
19 particular, this continuation of this hearing is to
20 address the draft permit provision and --

21 HEARING EXAMINER: I'm going to sustain
22 the objection. I don't think that you're entitled
23 to call the witness as designated by the other side
24 as your witness unless you designated him as your
25 witness.

1 Anything further?

2 MR. SEAWRIGHT: No.

3 HEARING EXAMINER: Very good.

4 Rebuttal?

5 MS. MUNDS-DRY: No, we have no
6 rebuttal.

7 HEARING EXAMINER: Ms. Altomare, do you
8 have rebuttal?

9 MS. ALTOMARE: No.

10 HEARING EXAMINER: Okay. Very good.

11 Then we'll conclude the hearing at this point and
12 unless --

13 MR. SEAWRIGHT: I do have a closing
14 statement.

15 HEARING EXAMINER: Okay. We will allow
16 closing statements. The evidence is closed.

17 Do you wish to make closing
18 statements, Ms. Munds-Dry?

19 MS. MUNDS-DRY: Just briefly.

20 HEARING EXAMINER: Go ahead.

21 MS. MUNDS-DRY: Thank you. The
22 Division has proposed a draft permit, has presented
23 that into evidence here today based on input of the
24 parties, including AmeriCulture, which Raser
25 believes not only helps the Division meet its

1 duties under the Water Quality Control regulations,
2 but also ensures compliance with those regulations
3 by Raser on protecting the groundwater surface
4 water.

5 Raser, as Mr. Hayter testified,
6 addressed those concerns in the draft permit. I
7 believe it's been stated that a draft permit
8 provision where all issues that have been raised by
9 the parties has been discussed and addressed.

10 AmeriCulture has not provided any
11 evidence to you today that the permit is not
12 protected, and will not be protective of all the
13 Water Quality Control Commission standards, and
14 other standards in the permit.

15 Based on the evidence here today,
16 Raser believes we have shown you that this permit
17 should be approved as it's been presented by the
18 Division. Thank you.

19 HEARING EXAMINER: Ms. Altomare.

20 MS. ALTOMARE: Just briefly. A
21 reminder that we would like to keep the record open
22 until close of business on Thursday, at which time
23 we will be submitting the updated red-line version
24 of the revised permit draft for all parties and for
25 the Hearing Examiner's review.

1 HEARING EXAMINER: That will be
2 acceptable.

3 MS. ALTOMARE: Thank you.

4 MS. MUNDS-DRY: I'm sorry. The record
5 will be open only for the purposes of re-submitting
6 the red-line version, not for other purposes?

7 HEARING EXAMINER: There hasn't been
8 any requests for any other supplementation in the
9 record. We'll wait to conclude closing to see if
10 anyone has any request for supplementation.

11 MS. MUNDS-DRY: Thank you.

12 MS. ALTOMARE: I would just like to
13 emphasize that I think that this particular project
14 is a really good example of the process working in
15 New Mexico. It's a first-time project of its type,
16 and I think that the process has served its purpose
17 in that it has resulted in a permit that is much
18 more comprehensive and protective of the
19 environment than it would likely otherwise have
20 been because we have had the input of the
21 community.

22 However, we are confident that the end
23 result is a permit that is now ready to be approved
24 and implemented, and that the project is now ready
25 to move forward. The legislature and the Water

1 Quality Control Commission does not provide
2 statutes or regulations for such a procedure. We
3 don't regulate those kinds of things. There's no
4 provision for approving APDs for test wells or the
5 like. The way that that is done is through the
6 process that is established through this discharge
7 permit. The permit has every kind of protective
8 provision in there that we have been able to come
9 up with, and addresses all of the concerns that
10 have been presented.

11 We would encourage the Hearing
12 Examiner to review the draft permit, and to
13 recommend that it be accepted so that this project
14 can go forward.

15 With that, I would close and, again, I
16 will forward everything by the close of business
17 Thursday.

18 HEARING EXAMINER: Mr. Seawright.

19 MR. SEAWRIGHT: I would first like to
20 say that we, AmeriCulture, do very much appreciate
21 the onus of this process with OCD, and appreciate
22 the diligent effort that they have put forward in
23 moving the examination of the potential project
24 along.

25 I'd also like to say that what has

1 been proposed to the OCD by Raser as the production
2 and injection plan has the potential to greatly
3 exceed the thermal energy outlook of that has been
4 properly planned and executed.

5 It includes injection of copious
6 quantities of foreign chemicals into regional
7 waters, as well as for drinking water proposing to
8 pump massive quantities of water of unknown
9 chemistry and quality into injection wells located
10 in unsure hydrogeological settings for decades to
11 come.

12 It is not based on sound geoscience
13 given a lack of data, and according to Raser's only
14 hydrogeological consulting firm, will likely have
15 impairment. We have heard from Raser regarding the
16 re-injection of thermally depleted water back into
17 the ground as based primarily on modeling. Raser's
18 models and speculations having made without
19 drilling a single well.

20 The state of development of any deep
21 geothermal resource at Lightning Dock is basically
22 at the wildcat stage development with regard to the
23 injection of copious quantities of foreign
24 chemicals into one of Hidalgo's largely untouched
25 water resources.

1 You've heard the age-old saying, "the
2 solution to pollution is dilution." This out-of-
3 sight, out-of-mind philosophy has no place within
4 the environment, especially when human and animal
5 health and physiology are at stake. The
6 amplification of profit at the extent of
7 environment and of people is unnecessary and
8 inappropriate at this day and age.

9 It would appear that Raser is willing
10 to take risks with contaminating our groundwater
11 for the sake of profit. Given Raser's financial
12 state, we are left holding the bill if major
13 environmental contaminations occur.

14 We believe that the permit application
15 should be denied. Raser should drill a series of
16 exploratory wells to gather the technical
17 information to assemble specific credible injection
18 plans, and Raser should reapply for its production
19 and injection wells based on this data.

20 We are being asked to possibly
21 surrender our ability to produce safe and wholesome
22 products or organic products so that Raser can be
23 greater profit. There is air cooling available,
24 which is environmentally benign technology which is
25 used throughout the world.

1 Accordingly, we strongly recommend
2 that the OCD issue only exploratory permits for
3 both Raser's production and injection wells until
4 sufficient data is gathered to make a
5 scientifically result that the wells are
6 appropriate, and that the waters are protected.

7 We further recommend that the Oil
8 Conservation Division and Water Quality Control
9 Commission either require Raser to use air
10 technology alternative, the cooling tower
11 technology, which is specifically deemed to be safe
12 for potable drinking water, and demonstrated to be
13 safe for Nile Tilapia.

14 HEARING EXAMINER: Thank you.

15 There's been a request that the record
16 be held open for the purposes of submitting the
17 accredited draft of -- a non-substantive corrective
18 draft of the OCD Exhibit No. 2, the draft permit.

19 So the record will be held open
20 throughout the close of business on Thursday, April
21 16th, for that purpose. Thursday of this week,
22 until Thursday of next week.

23 MS. ALTOMARE: We should be able to get
24 it to you Thursday this week, the 9th.

25 HEARING EXAMINER: Well, I don't know

1 if anybody is working this Friday, so I'll say
2 through the close of business, April the 10th.

3 MS. ALTOMARE: Sounds good.

4 HEARING EXAMINER: Just to make sure to
5 allow time here. Subject to that supplementation
6 of the record, case number 14246 will be taken
7 under advisement. This hearing will stand
8 adjourned.

9 (End of requested testimony.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO)
2) SS
3 COUNTY OF DONA ANA)
4

5 I, VICKIE ISAACS, Court Reporter for the
6 State of New Mexico, hereby certify that I
7 transcribed, to the best of my ability, the
8 proceedings taken on APRIL 7, 2009; that the pages
9 numbered 1 through 163 inclusive, are a true and
10 correct transcript of my stenographic notes, and
11 were reduced to typewritten transcription through
12 Computer-aided transcription; that on the date I
13 transcribed these proceedings, I was a New Mexico
14 Certified Court Reporter.


15 Dated at Las Cruces, New Mexico, this 11th
16 day of MAY 2009.
17

18

19

20

21



22

Vickie Isaacs

23

New Mexico CCR No. 191

24

Certified Court Reporter

OCD Lightning Dock Geothermal (GTHT-1) Senior Hydrologist Meeting
OCD Conference Room (3rd Floor) Wendell Chino Bldg., Santa Fe, NM
Tuesday, January 27, 2009 (1:00 p.m. – 5:30 p.m.)

ATTENDEES:

AmeriCulture, Inc.
Los Lobos Renewable Power, L.L.C.
Oil Conservation Division

MEETING ISSUES

- 1) Jim Witcher (AmeriCulture, Inc.) Presentation: Major Tectonic Inversion WNW Fault
 - a. Los Lobos: Don't know until we drill.
 - b. AmeriCulture, Inc.: Gross lack of subsurface information in project area.
 - c. OCD: Carl Chavez draft handout related to water quality monitoring #7 for the draft discharge permit requires sampling of all production and injection wells upon installation.

- 2) Mike Hayter (Los Lobos) Presentation: Location of injection well 51-07
 - a. Los Lobos: Drill 45-07 to first analyze all data. Step out w/ next well. Will have drilling information to proceed forward. Production wells could become injection wells.
 - b. AmeriCulture, Inc.: Not enough information to do anything. There is a problem with state permitting these wells without water chemistry and formation depth information.

- 3) Mike Hayter Presentation: Water Quality Monitoring (WQM)
 - a. Los Lobos: Hand out "Monitoring & Sample Plan" (December 2008)
 - b. AmeriCulture, Inc.: Concerned about water quality monitoring.
 - c. OCD: Carl Chavez handed out draft "Additional Requirements" for draft discharge permit that addresses WQM to attendees to consider. OCD will review

OCD EXHIBIT No. 1

Application of Raser Power System
LLC

Case No. 14246


April 7, 2009

1/27/2009

LDG-1 Meeting (GTHT-1)

~~Name~~

Name	Company	ph.	e-mail
Carl Chavez	OCD	505 476-3490	Carl.j.Chavez@state.nm.us
D Seawright	Americulture	505-670-5220	dama@vt.com
Michael Hayter	Raser	801-589-1872	mike.hayter@rasertech.com
JOHN SHOMAKER	RASER	505-345-3407	jshomaker@shomaker.com
JAMES WITCER	AMERICULTURE	575-521-0146	JMWITCER@JEWEL.COM
John F. Esquibel	RASER	602-758-7530	Joe.Chama@npg.ca.bb.ca
GLENN VAN COTTEN	OCD	505-476-3488	
Gary Seawright	Americulture	505-677-3739	g/seawright@msn.com
W. Jones	OCD	505-476-3448	WILLIAM H. JONES@STATE.NM.US
W. P. -	"		



New Mexico Energy, Minerals and Natural Resources Department

Bill Richardson
Governor

Joanna Prukop
Cabinet Secretary
Reese Fullerton
Deputy Cabinet Secretary

Mark Fesmire
Division Director
Oil Conservation Division



April 7, 2009

Mr. Steve Brown
Los Lobos Renewable Power, L.L.C.
5152 North Edgewood Drive, Suite 375
Provo, Utah 84604

**RE: LOS LOBOS RENEWABLE POWER, L.L.C. - LIGHTNING DOCK
GEOTHERMAL NO. 1 (HI-01) DISCHARGE PERMIT (GTHT-001)
NE/4 SW/4 OF SECTION 7, TOWNSHIP 25 SOUTH, RANGE 19 WEST,
NMPM, HIDALGO COUNTY, NEW MEXICO
CLASS V INJECTION WELLS AND GEOTHERMAL PRODUCTION OR
DEVELOPMENT WELLS, TOWNSHIP 25 SOUTH, RANGES 19 AND 20 WEST,
NMPM, HIDALGO COUNTY, NEW MEXICO**

Dear Mr. Brown:

Pursuant to the Water Quality Control Commission (WQCC) Regulations 20.6.2.3104 through 20.6.2.3114 NMAC (*Permitting and Ground Water Standards*) and 20.6.2.5000 through 20.6.2.5299 NMAC (*Underground Injection Control*), the Oil Conservation Division (OCD) hereby approves the discharge permit for of three (3) Class V geothermal injection wells and authorizes the operation five (5) production or development wells for the Los Lobos Renewable Power, L.L.C. (**owner/operator**) for the above referenced site, contingent upon the conditions specified in the enclosed **Attachment 1 to the Discharge Permit**. The owner/operator geothermal power plant is located in the NE/4 SW/4 of Section 7, Township 25 South, Range 19 West, NMPM, Hidalgo County, New Mexico. The Class V geothermal injection wells and the production or development wells are located in Township 25 South, Ranges 19 and 20 West, NMPM, Hidalgo County, New Mexico.

Class V Injection Wells

Well 42-18 is located in the NE/4, NW/4 of Section 18 (1307 FNL and 2123 FWL)
Well 51-07 is located in the NW/4, NE/4 of Section 07 (169.2 FNL and 2406.9 FEL)
Well 53-12 is located in the SW/4, NE/4 of Section 12 (1574.8 FNL and 3350 FWL)

OCD Exhibit No. 2
Application of Raser Power System LLC
Case No. 14246
April 7, 2009



Mr. Steve Brown
Los Lobos Renewable Power, L.L.C.
April 7, 2009
Page 2

Geothermal Production or Development Wells

Well 13-07 is located in the SW/4, NW/4 of Section 7 (3781 FSL and 530 FWL)
Well 33-07 is located in the SE/4, NW/4 of Section 7 (3721 FSL and 1789 FWL)
Well 45-07 is located in the NE/4, SW/4 of Section 7 (2360 FSL and 2278 FWL)
Well 47-07 is located in the SE/4 SW/4 of Section 7 (1219 FSL and 2266 FWL)
Well 53-07 is located in the SW/4 NE/4 of Section 7 (3775 FSL and 3052 FWL)

Enclosed are two copies of the conditions of approval. **Please sign and return one copy to the Oil Conservation Division (OCD) Santa Fe Office within 30 days of receipt of this letter including permit fees.**

Please be advised that approval of this permit does not relieve the owner/operator of responsibility should operations result in pollution of surface water, ground water or the environment. Nor does approval of the permit relieve the owner/operator of its responsibility to comply with any other applicable governmental authority's rules and regulations.

If you have any questions, please contact Carl Chavez of my staff at (505-476-3491) or E-mail carlj.chavez@state.nm.us. On behalf of the staff of OCD, I wish to thank you and your staff for your cooperation during this discharge permit review.

Sincerely,

Daniel Sanchez
Underground Injection Control Director

DS/cc
Attachments - 1
xc: OCD District Office

ATTACHMENT 1
LIGHTNING DOCK GEOTHERMAL NO. 1 (HI-01) (GTHT-001)
DISCHARGE PERMIT APPROVAL CONDITIONS

- 1. Payment of Discharge Plan Fees:** All discharge permits are subject to WQCC Regulations. Every billable facility that submits a discharge permit application will be assessed a filing fee of \$100.00 plus a renewal flat fee (*see* WQCC Regulation 20.6.2.3114 NMAC). The Oil Conservation Division (OCD) has received the required \$100.00 filing fee and the \$1700.00 Class V Geothermal Well permit fee.
- 2. Permit Expiration and Renewal:** Pursuant to WQCC Regulation Paragraph 4 of Subsection H of 20.6.2.3109 NMAC, this permit is valid for a period of five years. **This permit will expire on June 4, 2014** and an application for renewal should be submitted no later than 120 days before that expiration date. Pursuant to WQCC Regulation Subsection F of 20.6.2.3106 NMAC, if a discharger submits a discharge permit renewal application at least 120 days before the discharge permit expires and is in compliance with the approved permit, then the existing discharge permit will not expire until the application for renewal has been approved or disapproved. *Expired permits are a violation of the Water Quality Act {Chapter 74, Article 6 NMSA 1978} and civil penalties may be assessed accordingly.*
- 3. Permit Terms and Conditions:** Pursuant to WQCC Regulation 20.6.2.3104 NMAC, when a permit has been issued, the owner/operator must ensure that all discharges shall be consistent with the terms and conditions of the permit. In addition, all facilities shall abide by the applicable rules and regulations administered by OCD pursuant to the Geothermal Resources Conservation Act (71-5-1 through 71-5-24 NMSA) and the Geothermal Power regulations (19.14.1 through 19.14.132 NMAC).
- 4. Owner/Operator Commitments:** The owner/operator shall abide by all commitments submitted in its May 12, 2008 discharge permit application, including attachments and subsequent amendments and these conditions for approval. Permit applications that reference previously approved plans on file with OCD shall be incorporated in this permit and the owner/operator shall abide by all previous commitments of such plans and these conditions for approval.
- 5. Modifications:** WQCC Regulations Subsection C of 20.6.2.3107 NMAC, 20.6.2.3109 NMAC and Subsection I of 20.6.2.5101 NMAC addresses possible future modifications of a permit. The owner/operator (discharger) shall notify OCD of any facility expansion, production increase or process modification that would result in any significant modification in the discharge of water contaminants. The Division Director may require a permit modification if any water quality standard specified at WQCC Regulation 20.6.2.3103 NMAC is being or will be exceeded or if a toxic pollutant as defined in WQCC Regulation 20.6.2.7 NMAC is present in ground water at any place of withdrawal for present or reasonably foreseeable future use or that the Water Quality Standards for Interstate and Intrastate streams as specified in WQCC Regulation 20.6.4 NMAC (*Water Quality Standards for Interstate and Intrastate Streams*) are being or may be violated in surface water in New Mexico.



6. Waste Disposal and Storage: The owner/operator shall dispose of all wastes at an OCD-approved facility. Only geothermal RCRA-exempt wastes may be disposed of by injection in a Class II well. RCRA non-hazardous, non-exempt geothermal wastes may be disposed of at an OCD-approved facility upon proper waste determination pursuant to 40 CFR Part 261. Any waste stream that is not listed in the discharge permit application must be approved by OCD on a case-by-case basis.

A. Disposal Of Certain Non-Domestic Waste At Solid Waste Facilities: Pursuant to 19.15.35.8 NMAC disposal of certain non-domestic waste without notification to OCD is allowed at NMED permitted solid waste facilities if the waste stream has been identified in the discharge permit and existing process knowledge of the waste stream does not change.

B. Waste Storage: The owner/operator shall store all waste in an impermeable bermed area, except waste generated during emergency response operations for up to 72 hours. All waste storage areas shall be identified in the discharge permit application. Any waste storage area not identified in the permit shall be approved on a case-by-case basis only. The owner/operator shall not store geothermal waste on-site for more than 180 days unless approved by OCD.

7. Drum Storage: The owner/operator must store all drums, including empty drums, containing materials other than fresh water on an impermeable pad with curbing. The owner/operator must store empty drums on their sides with the bungs in place and lined up on a horizontal plane. The owner/operator must store chemicals in other containers, such as tote tanks, sacks or buckets on an impermeable pad with curbing.

8. Process, Maintenance and Yard Areas: The owner/operator shall either pave and curb or have some type of spill collection device incorporated into the design at all process, maintenance and yard areas which show evidence that water contaminants from releases, leaks and spills have reached the ground surface.

9. Above-Ground Tanks: The owner/operator shall ensure that all aboveground tanks have impermeable secondary containment (*e.g.*, liners and berms), which will contain a volume of at least one-third greater than the total volume of the largest tank or all interconnected tanks. The owner/operator shall retrofit all existing tanks before discharge permit renewal. Tanks that contain fresh water or fluids that are gases at atmospheric temperature and pressure are exempt from this condition.

10. Labeling: The owner/operator shall clearly label all tanks, drums and containers to identify their contents and other emergency notification information. The owner/operator may use a tank code numbering system, which is incorporated into their emergency response plans.

11. Below-Grade Tanks/Sumps and Pits/Ponds.

A. All below-grade tanks and sumps must be approved by OCD prior to installation and must incorporate secondary containment with leak detection into the design. The owner/operator shall retrofit all existing systems without secondary containment and leak detection before discharge permit renewal. Owner/operator must test all existing below-grade tanks and sumps without secondary containment and leak detection annually, or as specified herein. For all systems that have secondary containment with leak detection, owner/operator shall perform a monthly inspection of the leak detection system to determine if the primary containment is leaking. Small sumps or depressions in secondary containment systems used to facilitate fluid removal are exempt from these requirements if fluids are removed within 72 hours.

B. All pits and ponds, including modifications and retrofits, shall be designed by a certified registered professional engineer and approved by OCD prior to installation. In general, all pits or ponds shall have approved hydrologic and geologic reports, location, foundation, liners and secondary containment with leak detection, monitoring and closure plans. All pits or ponds shall be designed, constructed and operated so as to contain liquids and solids in a manner that will protect fresh water, public health, safety and the environment for the foreseeable future. The owner/operator shall retrofit all existing systems without secondary containment and leak detection before discharge permit renewal.

C. The owner/operator shall ensure that all exposed pits, including lined pits and open top tanks (8 feet in diameter or larger) shall be fenced, screened, netted or otherwise rendered non-hazardous to wildlife, including migratory birds. Where netting is not feasible, routine witnessing and/or discovery of dead wildlife and migratory birds shall be reported by the owner/operator to the appropriate wildlife agency with notification also provided to OCD in order to assess and enact measures to prevent the above from reoccurring.

D. The owner/operator shall maintain the results of tests and inspections at the facility covered by this discharge permit and available for OCD inspection. The owner/operator shall report the discovery of any system which is found to be leaking or has lost integrity to OCD within 15 days. The owner/operator may propose various methods for testing such as pressure testing to 3 pounds per square inch greater than normal operating pressure and/or visual inspection of cleaned tanks and/or sumps or other OCD-approved methods. The owner/operator shall notify OCD at least 72 hours prior to all testing.

12. Underground Process/Wastewater Lines:

A. The owner/operator shall test all underground process/wastewater pipelines at least once every five (5) years to demonstrate their mechanical integrity, except lines containing fresh water or fluids that are gases at atmospheric temperature and pressure. The owner/operator shall submit a comprehensive listing of process/wastewater pipelines to OCD within three months of the

date of the permit issuance. The owner/operator shall test pressure rated pipe by pressuring up to one and one-half times the normal operating pressure, if possible or for atmospheric drain systems, to 3 pounds per square inch greater than normal operating pressure and pressure held for a minimum of 30 minutes with no more than a 1% loss/gain in pressure. The owner/operator may use other methods for testing if approved by OCD.

B. The owner/operator shall maintain underground process and wastewater pipeline schematic diagrams or plans showing all drains, vents, risers, valves, underground piping, pipe type, rating, size and approximate location. All new underground piping must be approved by OCD prior to installation. The owner/operator shall report any leaks or loss of integrity to OCD within 15 days of discovery. The owner/operator shall maintain the results of all tests at the facility covered by this discharge permit and they shall be available for OCD inspection. The owner/operator shall notify OCD at least 72 hours prior to all testing.

13. Class V Wells: The owner/operator shall close all Class V wells (e.g., septic systems, leach fields, dry wells, etc.) that inject non-hazardous industrial wastes or a mixture of industrial wastes and domestic sanitary effluent wastes, unless it can be demonstrated that ground water will not be impacted in the reasonably foreseeable future. Leach fields and other wastewater disposal systems at OCD-regulated facilities that inject sanitary effluent and non-hazardous fluid into or above an underground source of drinking water are considered Class V injection wells under the EPA UIC program. Class V wells that inject domestic sanitary effluent waste only must be permitted by the New Mexico Environment Department (NMED).

14. Housekeeping: The owner/operator shall inspect all systems designed for spill collection/prevention and leak detection at least monthly to ensure proper operation and to prevent over topping or system failure. All spill collection and/or secondary containment devices shall be emptied of fluids within 72 hours of discovery. The owner/operator shall maintain all records at the facility and available for OCD inspection.

15. Spill Reporting: The owner/operator shall report all unauthorized discharges, spills, leaks and releases and shall conduct corrective actions pursuant to WQCC Regulation 20.6.2.1203 NMAC and 19.15.29 NMAC. The owner/operator shall notify both OCD District Office and the Santa Fe Office within 24 hours and file a written report within 15 days. The owner/operator shall notify OCD of any fire, break, leak, spill or blowout occurring at any geothermal drilling, producing, transporting, treating, disposal or utilization facility in the State of New Mexico by the person operating or controlling the facility pursuant to 19.14.36.8 NMAC.

16. OCD Inspections: OCD may impose additional requirements on the facility and modify the permit conditions based on OCD inspections.

17. Storm Water: The owner/operator shall implement and maintain run-on and runoff plans and controls. The owner/operator shall not discharge any water contaminant that exceeds the WQCC standards specified in WQCC Regulations 20.6.2.3103 NMAC or 20.6.4 NMAC including

any oil sheen, in any storm water run-off. The owner/operator shall notify OCD within 24 hours of discovery of any releases and shall take immediate corrective action(s) to stop the discharge.

18. Unauthorized Discharges: The owner/operator shall not allow or cause water pollution, discharge or release of any water contaminant that exceeds the WQCC standards listed in 20.6.2.3103 NMAC (*Standards for Ground Water of 10,000 Mg/L TDS Concentration or Less*) or 20.6.4 NMAC (*Water Quality Standards for Interstate and Intrastate Streams*) unless specifically listed in the permit application and approved herein.

An unauthorized discharge is a violation of this permit.

19. Vadose Zone and Water Pollution: The owner/operator shall address any contamination through the discharge permit process or pursuant to WQCC 20.6.2.4000 through 20.6.2.4116 NMAC (*Prevention and Abatement of Water Pollution*). OCD may require the owner/operator to modify its permit for investigation, remediation, abatement and monitoring requirements for any vadose zone or water pollution. Failure to perform any required investigation, remediation, abatement or to submit subsequent reports will constitute a violation of the permit.

20. Additional Site Specific Conditions - Water Quality Monitoring Program: The owner/operator shall implement the following water quality monitoring programs.

A. Aquatic Toxicity Testing: Prior to the startup of geothermal operations, the owner/operator shall conduct an aquatic toxicity test (ATT) on the Tilapia fish species present at the AmeriCulture aquaculture facility located down-gradient from the owner/operators proposed Class V injection well locations with all NALCO cooling-tower chemical constituents. The chemicals used in the ATT shall consist of the high range application of all mixed Nalco chemicals proposed during the hearing on December 1, 2008, to determine the LD₅₀ under a worse-case scenario. OCD will use the results of the ATT as a tool to help assess the threat to Aquaculture and wildlife near the facility.

B. Ground Water and Surface Water Sampling and Monitoring Requirements:

- i. The owner/operator shall submit a ground water monitoring program work plan that includes a well installation and monitoring plan and a sampling and analysis plan for the monitor wells to the OCD Santa Fe Office for approval at least 6 months days before system startup. The owner/operator shall conduct all water quality monitoring using low-flow purging and sampling methods where monitor well screens do not exceed 15 feet with 5 feet of screen placed above the water table.
- ii. The owner/operator shall submit a Background and Compliance Report to OCD within 6 months of system startup that includes the results of the initial sampling conducted in accordance with Permit Conditions 20 and

no
slat
brought
and sent
the 9/30
1/2009

21 to determine background water quality conditions at the facility and compliance with WQCC 20.6.2.3103 NMAC and Subparagraph WW of 20.6.2.7 NMAC. The report shall specify all monitoring locations, including nested wells, hydrogeology, piezometric and/or potentiometric ground water flow direction, hydraulic gradient and water quality data from all monitoring locations and down-gradient locations from potential point sources at the facility (*i.e.*, cooling tower blow-down combined with spent production water at all Class V Well injection locations). The report shall note all exceedences of the standards specified in WQCC 20.6.2.3103 NMAC or background, or if any toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, has been detected.

- iii. The owner/operator shall implement the ground water monitoring program specified in the applicable Tables in Appendix 1. The owner/operator shall monitor static water levels from monitoring locations at least quarterly to assess ground water flow direction and hydraulic gradient at the facility.
- iv. The owner/operator shall gauge and sample nested monitor well head elevations (accuracy to 0.01 ft.) recorded and sampled to establish the vertical hydrogeologic gradient(s) within the aquifer(s) or between reservoir(s) and to monitor for any potentially upwelling contamination to nearby down-gradient pumping domestic and commercial water supply wells.
- v. The owner/operator shall comply with the Federal Underground Injection Control requirements for Class V Wells (40 CFR 144 subpart G) and Water Quality Control Commission (WQCC) 20.6.2 NMAC injection well construction standards to protect the Underground Source of Drinking Water (USDW). The owner/operator shall immediately shut down the system if the concentration of the injection fluids exceed the greater of the standards specified in WQCC 20.6.2.3103 NMAC or background, or if any toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, is detected.
- vi. The owner/operator shall construct all monitor wells with at least 15 feet of screen with 10 feet of screen positioned below the water table (~ 60 – 70 feet bgs). The screen slot size must facilitate the collection of low turbidity samples. Low-flow ground water sampling may be used with stabilization monitoring for temperature, oxygen reduction potential (ORP) and dissolved oxygen (DO) prior to and during sample collection, if wells are constructed properly. Otherwise, the owner/operator shall purge the wells of three well volumes prior to sampling.

- vii. The owner/operator shall triangulate seasonal piezometric surface flow across the facility, including surveying all well locations (TOC and ground elevations (Mean Sea Level) to the nearest 0.01 feet. The owner/operator shall measure static water levels at least quarterly for 2 years to determine ground water flow direction. The owner/operator shall submit plots of ground water flow direction with estimates of hydraulic gradients from quarterly monitoring.
- viii. The owner/operator shall notify the Santa Fe OCD office within 72 hours of its determination that the concentration of the monitor well sample exceeds the greater of the standards specified in WQCC 20.6.2.3103 NMAC or background, or if any toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, is detected.

C. Water Supply Wells Monitoring Program:

- i. The owner/operator shall sample all water supply wells in accordance with Table 3 of Appendix 1 prior to operator startup to establish background water quality conditions and thereafter at least annually to demonstrate that the water quality of the water supply wells does not exceed the greater of the standards specified in WQCC 20.6.2.3103 NMAC or background, and that no toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, is present.
- ii. The owner/operator shall determine the depth to water, ground elevation, and well elevation to an accuracy of 0.01 foot.
- iii. The owner/operator shall notify the OCD Santa Fe office within 72 hours of its determination that the concentration of the ground water sample exceeds the greater of the standards specified in WQCC 20.6.2.3103 NMAC or background, or if any toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, is detected.

D. Holding Ponds, Drainage Ditches, Pits and Ponds Monitoring Program: The owner/operator shall sample the holding ponds, drainage ditches, pits and ponds in accordance with Table 4 of Appendix 1. The owner/operator shall notify the OCD Santa Fe office within 72 hours of its determination that the concentration of a water sample taken the unlined ditch exceeds the greater of the standards specified in WQCC 20.6.2.3103 NMAC or background, or if any toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, is detected

E. Spent Produced Water and Cooling-Tower Blow-Down Water Monitoring Program:

- i. The owner/operator shall submit a flow diagram to the OCD Santa Fe Office that depicts where the comingled spent produced water and cooling-tower blow-down water will be stored and tested before injection at least 30 days before system startup.
- ii. The owner/operator shall sample and analyze the comingled spent produced water and cooling-tower blow-down water daily for 10 business days at system startup, weekly for two months; and thereafter the sampling frequency shall be based on correlation that the owner/operator established with the 3D Tresar Control Monitoring System in accordance with Table 5 of Appendix 1 to this discharge permit.
- iii. The owner/operator shall inject comingled spent produced water and cooling-tower blow-down water only if it meets either the standards for ground water specified at Subparagraph WW of 20.6.2.7 NMAC and 20.6.2.3103 NMAC or the background concentration as established from the first sampling event. In-line sample ports or devices shall be installed at each injection well to ensure that the above requirement is met.
- iv. The owner/operator shall not discharge untreated chemicals to storm water and/or "Waters of the State." Any discharge to a rip-rap area(s) is an illegal discharge. The owner/operator shall inform the OCD Santa Fe office within 72 hours of discovery of a discharge to a rip-rap basin. Discharges shall be routed to lined pits or evaporation pond areas whenever possible.
- v. The owner/operator may only discharge into "Waters of the State" in accordance with a National Pollutant Discharge Elimination System (NPDES) Permit issued by EPA Region 6. The OCD must approve the discharge concurrently with EPA. The applicant must comply with all of the Federal NPDES monitoring, treatment, and reporting requirements specified in its NPDES permit.

F. Annual Water Quality Monitoring Program Report: The owner/operator shall submit an Annual Water Quality Monitoring Program Report by January 31 of each year. The report shall include the following information:

- i. Cover sheet marked as "Annual Water Quality Monitoring Program Report, name of owner/operator, Discharge Permit Number, API number(s) of well(s), date of report and the name of the person submitting report.

- ii. Comprehensive summary of all water quality monitoring data.
- iii. Summary charts and tables depicting the constituents that have ever exceeded the standards specified in WQCC 20.6.2.3103 NMAC or background, or if any toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, has been detected.
- iv. Description and reason for any remedial or work on well(s), ponds, ditches, etc.
- v. A copies of the chemical analyses in accordance with Permit Condition 20.
- vi. A copy of any leaks and spills reports submitted in accordance with Permit Condition 15 above.
- vii. A "Miscellaneous" section to include any other issues that should be brought to OCD's attention.
- viii. Discharge Permit Signatory Requirements pursuant to WQCC Regulation Subsection G of 20.6.2.5101 NMAC.

21. Class V Injection Wells and Geothermal Production or Development Wells:

A. Well Identification:

i. Class V Injection Wells:

Well No. 42-18 (API No. 30-023-20018)
Well No. 51-07 (API No. 30-023-20020)
Well No. 53-12 (API No. 30-023-20019)

ii. Geothermal Production or Development Wells:

Well No. 13-07 (API No. 30-023-20013)
Well No. 33-07 (API No. 30-023-20014)
Well No. 45-07 (API No. 30-023-20015)
Well No. 47-07 (API No. 30-023-20016)
Well No. 53-07 (API No. 30-023-20017)

B. Well Casing and Cementing Requirements:

- i. The owner/operator shall ensure that all casing and cementing meets or exceeds the requirements of 19.14.27.8 NMAC (*Casing and Cementing Requirements*). Conductor pipe shall be run to a minimum depth of 100 feet.
- ii. Surface casing shall be to a depth of at least 100 feet greater than the deepest fresh water well within one-half mile from the well location.
- iii. Intermediate strings shall be cemented solid to surface.
- iv. Production casing shall either be cemented solid to the surface or lapped into intermediate casing, if run. If production casing is lapped into an intermediate string, the casing overlap shall be at least 50 feet. The lap shall be cemented solid and it shall be pressure tested to ensure integrity.

C. Formation Fracturing Fluids: The owner/operator shall ensure that all fluids used in the fracturing of formations shall not harm human health, wildlife and the environment. The owner/operator shall ensure that all fluids used to fracture shall be swabbed back, collected and properly disposed.

D. Class V Injection Wells and Geothermal Production/Development Wells Monitoring Program:

- i. The owner/operator shall sample all injection and production/development wells prior to operator startup in accordance with Table 2 of Appendix 1 to establish background water quality conditions.
- ii. The owner/operator shall sample all injection wells monthly for the first six months with dynamic water level (DWL) recordings in accordance with Table 2 of Appendix 1 to demonstrate that the injection fluid meets the standards specified in WQCC 20.6.2.3103 NMAC or background, and that no toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, has been detected.
- iii. If after the first six months the owner/operator demonstrates that the well being injected meets the standards specified in WQCC 20.6.2.3103 NMAC or background, and that no toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, has been detected, then the owner/operator shall sample annually in accordance with the other annual monitoring events.
- iv. The owner/operator shall determine the depth to water, ground elevation, and well elevation to an accuracy of 0.01 foot. The owner/operator shall

notify the OCD Santa Fe office within 72 hours of its determination that the concentration of the ground water sample exceeds the greater of the standards specified in WQCC 20.6.2.3103 NMAC or background, or if any toxic pollutant, as defined in WQCC Subparagraph WW of 20.6.2.7 NMAC, is detected.

E. Well Workover Operations: The owner/operator shall obtain OCD's approval prior to performing remedial work, pressure test or any other work. The owner/operator shall request approval on form G-101 "*Application Permit to Drill, Deepen or Plug Back - Geothermal Resources Well*" pursuant to 19.14.52 NMAC, with copies provided to both the OCD Artesia District II Office and the Santa Fe Office.

F. Production/Injection Method: The production/injection method that the owner/operator shall follow is as follows: High temperature (250 – 300 °F) geothermal water shall be brought to surface from the Horquilla Formation or geothermal reservoir at approximately 3,400 feet below ground level by five (5) production or development wells (approximately 3,000 gpm per well). Hot water shall be routed in parallel and in series through 50 binary cycle (self-contained heat exchanger, evaporator and condenser) power generation units. Condensed produced or effluent water (approximately 225 °F) shall be routed to a lined evaporation pond(s) prior to injection (approximately 75 psig per well) via three (3) Class V geothermal wells into the geothermal reservoir.

G. Well Pressure Limits: The owner/operator shall ensure that the operating surface injection and/or test pressure for each injection well measured at the wellhead shall be at a flow rate and pressure that will not adversely affect public health, the environment and the correlative rights of any future geothermal operators in the high temperature geothermal reservoir. The owner/operator shall have working pressure limiting devices or controls to prevent overpressure. The owner/operator shall report any pressure that causes damage to the system to OCD within 24 hours of discovery.

H. Mechanical Integrity Testing: At least once every five years and after any well work over, the geothermal reservoir will be isolated from the casing or tubing annuals and the casing pressure tested at a minimum of 600 psig for 30 minutes. A passing test shall be within +/- 10% of the starting test pressure. All pressure tests must be performed in accordance with the testing schedule shown below and witnessed by OCD staff unless otherwise approved.

The owner/operator shall conduct a thirty (30) minute casing pressure test at a minimum of 600 psig (set packer above casing shoe to isolate formation from casing) at least once in CY 2009 and at least once in CY 2013.

Testing Schedule:

CY 2009: 30 minute casing pressure test at a minimum of 600 psig (set packer above casing shoe to isolate formation from casing), and

CY 2013: 30 minute casing pressure test at a minimum of 600 psig (set packer above casing shoe to isolate formation from casing)

I. Capacity/Reservoir Configuration and Subsidence Survey: The owner/operator shall provide information on the size and extent of the geothermal reservoir and geologic/engineering data demonstrating that continued geothermal extraction will not cause surface subsidence, collapse or damage to property or become a threat to public health and the environment. This information shall be supplied to OCD in each annual reports. OCD may require the owner/operator to perform additional well surveys, tests, etc. A subsidence monitoring program is required in the annual reports and shall include well top-of-casing and ground elevation modern surveying (Accuracy: 0.01 ft.) on an annual basis in order to demonstrate that there are no subsidence issues. If the owner/operator cannot demonstrate the integrity of the system to the satisfaction of OCD, then OCD may require the owner/operator to shut-down, close the site and properly plug and abandoned the wells. **The owner/operator shall report any subsidence to the OCD Santa Fe office within 24 hours of discovery.**

J. Production/Injection Volumes: After placing a geothermal well on production, the owner/operator shall file in duplicate a monthly production report form G-108, with the OCD Santa Fe office by the 20th day of each month and also with the annual reports. The owner/operator shall also document the production from each well and each lease during the preceding calendar month.

K. Analysis of Injection and Geothermal Reservoir Fluids: After placing any well on injection or disposal in a geothermal resources field or area, the owner/operator shall file in duplicate a monthly injection report, form G-110, with the OCD Santa Fe office by the 20th day of each month and also with the annual reports. The owner/operator shall specify the zone or formation into which injection is being made, the volume injected, the average temperature of the injected fluid and the average injection pressure at the wellhead.

L. Area of Review (AOR): The owner/operator shall report within 24 hours of discovery of any new wells, conduits or any other device that penetrates or may penetrate the injection zone within one-quarter mile from its Class V Geothermal Injection Well(s).

M. Annual Geothermal Temperature and Pressure Tests: The owner/operator shall test its production or development wells at least annually and submit the results to the OCD

Santa Fe office on form G-111 within 30 days of the completion of the test. The owner/operator shall record the flowing temperatures and flowing pressure tests at the wellhead for a minimum of 72 hours of continuous flow at normal producing rates. The owner/operator shall then shut in the well for 24 hours and record the shut-in pressures at the wellhead. The owner/operator shall submit the results of these tests in duplicate to the OCD Santa Fe office.

N. Loss of Mechanical Integrity: The owner/operator shall report to the OCD Santa Fe Office within 24 hours of its discovery of any failure of the casing, tubing or packer or movement of fluids outside of the injection zone. The owner/operator shall cease operations until proper repairs are made and the owner/operator receives OCD approval to re-start injection operations.

O. Bonding or Financial Assurance:

- i. Class V Geothermal Injection Wells: The owner/operator shall maintain at a minimum a cash bond (*i.e.*, Assignment of Cash Collateral Deposit or Multi-Well Cash Financial Assurance Bond Geothermal Injection) in the amount of \$50,000.00 to restore the site and/or plug and abandon wells, pursuant to OCD rules and regulations.
- ii. Production or Development Wells: The owner/operator shall maintain at a minimum a cash bond (*i.e.*, \$10,000.00 Multi-Well (4 wells) and/or \$5,000.00 (1 well) Geothermal Plugging Bonds).

If warranted, OCD may require additional financial assurance for closure of the power plant or facility (see Permit Condition 23 below).

P. Annual Geothermal Well Report:

The owner/operator shall submit an Annual Geothermal Well Report by January 31 of each year. The report shall include the following information:

- i. Cover sheet marked as "Annual Geothermal Well Report, name of owner/operator, Discharge Permit Number, API number(s) of well(s), date of report and the name of the person submitting report.
- ii. Comprehensive summary of all geothermal well operations, including description and reason for any remedial or work on the well(s). The owner/operator shall include a copy of the form G-101 that it submitted to the OCD Santa Fe office.
- iii. Production and injection volumes in accordance with Permit Condition 21.J, including a running total to be carried over each year. The

owner/operator shall report the total mass produced, dry steam produced, flow rates, temperatures and pressures, average injection pressures, temperatures, *etc.*

- iv. A copy of the chemical analyses in accordance with Permit Condition 21.K.
- v. A copy of any mechanical integrity test chart, including the type of test, (*i.e.*, EPA 5-Year casing test), date, time, *etc.*, in accordance with Permit Conditions 21.H.
- vi. A copy of the annual subsidence survey data results in accordance with Permit Condition 21.I.
- vii. Brief explanation describing deviations from normal production methods.
- viii. A copy of any leaks and spills reports submitted in accordance with Permit Condition 15 above.
- ix. A copy of analytical data results from groundwater monitoring including the QA/QC Laboratory Summary.
- x. An updated Area of Review (AOR) summary (WQCC Regulation 20.6.2 NMAC) when any new wells are drilled within 1/4 mile of any UIC Class V Injection Well.
- xi. A "Miscellaneous" section to include any other issues that should be brought to the OCD's attention.
- xii. Discharge Permit Signatory Requirements pursuant to WQCC Regulation Subsection G of 20.6.2.5101 NMAC.

22. Transfer of Discharge Permit: Pursuant to WQCC Regulation Subsection H of 20.6.2.5101 NMAC, the owner/operator and new owner/operator shall provide written notice of any transfer of the permit. Both parties shall sign the notice 30 days prior to any transfer of ownership, control or possession of a facility with an approved discharge permit. In addition, the purchaser shall include a written commitment to comply with the terms and conditions of the previously approved discharge permit. OCD will not transfer brine well operations until proper bonding or financial assurance is in place and approved by the OCD. OCD reserves the right to require a modification of the permit during transfer.

23. Closure: The owner/operator shall notify OCD when operations of the facility are to be discontinued for a period in excess of six months. Prior to closure of the facility, the

Mr. Steve Brown
Los Lobos Renewable Power, L.L.C.
April 7, 2009
Page 17

owner/operator shall submit for OCD approval, a closure plan including a completed C-103 form for plugging and abandonment of the well(s). Closure and waste disposal shall be in accordance with the statutes, rules and regulations in effect at the time of closure. OCD may require additional financial assurance if surface water and/or ground water is impacted pursuant to WQCC Regulation Paragraph (11) of Subsection A of 20.6.2.3107 NMAC.

24. Certification: Los Lobos Renewable Power, L.L.C. (Owner/Operator), by the officer whose signature appears below, accepts this permit and agrees to comply with all submitted commitments, including these terms and conditions contained here. **Owner/Operator** further acknowledges that OCD may, for good cause shown, as necessary to protect fresh water, public health, safety and the environment, change the conditions and requirements of this permit administratively.

Conditions accepted by: *"I certify under penalty of law that I have personally examined and am familiar with the information submitted in this document and all attachments and that, based on my inquiry of those individuals immediately responsible for obtaining the information, I believe that the information is true, accurate and complete. I am aware that there are significant penalties for submitting false information including the possibility of fine and imprisonment."*

Company Name - print name above

Company Representative - print name

Company Representative - signature

Title _____

APPENDIX 1
WATER QUALITY MONITORING PROGRAM



Table 1
Ground Water Monitoring Program

ID*	Frequency	Media	Analytical Suite/Method	Approximate Well location
MW-1 ¹	Annual	GW	Analyze for dissolved fraction of all 20.6.2.3103 NMAC Constituents	Shallow MW (water table) located ~100' downgradient (North) of Class V IW 42-18 and associated pits (OCD)
MW-3 ¹	Annual	GW	VOCs (8260B) SVOCs (8270C)	Shallow MW (water table) located ~100' downgradient (North) of Class V IW 51-07 and associated pits (OCD)
MW-2 ¹	Annual	GW	PAHs (8310)	Shallow MW (water table) located ~100' downgradient (North) of Class V IW 53-12 and associated pits (OCD)
MW-4 ¹	Annual	GW	TPH (418.1)	Shallow MW located ~1500' (Northwest) of DW 45-07 directly downgradient from facility (OCD)
MW-5 ¹	Annual	GW	Metals - dissolved (6010B/6020) including Bromide, Lithium, Rubidium, and Tungsten (by approved EPA methods) Mercury (7470A/7471A)	Shallow MW (water table) located ~1000' upgradient (South) of the nursery greenhouses 3 & 4 to monitor background (OCD)
MW-6 ¹	Annual	GW	General Chemistry (Methods specified at 40 CFR 136.3)	Shallow MW (water table) located ~100' downgradient (North) of DW 53-07 and associated pits (OCD)
MW-7 ¹	Annual	GW	Uranium (6010B/6020), Radioactivity (E903/E904) Radon (by EPA Method or method approved by OCD)	Shallow MW (water table) located ~100' downgradient (North) of DW 13-07 and associated pits (OCD)

Mr. Steve Brown
 Los Lobos Renewable Power, L.L.C.
 April 7, 2009
 Page 20

ID	Frequency	Media	Analytical Suite/Method	Approximate Well location
MW-8 ¹	Annual	GW		Shallow MW (water table) located ~100' downgradient (North) of DW 33-07 and associated pits (OCD)
NW-1 ¹	Annual	GW		Similar to monitoring & sampling plan from Los Lobos.
NW-2 ¹	Annual	GW		Similar to monitoring & sampling plan from Los Lobos.
NW-3 ¹	Annual	GW		Similar to monitoring & sampling plan from Los Lobos.

Table 2
Geothermal Injection Wells and
Production/Development Wells Monitoring Program

ID#	Frequency	Media	Analytical Suite/Method	Approximate Well Location
DW 13-07 ³	Annual	GW	Analyze for dissolved fraction of all	As Proposed in Application
DW 33-07 ³	Annual	GW	20.6.2.3103 NMAC Constituents	
DW 45-07 ³	Annual	GW	VOCs (8260B)	
DW 47-07 ³	Annual	GW	SVOCs (8270C)	
DW 53-07 ³	Annual	GW	PAHs (8310)	
IW 42-18 ³	Annual	GW	TPH (418.1)	
IW 51-07 ³	Annual	GW	Metals - dissolved (6010B/6020) including Bromide, Lithium, Rubidium, and Tungsten (by approved EPA methods)	
IW 53-12 ³	Annual	GW	Mercury (7470A/7471A)	
			General Chemistry (Methods specified at 40 CFR 136.3) Uranium (6010B/6020), Radioactivity (E903/E904) Radon (by EPA Method or method approved by OCD)	

Table 3
Water Supply Wells Monitoring Program

ID*	Frequency	Media	Analytical Suite/Method	Approximate Location
TG 52-07 ¹	Annual	GW	Analyze for dissolved fraction of all 20.6.2.3103 NMAC Constituents	Similar to monitoring & sampling plan from Los Lobos.
Americulture No. 1 Federal ¹	Annual	GW	VOCs (8260B)	
McCants No. 1 State ¹	Annual	GW	SVOCs (8270C)	
Burgett No. 1 State ¹	Annual	GW	PAHs (8310)	
Burgett Greenhouse No. 2 ¹	Annual	GW	TPH (418.1)	
			Metals - dissolved (6010B/6020) including Bromide, Lithium, Rubidium, and Tungsten (by approved EPA methods)	
			Mercury (7470A/7471A)	
			General Chemistry (Methods specified at 40 CFR 136.3)	
			Uranium (6010B/6020),	
			Radioactivity (E903/E904)	
			Radon (by EPA Method or method approved by OCD)	



Table 4
Holding Ponds, Drainage Ditches, Pits and Ponds Monitoring Program

ID*	Frequency	Media	Analytical Suite/Method	Approximate Location
GH Holding Pond No. 1	Quarterly ⁴	SW	Metals- dissolved (6010B/6020) including Bromide, Lithium, Rubidium, and Tungsten (by approved EPA methods)	Similar to monitoring & sampling plan from Los Lobos.
GW Holding Pond No. 2	Quarterly ⁴	SW		
Drainage Ditch No. 1 (East)	Quarterly ⁴	SW	General Chemistry (Methods specified at 40 CFR 136.3)	
Retention Pond No. 1	Quarterly ⁴	SW		
Bermed Canal No. 1	Quarterly ⁴	SW		
Pit Associated with Well 13-07	Within 30 days of use	SW		
Pit Associated with DW 33-07	Within 30 days of use	SW		
Pit Associated with DW 45-07	Within 30 days of use	SW		
Pit Associated with DW 47-07	Within 30 days of use	SW		
Pit Associated with DW 53-07	Within 30 days of use	SW		
Pit Associated with IW 42-18	Within 30 days of use	SW		

Mr. Steve Brown
Los Lobos Renewable Power, L.L.C.
April 7, 2009
Page 24

ID*	Frequency	Media	Analytical Suite/Method	Approximate Location
Pit Associated with IW 51-07	Within 30 days of use	SW		
Pit Associated with IW 53-12	Within 30 days of use	SW		

Table 5
Cooling Tower Effluent Monitoring Program

ID*	Frequency	Media	Analytical Suite/Method	Approximate Location
Cooling Tower Effluent	Daily ⁵	Effluent	Metals - dissolved (6010B/6020) including Bromide, Lithium, Rubidium, and Tungsten (by approved EPA methods) General Chemistry (Methods specified at 40 CFR 136.3)	Similar to monitoring & sampling plan from Los Lobos.

Mr. Steve Brown
Los Lobos Renewable Power, L.L.C.
April 7, 2009
Page 26

DW: Development/Production Well
DWL: Dynamic Water Level
GH: Greenhouse
GW: Ground Water
IW: Injection Well
MSL: Mean Sea-Level
MW: Monitor Well
NW: Nested Well
SW: Surface Water
SWL: Static Water Level

* Quarterly Static Water Level (SWL): MSL to nearest 0.01 feet prior to sampling event

1. Monitor wells must be installed in advance of system startup and sampled.
2. Semi-Annual groundwater monitoring event must be completed no more than 30 days prior to the start of the irrigation season but no later than April 30 of each year. Monitoring must be conducted no later than 30 days after the conclusion of the irrigation season but no later than November 15 of each year.
 3. One time sampling event with static water level (SWL) mean sea-level (0.01 ft. accuracy) measurements in advance of system start-up. Thereafter, monthly sampling for the first six months with dynamic water level (DWL) recording is required. After six months of monthly monitoring, the sampling shall be conducted at least annually.
 4. Sample quarterly while in use. If organics are evident, sampling with analytical methods similar to MWs shall be implemented during the sampling event.
 5. Daily for 10 business days at system startup; thereafter weekly for two months; thereafter based on establishing correlation with the 3D Tresar Control Monitoring System.

Note: All wells with phase-separated hydrocarbons (PSHs) must be checked at a minimum of once per month and recorded on a spreadsheet. The data must be presented in table form listing all of the impacted wells, date inspected, product thickness measured to 0.01 of a foot, and amount of product/water recovered. If PSHs are observed in a monitoring well, then appropriate steps must be taken to recover the PSHs using the best available technology.

Geoscience Deficiency in Application

Raser has presented no coherent geologic model or hard evidence (actual real measured data) that scientifically defines:

- Reservoir rock or location.
 - A shifting story.
- Reservoir permeability or storage characteristics.
 - No wells have been drilled and pump tested.
- A confining rock unit over the production or injection zone that could act to shield and isolate injected fluids.
 - No test wells have been drilled to evaluate.
- Actual water chemistry to be produced and injected.
 - No test wells have been drilled and sampled.
- A cross section of reservoir/injection targets based upon actual drilling or geophysical interpretation.

Damon Seawright, President
AmeriCulture, Inc.

Copy #

4

Exhibit 1

OCD Hearing History Summary

- Raser has presented no actual data to support interpretations and well design in the disposal permit.
- AmeriCulture has presented a geologic model with actual borehole, geochemical, and geophysical data that refutes several claims in the disposal permit.
 - Production from Horquilla Limestone will be poor water quality (>3,000 TDS).
 - Size of resource is very small.
 - Location of up flow zone is not on a northeast striking and hidden B & R fault.
- Raser has quoted geothermal experts or their reports and has failed to produce those experts for testimony or their reports for review and critic.
 - GeothermEx.
 - Lightning Dock Geothermal and their consultants.

Current State of Knowledge

- Natural heat loss is less than 10 MWt.
- Up flow zone is very small and is located in the horst block beneath Burgett Greenhouses and near the ring fracture zone of the Muir caldera of the Pyramid Mountains.
- Fluid chemistry of current geothermal production is the result of flow path and chemical equilibrium in rhyolite.
- Fracture ground preparation is facilitated by a major NW striking and long-lived first order structure in the crust.
- Stress associated with a late Pleistocene fault tip has locally reopened fractures of older bedrock ground preparation.

Problems

- Reservoir is not sustainable at 12,000 gpm production and injection over such a small resource.
 - Violates correlative geothermal rights of adjacent direct-use operators who have State Geothermal Leases.
 - Ground subsidence is likely.
 - Currently used shallow geothermal outflow plume will be destroyed.
 - Adjacent water rights holders will be impacted in both water quality and amount of fresh water in storage.
- The Raser project is geotechnically unsuitable for disposal permit with current state of exploration and resource characterization and proposed rates of production and injection.

Glitches in Draft Permit

- Intermediate and production casing strings should not be cemented back to surface.
 - Only need to cement to casing hanger inside larger casing string.
 - Geothermal wells require a large diameter surface casing string for pump equipment.
 - Geothermal wells are not oil and gas wells with high pressure – geothermal is hydrostatic.
- Add AmeriCulture 1 State to Table 3.
- No description of the required “nested monitor well.”
 - The screen requirement does not describe a nested monitor well configuration.

Recommendations

- Permit test wells only.
- Deny disposal application as it is premature and not supported with tangible geologic information.
 - Where is the reservoir?
 - What are the confining rock units?
 - What is the reservoir fluid chemistry?
 - What is the reservoir storage and permeability?
 - What are the rock units best for casing points to insure long-term injection well integrity?
- Require submission of injection well (disposal) permit request and production well permit request after test drilling and reservoir information is compiled and a complete hydrogeologic analysis with real data is available.

BOTTOM LINE

- How can a disposal permit be approved when no definitive information exists to even design an injection program or field?
 - What is injected water quality? Unknown because production wells have not been drilled and chemically tested.
 - What is the injection zone? None identified because test wells have not been drilled.
 - Will zone take 12,000 gpm without impacting local environment? Unknown as pump tests of a potential injection zone have not been performed to determine permeability and storage.
 - What casing program should be instituted for injection wells? Competent or capping formations at depth are unknown.
 - Where should injection wells be sited? There is not enough information available to site injection wells.