

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

AMENDED APPLICATION OF YATES
PETROLEUM CORPORATION FOR THE ADOPTION
OF SPECIAL POOL RULES, LEA COUNTY,
NEW MEXICO

CASE NO. 14338

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: RICHARD EZEANYIM, Presiding Examiner
TERRY G. WARNELL, Technical Examiner
DAVID K. BROOKS, Legal Examiner

RECEIVED OCD
2009 JUL 22 PM 2:37

July 9, 2009

Santa Fe, New Mexico

This matter came on for hearing before the
New Mexico Oil Conservation Division, RICHARD EZEANYIM,
Presiding Examiner, DAVID K. BROOKS, Legal Examiner, and
TERRY G. WARNELL, Technical Examiner, on Thursday,
July 9, 2009, at the New Mexico Energy, Minerals and
Natural Resources Department, 1220 South St. Francis
Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

A P P E A R A N C E S

FOR THE APPLICANT:

HOLLAND & HART
 William F. Carr, Esq.
 110 North Guadalupe, Suite 1
 Santa Fe, New Mexico 87501

WITNESSES:

PAGE

J.O. Barnett

Direct examination by Mr. Carr	3
Examination by Mr. Warnell	18
Examination by Mr. Ezeanyim	19

INDEX

PAGE

EXHIBITS 1 THROUGH 9 ADMITTED INTO EVIDENCE	18
---	----

REPORTER'S CERTIFICATE	24
------------------------	----

1 MR. EZEANYIM: Okay. Therefore, this
2 leaves us with two cases on the docket, and I think what
3 we are going to do is take the easier one and then have
4 the last one -- the contested one last.

5 On page 5, Case Number 14338, this is Amended
6 Application of Yates Petroleum Corporation for the
7 Adoption of Special Pool Rules, Lea County, New Mexico.
8 Call for appearances.

9 MR. CARR: May it please the Examiner, my
10 name is William F. Carr with the Santa Fe office of
11 Holland & Hart, LLP. We represent Yates Petroleum
12 Corporation in this matter, and I have one witness.

13 MR. EZEANYIM: Any other appearances?

14 May the witness stand and state your name to
15 be sworn, please.

16 MR. BARNETT: J.O. Barnett.

17 (The witness was sworn.)

18 MR. EZEANYIM: Mr. Carr, you may proceed.

19 MR. CARR: Thank you, Mr. Examiner.

20 J.O. BARNETT

21 Having been first duly sworn, testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your full name for the record,
25 please.

1 A. J.O. Barnett.

2 Q. Mr. Barnett, where do you reside?

3 A. In Artesia, New Mexico.

4 Q. By whom are you employed?

5 A. Yates Petroleum.

6 Q. What is your position with Yates Petroleum?

7 A. I'm a reservoir engineer.

8 Q. Have you previously testified before the Oil
9 Conservation Division and had your credentials as an
10 expert in reservoir engineering accepted and made a
11 matter of record?

12 A. Yes, sir.

13 Q. Have you previously testified before
14 Mr. Ezeanyim?

15 A. No, sir.

16 Q. Would you review your educational background
17 and your work experience for the Examiners?

18 A. I went to Colorado School of Mines, got a
19 bachelor's degree in petroleum engineering, got out in
20 1999. After that I went to work for Schlumberger, most
21 of the time working overseas as a field engineer but also
22 as a reservoir engineer for their GEO Quest Division. In
23 2007 I moved to Artesia and became a reservoir engineer
24 for Yates.

25 Q. Are you familiar with the application that has

1 been filed in this case for Yates Petroleum Corporation?

2 A. Yes, sir.

3 Q. And are you familiar with the development of
4 the Upper Pennsylvania Formation in the general area of
5 the Llano Upper Pennsylvania pool?

6 A. Yes, sir.

7 Q. Have you made an engineering study of the
8 Upper Pennsylvania or Canyon Formation in the area of
9 interest?

10 A. Yes, sir.

11 Q. Are you prepared to share the results of your
12 work with Mr. Ezeanyim?

13 A. I am.

14 MR. CARR: Mr. Examiner, we tender
15 Mr. Barnett as an expert in reservoir engineering.

16 MR. EZEANYIM: Mr. Barnett, have you
17 attempted to get your certification as a professional
18 engineer?

19 THE WITNESS: No, sir.

20 MR. EZEANYIM: All right.

21 MR. CARR: That's a suggestion maybe he
22 should; right?

23 MR. EZEANYIM: I'm not suggesting that.

24 Q. (By Mr. Carr) Mr. Barnett, would you briefly
25 summarize what Yates Petroleum Corporation seeks with

1 this application?

2 A. We're seeking special pool rules for this
3 Llano upper Penn oil pool, and we're really -- we're
4 looking for provisions for an 80-acre oil well spacing
5 unit and proration unit, with the wells to be no closer
6 than 330 from any of the boundaries within the unit,
7 spacing unit.

8 Q. When was this pool created?

9 A. The pool was actually created back in 1966 by
10 Order R-30-433.

11 Q. And what are the current boundaries of the
12 pool?

13 A. The current boundaries are the northeast
14 quarter of Section 31 and the northwest quarter of
15 Section 32, within 11 South, Range 35 East, Lea County.

16 Q. What are the current vertical limits of the
17 pool?

18 A. The current limits are the Cisco Canyon and
19 the Strawn formations, and that -- in 2004 that was
20 contracted back to those formations.

21 Q. And currently what rules govern the pool?

22 A. It's state-wide rules for a 40-acre oil well,
23 330 setbacks.

24 Q. Mr. Barnett, how many wells are currently
25 producing from this pool?

1 A. Currently, there's only our Reba BNU State Com
2 #5 Well. It's within this Llano Upper Penn oil pool.

3 Q. So we have one well in the pool?

4 A. That's right.

5 Q. Why is Yates seeking special rules for the
6 pool?

7 A. From what I'll show you later is that the well
8 will drain in excess of 40 acres, and it will drain 80
9 acres consistently, and that's what we're after, so
10 there's no waste.

11 Q. When was this well drilled?

12 A. The well was originally drilled in '91 by
13 Kerr-McGee. It was State 32 #1, and it was a Devonian
14 oil well test. They didn't find anything. Subsequently,
15 the well was plugged and abandoned. And Yates re-entered
16 it back in October of '08 actually as an Atoka gas test.
17 But it didn't find any gas there, so we moved up and it
18 was completed in the canyon.

19 Q. Would you refer to what has been marked as
20 Yates Petroleum Corporation Exhibit Number 1 and identify
21 that for the Examiners?

22 A. This is just the Well Location and Acreage
23 Dedication Plat. It shows where the well is located at
24 2,300 feet from the south line and 1,650 feet from the
25 west line of Section 32 in 11 South, 35 East.

1 Q. This well will be in the standard location;
2 will it not?

3 A. Yes, sir.

4 Q. In fact, it is in the standard location?

5 A. That's right. It's set back 340 from that
6 north boundary of that 40-acre spacing unit and 330 from
7 the western boundary.

8 Q. It is actually outside but immediately
9 offsetting the pool boundaries for the Llano Upper Penn
10 pool?

11 A. Yes, sir. That's right.

12 Q. Could you identify what has been marked Yates
13 Exhibit Number 2?

14 A. This is just our ownership map, and all it
15 really signifies is -- in yellow -- is all of Yates'
16 acreage in the immediate area. And I've outlined in red
17 here the boudaries of this Llano Upper Penn oil pool.
18 You can see there in Section 32 where the Well 5 is, and
19 that's our Reba #5 Well, just right south of the pool
20 boundary.

21 Q. And Yates owns all acreage in the pool and all
22 offsetting acreage?

23 A. Yes, sir.

24 Q. Let's look at Exhibit Number 3. What does
25 this show us?

1 A. This is kind of to show the relationship
2 between this Llano Penn oil pool and the other Penn oil
3 pools in the immediate area. And kind of what I've got
4 highlighted here is this little circle in red that
5 indicates the two wells that -- or one that had been in
6 the pool and the -- our well, the Reba 5. On here I've
7 just got the perforation intervals marked in subsea
8 depths.

9 If you look to the west here in green, I've
10 circled the Four Lakes Penn oil pool, which is a -- has
11 80-acre spacing within the said pool. I've got the upper
12 most perf and the bottom most perforation of this Cisco
13 Canyon Upper Penn marked to show this, you know, relative
14 to our Llano Penn pool.

15 MR. EZEANYIM: Excuse me. On that green
16 circle, it's an 80-acre. What order approved that 80
17 acres? Do you remember the order that approved that?

18 MR. CARR: Mr. Examiner, I can provide
19 those orders. I don't think we have them here right now,
20 but I'll be glad to submit the orders after the hearing
21 for both of the pools.

22 MR. EZEANYIM: That would be interesting
23 to get that order.

24 MR. CARR: Okay.

25 A. Right south of that pool is the Ranger Lake

1 Penn oil pool. Again, it's 80-acre spaced, and I've got
2 the upper most perf marked within the pool and the
3 deepest perf marked, again, to show that they're all
4 relative.

5 Q. (By Mr. Carr) Mr. Barnett, if we look at this
6 exhibit and we look at, say, the Four Lakes Penn oil
7 pool, the one in the northwestern part of the plat, do
8 you have the perforations? You have a number of wells,
9 only one active and a number that are now inactive. The
10 perforations 5,690 to 6,523, does that mean that there
11 are no wells perforated in that pool above 5,690?

12 A. That's right.

13 Q. And none below 6,523?

14 A. That's right. And the same for that Ranger
15 Lake pool.

16 Q. Are there any other Upper Penn pools in the
17 area shown on this plat?

18 A. No, sir.

19 Q. So all pools in this area are, if your
20 application is approved, developed on 80-acre spacing?

21 A. That's right.

22 MR. EZEANYIM: What do you do with other
23 wells that are not active? Are they plugged and
24 abandoned?

25 THE WITNESS: Yes, sir.

1 MR. EZEANYIM: They are all plugged and
2 abandoned?

3 THE WITNESS: Yes, sir.

4 Q. (By Mr. Carr) It's a fairly old area?

5 A. Yeah. That Rambouillet #1 was drilled in
6 1965. So, I mean, that kind of dates how old these pools
7 are.

8 Q. Let's go to the two log sections, Exhibits 4
9 and 5, your neutron density log and then your lateral
10 log. Could you explain what they show?

11 A. These are the original well logs from the
12 Kerr-McGee's State 32 Number 1. And the idea is just to
13 show that on the density neutron, we perforated the
14 two -- two little streaks of porosity, and the same thing
15 for the lateral log. It's just to show the resistivity
16 across the perforated interval.

17 Q. And you've shown that on the third page of
18 each exhibit?

19 A. Yes, sir. That's on the third page. The
20 first page is just the log header, and the second page
21 really just denotes the scale across the log. And the
22 third page, in red I've got marked the perforated
23 interval, and you can see where the geologist has
24 highlighted the -- on the neutron density log has
25 highlighted or colored in the porosity streaks there in

1 red.

2 MR. EZEANYIM: Which well is this?

3 THE WITNESS: This is Kerr-McGee's State
4 32 #1, which is the original wellbore for our re-entry,
5 the Reba #5.

6 Q. This is the producing well?

7 A. Yes, this is our producing well.

8 MR. EZEANYIM: Okay. Now you plugged
9 back?

10 THE WITNESS: That's right, to the
11 upper --

12 Q. (By Mr. Carr) Mr. Barnett, what is Yates
13 Exhibit Number 6?

14 A. Number 6 is just the daily production from
15 this Reba well.

16 Q. Can you explain the color coding and what this
17 shows?

18 A. Okay. This is a semi log plat of the daily
19 production, and the green squares here show the oil
20 volumes that were produced on a daily basis. You move
21 down, you can see the -- in blue, blue circles -- the
22 water production from the well. And below that is the
23 maroon. The maroon triangles are the daily gas
24 production. And, finally, up at the top, the red crosses
25 are the GOR.

1 MR. EZEANYIM: I'm kind of color blind.

2 Could you repeat what you said?

3 THE WITNESS: The squares are the oil
4 production in barrels per day. There's also a legend up
5 in the top right corner. The circles are water
6 production. The triangles are the daily gas production,
7 and the crosses denote the GOR.

8 MR. EZEANYIM: Okay.

9 THE WITNESS: This just shows that I've
10 taken this daily production to get a decline -- to do a
11 decline curve analysis on the well to come up with an
12 EUR. This just shows that it comes up with 43 -- roughly
13 43-and-a-half thousand barrels of production.

14 Q. (By Mr. Carr) That's your total production
15 from the well?

16 A. Yes, sir.

17 Q. How is Exhibit 7 different?

18 A. Exhibit 7, it's just the same -- exact same
19 thing, except on a monthly basis to show the production
20 and the decline throughout the life of the well. It
21 shows that over the next 12 years that the well will make
22 43,000 barrels.

23 Q. Let's go now to Exhibit Number 8, your
24 drainage calculation. I'll ask you to explain the input
25 factors and then the calculation, how you got to this

1 drainage area.

2 A. The first thing I'll start off with is I
3 assumed that this is a solution gas drive oil reservoir.

4 MR. EZEANYIM: I wanted to ask you what is
5 the type of reservoir? Solution drive?

6 THE WITNESS: Yes, sir. And based off of
7 that, I just looked in Craft and Hawkins to come up with
8 the volumetric calculations for a solution gas drive
9 reservoir. I also looked in McCain to get an estimate
10 for the initial oil formation volume factor. I'll just
11 kind of -- after that set, I'll just kind of run down
12 from the top to the bottom.

13 The first set of parameters are really the
14 inputs for Archie's water saturation equation. And this
15 is just a lime, so I used the standard formula. I've got
16 the water resistivity here taken from a water sample.
17 I've also estimated the bottom hole pressure and
18 temperature.

19 And the next is the height I'm using for this,
20 and this is 16 feet of perforated interval. The porosity
21 is 4 percent, which I took off of the logs. And next is
22 the water saturation, which I used -- as I said before, I
23 used Archie's equation and the resistivity off of the
24 lateral log to come up with 45 percent water saturation.
25 The solution gas/oil ratio I took from the first day of

1 production at 693 cubic feet per barrel.

2 MR. EZEANYIM: To get all of these
3 factors, did you assume those factors?

4 THE WITNESS: Yes, sir.

5 MR. EZEANYIM: You just assumed them;
6 right?

7 THE WITNESS: Well, I assumed the
8 cementation and saturation coefficients, but the water
9 resistivity was measured.

10 MR. EZEANYIM: I'm just talking about the
11 A, M, and N.

12 THE WITNESS: Yes, sir, I assumed these.

13 MR. EZEANYIM: Okay. Go ahead.

14 A. The API gravity and the gas gravity were
15 measured from samples, oil and gas samples. As I said
16 before, the initial oil formation volume factor I took
17 from McCain Figure 11-9. And using the solution gas/oil
18 ratio and the gravities and the bottom hole temperatures,
19 come up with the initial oil formation volume factor. As
20 well, I estimated the formation volume factor at
21 abandonment, and I also had to assume the abandonment gas
22 saturation since this is a solution gas drive reservoir.

23 The EUR I took from the decline curve
24 analysis, and I used the Craft and Hawkins equation to
25 come up with the oil volume for stock tank barrels per

1 acre foot and backed out the drainage area of 86 acres.
2 As well, I had to assume a recovery factor in all of
3 this. I just assumed 20 percent, which is probably a
4 little bit optimistic, kind of -- how do I put it? That
5 might be a little bit high. You know, it might be more
6 along the lines of 15 percent. And if it was, I mean,
7 all that would do is show a bigger drainage area.

8 And as well, I tried to run some sensitivities
9 on this to see, based on my assumptions, if I changed my
10 assumptions, what kind of areas would it drain, and it
11 showed between 66 acres and 116 acres. So the way I was
12 thinking is either way, this will drain an 80-acre
13 spacing unit, which won't show any waste.

14 Q. Mr. Barnett, what conclusions can you reach
15 from your study?

16 A. This well can accurately drain and
17 efficiently drain 80 acres.

18 Q. Do you believe that 80-acre spacing is
19 appropriate for this pool?

20 A. I do.

21 Q. Does Yates plan to drill additional wells in
22 this immediate area?

23 A. We've got one other well permitted in this
24 area. It's the #6.

25 Q. Where is that?

1 A. It's just to the north. It's in the southwest
2 quarter of the northwest.

3 Q. Of Section 32?

4 A. Of Section 32.

5 Q. Would a 43,000 barrel recovery even
6 economically support development on 40-acre spacing?

7 A. No.

8 Q. Is it your recommendation that special pool
9 rules be adopted that provide for 80-acre spacing in this
10 pool?

11 A. Yes, sir.

12 Q. Is Exhibit Number 9 an affidavit confirming
13 that notice of the application has been provided in
14 accordance with the rules of the Division?

15 A. Yes, sir. This affidavit shows that we --
16 well, Yates is the only operator within the said pool.
17 We hold all the mineral interests in this area. So we --
18 honestly, we didn't have to notify anybody, but as a
19 courtesy, we notified the Commission of Public Lands.

20 Q. This is a State tract?

21 A. Yes, sir.

22 Q. Does this affidavit also contain the affidavit
23 of publication from the Lovington Leader?

24 A. That's right.

25 Q. In your opinion, will approval of this

1 application be in the best interest of conservation and
2 the prevention of waste and the protection of correlative
3 rights?

4 A. Yes, sir.

5 Q. Were Exhibits 1 through 9 compiled by you or
6 compiled under your direction?

7 A. Yes, sir.

8 MR. CARR: May it please the Examiner, at
9 this time I would move the admission into evidence of
10 Yates Exhibits 1 through 9.

11 MR. EZEANYIM: Yates Exhibits 1 through 9
12 will be admitted.

13 (Exhibits 1 through 9 were admitted.)

14 MR. CARR: That concludes my direct
15 examination of Mr. Barnett.

16 MR. EZEANYIM: Thank you.

17 MR. BROOKS: I have no questions.

18 EXAMINATION

19 BY MR. WARNELL:

20 Q. Mr. Barnett, I noticed on your logs there, do
21 you have plans of opening up some more of that well?
22 There's a couple of zones there, it looks to me like.
23 I'm surprised they didn't perforate the surface.

24 A. Yes, sir. Originally, this wasn't the
25 perforations that we were going to complete, and they did

1 talk about coming up to the -- a little higher and below,
2 and testing that, as well, but I can't say how soon that
3 will be. I mean -- but we have talked about that.

4 Q. You didn't recommend that? You didn't miss
5 these --

6 A. No. That's right.

7 MR. WARNELL: No more questions.

8 EXAMINATION

9 BY MR. EZEANYIM:

10 Q. Do you know what the bubble point of this
11 wellbore is?

12 A. No, sir.

13 Q. Have you attempted to obtain one?

14 A. Just through correlations and looking at it,
15 the bubble point would be initial pressure.

16 Q. Initial pressure?

17 A. Yes, sir.

18 Q. So immediately you perforate your bubble
19 point?

20 A. Right.

21 Q. What are the current production rates now?

22 A. It's fluctating between, I'd say, 55 and 65
23 barrels a day of oil.

24 Q. Okay.

25 A. It hasn't, surprisingly -- I shouldn't say

1 surprisingly, but it hasn't shown us any decline. It's
2 been fairly constant these last couple of months.

3 Q. How do you get the 43,000 barrels ultimate
4 recovery? Is it by the decline --

5 A. Yes, sir. That's just until economic limit
6 based on the monthly cost of \$60 oil.

7 Q. So what's the initial pressure then at the
8 bubble point?

9 A. It was 3,700, I believe.

10 Q. When I was reading through the application for
11 this, it said you want to produce at unrestricted rates.
12 What do you mean by unrestricted rates?

13 A. Our primary objective is not that. It's just
14 the spacing unit -- you know, just looking at the
15 production, it's an unrestricted rate of -- I don't know
16 what it is -- for 10,000 feet, but it's probably on the
17 order of 200 plus barrels, 230 barrels. This well will
18 never make that. It's just going to eke out 50, 60
19 barrels a day.

20 MR. CARR: Mr. Barnett, Yates isn't
21 seeking an exception to the depth --

22 THE WITNESS: No, sir, we're not.

23 Q. (By Mr. Ezeanyim) Where you get your fluid
24 properties from, McCain, I don't like McCain. I wish you
25 got it from Hawkins. That's just my personal opinion.

1 I'm not saying there's something wrong with that.

2 A. We'd honestly like to have PVT Properties.
3 We'd like to take fluids samples and get them measured,
4 but that's -- in a well like this, we can't really afford
5 to do that.

6 Q. This case will border on the varied
7 calculations, if it's evident that you're doing a
8 calculation -- which I don't like to assume to take all
9 those assumptions to arrive at what you arrived at. So
10 it's something we have to take a look at and see what
11 order we are going to submit or incorporate.

12 A. A reasonable --

13 Q. Yeah, reasonable. If they're reasonable and
14 the calculations come out the way it is, I mean --

15 A. That's one of the reasons I tried to run a
16 sensitivity and just see if I changed my assumptions --

17 Q. That was a good point to run the sensitivity.

18 A. -- will it actually change? But what I found
19 is it would drain more than 40 acres either way. It
20 looks like it could drain up to 120 acres, you know, so I
21 mean, I think 80 is realistic within this pool.

22 Q. I don't know whether you are asking for this
23 special pool rules on a permanent basis? On a temporary
24 basis?

25 A. A permanent basis.

1 MR. CARR: I would think we would prefer
2 on a permanent basis.

3 Q. (By Mr. Ezeanyim) Suppose you get it on a
4 permanent basis and find out it's not actually doing more
5 than the 80? I mean it's not really to your benefit to
6 accumulate those 80 acres without draining them. Anyway,
7 that's okay. But it depends on what the calculations
8 say?

9 A. That's right. This is all calculation-based.

10 Q. Okay. Now, what is special pool rules? I
11 know if you can get the 80-acre spacing that you're
12 asking for -- say 330 from the quarter section?

13 A. Yes, sir.

14 Q. What depth are we talking about now?

15 A. It's roughly 10,400 feet. The perforated
16 intervals -- the two perforated intervals of 10,396 to
17 10,404, and 10,408 to 10,416.

18 MR. EZEANYIM: Okay. Good. Anything
19 further?

20 MR. CARR: That concludes our
21 presentation.

22 MR. EZEANYIM: Okay.

23 MR. CARR: Mr. Examiner, I will today send
24 you the orders for the 80-acre spacing.

25 MR. EZEANYIM: That was very important.

1 And then try to draft an order so I can look at it.

2 MR. CARR: Would you like a draft order
3 from us?


4 MR. EZEANYIM: Yeah.

5 MR. CARR: Yes, sir. I'll provide that.

6 MR. EZEANYIM: Let me see what you are
7 asking for in the pool rules when I look at this.

8 Okay. At this point Case Number 14338 will be
9 taken under advisement.

10 * * *

11
12
13
14
15 I do hereby certify that the foregoing is
16 a complete record of the proceedings in
17 the Examiner hearing of Case No. 14338
18 heard by me on 7/9/09.
19 , Examiner
20 Oil Conservation Division
21
22
23
24
25


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on July 9, 2009, proceedings in the
above captioned case were taken before me and that I did
report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 22nd day of July, 2009.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2009