

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION
4

5 IN THE MATTER OF THE HEARING CALLED
6 BY THE OIL CONSERVATION DIVISION FOR
7 THE PURPOSE OF CONSIDERING:

8 APPLICATION OF ARMSTRONG ENERGY CASE NO. 14341
9 CORPORATION FOR APPROVAL OF A UNIT
10 AGREEMENT, CHAVES COUNTY, NEW MEXICO

11 APPLICATION OF ARMSTRONG ENERGY CASE NO. 14342
12 CORPORATION FOR APPROVAL OF A
13 WATERFLOOD PROJECT FOR ITS
14 ROUND TANK QUEEN WATERFLOOD UNIT AREA
15 AND QUALIFICATION OF SAID PROJECT FOR THE
16 RECOVERED OIL TAX RATE PURSUANT TO THE
17 ENHANCED OIL RECOVERY ACT, CHAVES
18 COUNTY, NEW MEXICO

19
20 TRANSCRIPT OF PROCEEDINGS
21 Hearing
22 July 23, 2009
23 8:31 a.m.
24 1220 South St. Francis Drive, Room 102
25 Santa Fe, New Mexico 87504

26
27
28
29
30 BEFORE: TERRY G. WARNELL, HEARING EXAMINER
31 RICHARD EZEANYIM, TECHNICAL ADVISOR
32 BRYAN JAMES, LEGAL ADVISOR

33
34
35 REPORTED BY: CONNIE JURADO, RPR, NM CCR #254
36 Paul Baca Professional Court Reporters
37 500 Fourth Street NW, Suite 105
38 Albuquerque, New Mexico 87102

A P P E A R A N C E S

For the Applicant:

HOLLAND & HART, LLP
Attorneys at Law
Post Office Box 2208
Santa Fe, New Mexico 87504-2208
BY: WILLIAM F. CARR

I N D E X

	PAGE
EXAMINATION OF BRIAN MICHAEL CARLOZZI	
By Mr. Carr	4
EXAMINATION OF BRUCE ALAN STUBBS	
By Mr. Carr	13
EXHIBITS	ADMITTED
1. Unit Agreement	10
2. Tract Map	10
3. Schedule of Ownership	10
4. Ratification of Unit Agreement	10
5. Preliminary Approval Letter	10
6. Letter, Mayes to Armstrong Energy Corporation	10
7. Affidavit	10
8. Technical Study	34
9. Application for Authorization to Inject	34
10. Application of Armstrong Energy Corporation	34

1 MR. WARNELL: We will call Case Number 14341,
2 application of Armstrong Energy Corporation for approval of
3 a unit agreement, Chaves County, New Mexico. Call for
4 appearances.

5 MR. CARR: May it please the Examiner, my
6 name is William F. Carr, Santa Fe law firm of Holland &
7 Hart, LLP. We represent Armstrong Energy Corporation in
8 Case Number 14341. This is a companion case to Case 14342,
9 and we would request that that case also be called at this
10 time, and they be consolidated for the purpose of hearing.

11 MR. WARNELL: Okay. And we will also call
12 Case Number 14342, application of Armstrong Energy
13 Corporation for approval of a Waterflood Project for its
14 Round Tank Queen Waterflood Unit Area and qualification of
15 said project for the recovered oil tax rate pursuant to the
16 Enhanced Oil Recovery Act, Chaves County, New Mexico.

17 MR. CARR: Mr. Examiner, I have two
18 witnesses.

19 MR. WARNELL: All right. Any other
20 appearances?

21 Will the witnesses please stand, state your name,
22 and be sworn.

23 MR. STUBBS: Bruce A. Stubbs.

24 (Note: Mr. Stubbs was duly sworn.)

25 MR. CARLOZZI: Brian M. Carlozzi.

1 (Note: Mr. Carlozzi was duly sworn.)

2 MR. WARNELL: Mr. Carr, you may call your
3 first witness.

4 MR. CARR: At this time, Mr. Examiner, we
5 call Brian Carlozzi.

6 BRIAN MICHAEL CARLOZZI

7 After having been first duly sworn under oath,
8 was questioned and testified as follows:

9 EXAMINATION

10 BY MR. CARR:

11 Q Would you state your full name for the record,
12 please?

13 A Yes. Brian Michael Carlozzi.

14 Q Could you spell your last name?

15 A Yes. It's C-A-R-L-O-Z-Z-I.

16 Q And where do you reside?

17 A Roswell, New Mexico.

18 Q By whom are you employed?

19 A Armstrong Energy Corporation.

20 Q And what is your position with Armstrong Energy
21 Corporation?

22 A Land manager.

23 Q Mr. Carlozzi, have you previously testified before
24 the New Mexico Oil Conservation Division?

25 A No, I have not.

1 Q Would you review for the Examiners your
2 educational background?

3 A Yes. I graduated with a bachelor of science from
4 Oklahoma State University in 2002, and subsequent to that, I
5 completed a master's of business administration. After
6 college, I worked for two commercial banks primarily as an
7 analyst and account or commercial account officer in an
8 energy lending department of Bank of Oklahoma, and I have
9 since worked as a landman for Armstrong Energy Corporation
10 since 2005.

11 Q And Mr. Carlozzi, are you familiar with the
12 applications filed in these consolidated cases on behalf of
13 Armstrong?

14 A Yes.

15 Q Are you also familiar with Armstrong's plans for
16 the formation of the unit and Waterflood Project in the
17 Queen formation in Chaves County, New Mexico?

18 A Yes.

19 Q Are you familiar with the status of the lands in
20 the area that is the subject of this case?

21 A Yes.

22 MR. CARR: We tender Mr. Carlozzi as an
23 expert in petroleum land matters.

24 MR. WARNELL: Mr. Carlozzi is so qualified as
25 an expert in land matters.

1 Q (By Mr. Carr) Mr. Carlozzi, would you briefly
2 summarize for the Examiners what it is that Armstrong Energy
3 Corporation seeks in each of these cases?

4 A Yes. In Case 14341, we seek approval of the Round
5 Tank Queen Waterflood Unit, which consists of 1,922.72 acres
6 of state and federal lands.

7 Q And what about Case 14342?

8 A We seek approval of a Waterflood Project for the
9 Round Tank Queen Unit Waterflood Project for injection into
10 the Queen formation. We also seek to qualify this project
11 for the recovered oil tax rate pursuant to the New Mexico
12 Enhanced Oil Recovery Act.

13 Q Have you prepared exhibits for presentation here
14 today?

15 A Yes, I have.

16 Q Would you refer to what has been marked for
17 identification as Armstrong Exhibit Number 1 and identify
18 this for the Examiners?

19 A Yes. This is the unit agreement. It is based on
20 the state/federal waterflood unit form.

21 Q And what is Exhibit 2?

22 A Exhibit 2 is the Exhibit A to this unit agreement,
23 and it lists the -- or shows a map of the different tracts
24 within this unit.

25 Q What is the character of the land at issue?

1 A Currently, the status of the acreage is held by
2 production. There is one State of New Mexico lease, which
3 holds 401.6 acres. And there are five federal leases, which
4 consist of 1521.12 acres. There are no fee leases within
5 this unit.

6 Q Let's go to the ownership breakdown that has been
7 marked as Exhibit Number 3.

8 A Okay.

9 Q Could you review this and explain what it shows to
10 the Examiners?

11 A It shows the ownership of each of the leases and
12 tracts in the unit area and identifies Armstrong Energy
13 Corporation acreage, as well as their related entity, Slash
14 Exploration Limited Partnership, which Armstrong Energy
15 Corporation is the general partner for.

16 Q What is the percentage of the working interest
17 within the unit area that has been or will be committed to
18 the unit?

19 A 100 percent.

20 Q So we have -- if we look at Exhibit 3, Slash and
21 Armstrong are all part of Armstrong's holdings?

22 A Yes.

23 Q And we have the Yates entities, and how are they
24 going to be brought in?

25 A Yates Petroleum Corporation has ratified, which we

1 will see in a further exhibit, and the other three Yates
2 related entities, HEYCO, Yates Energy, and Jalapeno, we are
3 currently finalizing a conveyance document with them.

4 Q What is the status of the Chase Oil Corporation
5 acreage?

6 A We have conveyances from not only Chase Oil, but
7 the other two family members who also have ownership in this
8 particular lease.

9 Q Would you identify what has been marked as Exhibit
10 Number 4?

11 A Yes. The preliminary approval letter from the
12 State Land Office.

13 Q Go back. You're on number --

14 A Okay.

15 Q What is Number 4?

16 A It is the participation or tract participation.

17 Q Let me hand you what has been marked Exhibit 4,
18 and can you just explain --

19 A That is the ratification from Yates Petroleum
20 Corporation.

21 Q All right. Mr. Carlozzi, let's go now to Exhibit
22 Number 5. Would you identify this exhibit?

23 A Yes. That is the preliminary approval letter from
24 the State Land Office.

25 Q And has the BLM designated this area as an area

1 logically suited for development under the unit plan?

2 A Yes. It is listed as Exhibit 6.

3 Q When both the BLM and the State Land Office give
4 their final approval to the unit, what percentage of the
5 royalty interest is committed?

6 A 100 percent.

7 Q Does Armstrong Energy Corporation request to be a
8 designated operator of the unit?

9 A Yes, they do.

10 Q Does the unit agreement provide for periodic
11 filing of plans of development?

12 A Yes, it does.

13 Q And will these plans be filed with the Oil
14 Conservation Division at the same time they are filed with
15 the BLM and State Land Office?

16 A Yes, they will.

17 Q And how often are they to be filed?

18 A The initial plan, they will be filed concurrently
19 with the filing of the unit agreement for final approval
20 with the State Land Office, BLM, and OCD, and that will also
21 require us to file subsequent plans prior to the expiration
22 date of the preceding plan.

23 Q And how soon are you required under the unit
24 agreement to commence secondary recovery operation?

25 A 18 months.

1 Q Is Armstrong Exhibit Number 7 an affidavit
2 confirming notice of this hearing has been provided in
3 accordance with the rules of the division?

4 A Yes, it is.

5 Q And to whom was notice provided?

6 A Regarding the Waterflood Project, the owner of the
7 surface of the land on which the well is to be drilled, as
8 well as all leasehold operators within one-half mile of the
9 proposed area.

10 Q And as to the unit, all the working interest and
11 royalty interest owners are committed?

12 A Yes.

13 Q And are those owners identified on pages 26 and 27
14 of Armstrong Exhibit 11, which we will review later?

15 A Yes, they are.

16 Q Were Armstrong Exhibits 1 through 7 either
17 prepared by you or compiled at your direction?

18 A Yes, they were.

19 MR. CARR: May it please the Examiners, at
20 this time, we would move the admission into evidence of
21 Armstrong Energy Corporation Exhibit Numbers 1 through 7.

22 MR. WARNELL: Exhibits 1 through 7 are
23 admitted.

24 (Exhibits 1 through 7 admitted.)

25 MR. CARR: That concludes my direct

1 examination of Mr. Carlozzi.

2 MR. WARNELL: Thank you, Mr. Carr. Any
3 questions? Richard?

4 MR. EZEANYIM: I have a few questions for
5 you. Go to Exhibit Number 2.

6 THE WITNESS: Okay.

7 MR. EZEANYIM: Clarify for me the land
8 matter. Which one is the federal and which one is the
9 state?

10 THE WITNESS: The one state lease is L 729.

11 MR. EZEANYIM: Okay. In color -- I'm color
12 blind. Which one is --

13 THE WITNESS: I actually don't have the color
14 one here in front of me.

15 MR. CARR: The color coding, Mr. Examiner, I
16 believe indicates various ownership working interests, not
17 the character of the lease. So could you identify what is
18 the federal tract for Mr. Ezeanyim?

19 THE WITNESS: Yes. It is Tract 7.

20 MR. EZEANYIM: Tract 7 is federal?

21 THE WITNESS: No, it's state. That is Lease
22 L 729.

23 MR. EZEANYIM: State is L 729?

24 THE WITNESS: Yes.

25 MR. EZEANYIM: Under the BLM, federal?

1 THE WITNESS: All the rest of the tracts.

2 MR. EZEANYIM: Okay. So the color coded are
3 giving by royalty --

4 MR. CARR: Or by working interest.

5 MR. EZEANYIM: -- or by working interest?

6 THE WITNESS: Yes.

7 MR. EZEANYIM: And then you say that 100
8 percent are committed, right?

9 THE WITNESS: Uh-huh.

10 MR. EZEANYIM: Okay. No further questions.

11 THE WITNESS: Okay.

12 MR. WARNELL: What is the location -- give me
13 kind of a feel for where we're at from a nonlocation I guess
14 it is called now in your area. I'm sure that's on here
15 someplace, but I don't see it right now. We're in Chaves
16 County, right?

17 THE WITNESS: Yeah. It is the township and
18 range closest to the Eddy County line.

19 MR. WARNELL: Okay.

20 MR. CARR: I don't know, Mr. Examiner, if
21 this will help, but we're 13 miles approximately northwest
22 of Loco Hills.

23 MR. WARNELL: I see it down here. Okay.

24 Thank you. If there are no other questions for this
25 witness, you may call your next witness.

1 MR. CARR: Thank you, Mr. Examiner. At this
2 time, we call Bruce Stubbs.

3 BRUCE ALAN STUBBS

4 After having been first duly sworn under oath,
5 was questioned and testified as follows:

6 EXAMINATION

7 BY MR. CARR:

8 Q Would you state your name for the record, please?

9 A Bruce Alan Stubbs.

10 Q And where do you reside?

11 A Roswell, New Mexico.

12 Q By whom are you employed?

13 A Armstrong Energy Corporation.

14 Q What is your position with Armstrong Energy
15 Corporation?

16 A Vice president of operations and engineering.

17 Q Mr. Stubbs, you've previously testified before the
18 Oil Conservation Division?

19 A That's correct.

20 Q Have you ever testified before Examiners Warnell,
21 Ezeanyim, or Mr. James?

22 A No, I have not.

23 Q Would you review for them your educational
24 background?

25 A I graduated from New Mexico State University in

1 1972 with a bachelor of science in mechanical engineering.

2 Q And since that time, for whom have you worked?

3 A I worked nine years for Halliburton Services, six
4 years for Read & Stevens, a small independent in Roswell;
5 five years for Hondo Oil and Gas Corporation, and I was a
6 consultant for about 15 years; and then I've worked for
7 Armstrong Energy Corporation now for almost three years.

8 Q And in all of those positions, have you worked as
9 a petroleum engineer?

10 A Yes.

11 Q Are you familiar with the applications filed in
12 these consolidated cases?

13 A Yes, I am.

14 Q And are you familiar with Armstrong's plans to
15 form a unit and implement a Waterflood Project in Chaves
16 County, New Mexico?

17 A Yes.

18 Q Did you prepare the C-108, the application in this
19 case?

20 A Yes, I did.

21 MR. CARR: We tender Mr. Stubbs as an expert
22 witness in petroleum engineering.

23 MR. WARNELL: Usually, Richard has a question
24 at this time. Mr. Stubbs, when you were a consultant, were
25 you a consulting petroleum engineer?

1 THE WITNESS: Yes. I am a registered
2 professional petroleum engineer in New Mexico and Texas.
3 Primarily did --

4 MR. WARNELL: Thank you for sharing that.
5 That is usually Mr. Ezeanyim's question. We took care of
6 that. Mr. Stubbs is so qualified.

7 Q (By Mr. Carr) Mr. Stubbs, I think initially it
8 would be helpful if you could just identify what horizons
9 are being unitized in the proposed Round Tank Queen
10 Waterflood Unit.

11 A Just the Queen formation.

12 Q And that is the only formation that you're going
13 to be conducting the secondary recovery operation --

14 A That's correct. It's about a 16-foot thick sand
15 package.

16 Q Let's go to what has been marked Armstrong Exhibit
17 Number 8, your technical study.

18 A Okay.

19 Q And I would ask you to, I think, work through this
20 and review for the Examiners the technical basis for this
21 proposal.

22 A Okay.

23 MR. EZEANYIM: Which exhibit are you talking
24 about now?

25 MR. CARR: It is Exhibit 8.

1 THE WITNESS: The Round Tank Queen Associated
2 Pool --

3 MR. CARR: Wait just a minute.

4 MR. EZEANYIM: Go ahead.

5 Q (By Mr. Carr) Okay. Proceed.

6 A The Round Tank Queen Associated Pool was
7 established in March of 1970 with the discovery well, the JW
8 State #1 in Unit K of Section 30 of 1529. To date, there
9 has been nine wells that have produced out of the Queen in
10 the Round Tank field. Cumulative production is
11 26,000 barrels of oil and almost 4.2 BCF of gas.

12 The map indicates the location of those wells on
13 page 1. Page 2 is -- at the top of the page is a summary of
14 the wells and their production, total depths, and where they
15 were perforated. And you can see, this field was primarily
16 a gas field with a minor amount of oil being produced.

17 At the bottom of the page is a declined curve or
18 the production in that field since 1970. The gas is a
19 little -- BTU gas. It is 61 percent nitrogen and 39 percent
20 hydrocarbons with a BTU content of about 513 BTUs per cubic
21 foot.

22 Q Mr. Stubbs, this is a historic production pod; is
23 that correct?

24 A Yes, that's correct.

25 Q The projection of which you anticipate to obtain

1 from the Waterflood Project will be presented later?

2 A That's correct.

3 Q All right. Let's go to page 3.

4 A Page 3, at the top of the page is just a cartoon
5 that shows the location of the gas cap in relation to the
6 wells that are produced out of the gas cap. The bottom of
7 the page is really not too important at this point. On page
8 4 at the bottom, go through the volumetrics to calculate the
9 area of the gas cap, and it covers about 2,466 acres, so
10 approximately four sections.

11 On page 5 is another carton showing the
12 approximate location of an oil leg. The Christine Federal
13 #3 has produced about 14,000 barrels of oil out of this oil
14 leg, and it sits in probably the best position for oil
15 production. It is just below the gas cap and just above the
16 water.

17 The gas cap is at plus 2219, and the oil/water
18 contact is at plus 2211, so there is an 18-foot oil column
19 in this little field, little rim of oil around this field.
20 To date, the Christine Federal #3 has not produced formation
21 water, so the water drive is not active. It doesn't have
22 any energy in it.

23 Q Well, where is the -- could you point out the
24 Christine Federal #3?

25 A Christine Federal #3 is located in Section 30,

1 Unit B. It's the one that has 14,579 barrels of oil.

2 Q What is on page 6?

3 A Page 6 is a computer generated structure map of
4 the Queen formation. The Queen sand is about two miles
5 wide. It runs north to south. It dips from west to east at
6 about 75 feet per mile. There is a nice, little nose that
7 is right on the section line between Sections 19 and 30, and
8 that's where the Christine Federal #3 is located. That's
9 where most of the oil productions come from.

10 Q Page 7.

11 A It's a little hard to see on this page, but the
12 dark shaded area is the oil column in relation to the --
13 this is -- what I use this for is a volumetric model, so
14 this identifies the oil column as it goes through the
15 sections.

16 Q Page 8, would you review that?

17 A Page 8 is a type log. We're quite fortunate, Mack
18 Energy has drilled a bunch of San Andres wells in the area,
19 so we now have some good modern logs, and this is a typical
20 log. There's a -- in just about every well out there,
21 there's a bottom sand with about six feet of good porosity
22 ranging from 18 to 22 percent, and then there is a top sand
23 with three to four feet of porosity ranging from about 15 to
24 18 percent.

25 Q The sand is continuous across the unit area?

1 A Yes. And that's what I tried to show at the
2 bottom of the page. It's a little small, but the sands are
3 continuous over the unit area.

4 Q Go ahead. What is shown on page 9 and 10?

5 A Page 9 shows the oil column as it runs through the
6 unit area, and page 10 is just showing the thickness of the
7 oil column. If you can imagine a trapezoidal shape, the oil
8 column it is about 18 feet thick, and it's about a quarter
9 to half a mile wide.

10 Q Would you go to page 11 and explain what that
11 shows?

12 A We -- to come up with unit interests per each
13 tract, really the only two things we had to consider were
14 the acreage being contributed and the original oil in place
15 number for each tract. So that's what I have done here is
16 calculated original oil in place for each tract. There's --
17 calculates 1.684 million barrels of oil in place in that oil
18 rim.

19 Q And all the working interest owners have agreed to
20 this tract participation?

21 A Yes, that's correct.

22 Q What is page 12?

23 A I think you've already seen this. This is the
24 tract map showing the different tracts.

25 Q If we go to now page 13, you talk about basically

1 four development phases. Could you explain those to the
2 commission and what you mean by each of those phases?

3 A Well, phase I or step I is a pilot project. We're
4 going to drill an injection well east of the Christine #3
5 and another producing well west of the Christine #3. We're
6 going to core the producing well and take that core and do
7 basic core analysis, but also do some displacement studies
8 and saturation studies on that core to determine the
9 feasibility of the waterflood.

10 In the meantime while we're evaluating the core,
11 we will start injection into the injection well and use the
12 Christine #3 as our monitor well to see what kind of
13 response we get. Once we have that data, we will do a full
14 field reservoir simulation study. And using that study, we
15 will pick our locations for additional injection wells and
16 producers.

17 Q When you use the term "phase," you're not talking
18 about distinct, separate, operational phases, are you?

19 A No, it's just development stages basically.

20 Q And to go through all of the phases, what sort of
21 a time frame are you anticipating it would take?

22 A We're talking probably six months for the first
23 step, a year for the second step, and then the third step,
24 so everything should be completed in two years.

25 Q After you go through the first step or phase, you

1 will then make your plans for the further development of
2 this unit area?

3 A That's correct. Using the reservoir simulation
4 model, we will be able to pick our well locations.

5 Q And does Armstrong request that the order entered
6 in this case provide for administrative procedure whereby
7 you can add additional injection wells to the unit
8 administratively without the necessity of --

9 A Yes, we request that.

10 Q Now, if we look at page 14, and we talk about well
11 construction and the area of review. This information
12 actually relates to the C-108 application, does it not?

13 A That's correct.

14 Q So why don't we skip that and come back to -- we
15 will get to that.

16 A Okay.

17 Q Go to page 16. What is this?

18 A 16 is a structure map just using subsea depths,
19 and it agrees with our computer generated map. The map on
20 page 17 is an isopach map showing sand thickness. And as
21 you can see, it is fairly uniform. There's a couple of
22 little pods that are ten feet thick, but the majority of the
23 net sands are 68 feet thick. And it is bounded on the east
24 by a porosity pinch-out, and it is also bounded on the west
25 with another porosity pinch-out.

1 So the sand is about two miles wide. We know it
2 is at least two miles long. There is not much well control
3 to the north or the south, so we're not real sure exactly of
4 the extent north and south. If you look at some of the
5 analogue fields, like the South Lucky Lake and Sulimar, they
6 are two or three times as long as they are wide. So this
7 may extend farther north and south.

8 On page 18, it's just showing our best guess of
9 well locations at this time. There would be a line of
10 injectors along the down dip side, and a line of producers
11 along the up dip side of the oil column.

12 Q And this last page is basically your estimate at
13 this time of what full unit development would look like in
14 this pool with the full waterflood implemented?

15 A That's correct.

16 Q And these locations will be re-evaluated and
17 possibly adjusted after you get your initial --

18 A That's correct.

19 Q Let's go to what has been marked Armstrong Exhibit
20 Number 9. Would you identify that, please?

21 A That is our C-108 application for injection well
22 in Unit Letter A of Section 30, 15, 29.

23 Q Does this C-108 contain all information required
24 by Form C-108?

25 A Yes, it does.

1 Q And has this application been provided to all
2 effected parties?

3 A Yes, it has.

4 Q Is this an expansion of an existing project?

5 A No, this is a new project.

6 Q Mr. Stubbs, let's go -- and I tried to number
7 these pages, but they didn't copy very well. Let's go to
8 page 5, I believe, which is the area of review map.

9 A Okay.

10 Q Would you refer to this map and review the status
11 of the development in this area for the Examiners?

12 A Okay. The well we're proposing to drill and make
13 an injector is located in Unit Letter A of Section 30, and
14 that is where the radius starts. You will notice a lot of
15 locations circled on there. That's Mack Energy's San Andres
16 wells that he has been drilling. He has drilled to date
17 probably ten to 12 of those wells. And by the time we
18 finish this meeting, he may have a couple more drilled. He
19 has been pretty active out there drilling San Andres wells.

20 You've already seen a map showing the Queen wells.
21 There's nine Queen wells in there. Back in the '50s, late
22 '50s, early '60s, he drilled a few San Andres wells and
23 attempted to produce the San Andres, but were not real
24 successful, so there's some old San Andres wells in the
25 area, also. And there is also one deep Devonian test

1 located in Unit Letter D of Section 30, and Mack Energy has
2 just drilled a Devonian disposal well in Unit Letter K of
3 Section 19.

4 Q And the circles on this exhibit are the one-half
5 mile area of review?

6 A That's correct.

7 Q And then just a circle indicating all tracts,
8 acreage, and wells that would be located within two miles of
9 the proposed injection well?

10 A That's correct.

11 Q Let's go to the page -- the following pages, 6
12 through 8 of Exhibit Number 9, and I would ask you to
13 explain what those show.

14 A These are the wells within a half mile radius of
15 review, giving location, TDs, spud dates, completion dates,
16 latitude and longitude. On the second page, page 7, is the
17 casing and cementing detail. On page 8 is the perforation
18 and completion detail on each one of the wells.

19 Q Do these three pages contain all information on
20 wells within the area of review that penetrate the injection
21 zone that is required by Form C-108?

22 A Yes, it does.

23 Q Let's look at the next pages, pages 9 through 18.

24 MR. EZEANYIM: Before you do that, do you
25 have the status of these wells? I am trying to find the

1 status of both wells in the area of review. Do you have
2 them?

3 THE WITNESS: What's that? The --

4 MR. EZEANYIM: The status of the wells in the
5 area of review.

6 THE WITNESS: Yeah, the third, fourth column,
7 status, they are either P and A, producing, or they are new
8 location.

9 MR. CARR: On page 6.

10 THE WITNESS: Page 6.

11 MR. EZEANYIM: L-O-C meaning what?

12 THE WITNESS: It's a new location. It hasn't
13 been drilled yet. It's been proposed and permitted.

14 MR. EZEANYIM: Is that going to be a producer
15 or injector?

16 THE WITNESS: I'm sorry?

17 MR. EZEANYIM: Is that going to be a producer
18 or injector?

19 THE WITNESS: It is one of Mack Energy's. It
20 will be a San Andres producer. San Andres is about
21 3,100 feet.

22 MR. EZEANYIM: Thank you.

23 Q (By Mr. Carr) Mr. Stubbs, let's go to pages 9
24 through 18. What are these?

25 A These are diagrams of the wells that we have

1 identified in the half mile radius.

2 Q Do these include the plugged and abandoned wells
3 that were on that list you just pointed out to Mr. --

4 A Yes, this is the plugged and abandoned wells.

5 Q Do they contain all plugging detail for each of
6 these wells?

7 A These are all the ones I could find in the
8 records.

9 Q I would like to direct your attention to the
10 Federal A #1 well.

11 A That is on page number 12. The copies may be a
12 little light, but the -- this well is -- it's not plugged
13 like I would like it to be plugged.

14 MR. EZEANYIM: Which one?

15 THE WITNESS: On page 12, Federal A #1.

16 MR. CARR: Roman numeral VI-7.

17 MR. EZEANYIM: Okay. There is no plug in
18 information there.

19 THE WITNESS: Well, they set a 35 sack plug
20 from 2,100 to 2,000, and open hole up to the casing shoe,
21 and there is a 35 sack plug set across the casing shoe. So
22 there is open hole from just below the casing shoe to 2,000
23 feet. The Queen zone is about 1,600 feet as I've
24 highlighted there.

25 Q (By Mr. Carr) How do you recommend this well be

1 handled?

2 A Well, if you go back to Exhibit 8 I believe it was
3 on page 14, there is a copy of the log.

4 Q Just a second. Let's get that out.

5 MR. WARNELL: Page 8 did you say?

6 A Page 14, Exhibit 8. This well lies east of the
7 porosity pinch-out, and the log indicates that the porosity
8 is very low. So while I'm concerned, I don't think it is a
9 big problem. This well probably is not conductive of
10 fluids, so I don't think we're going to have a problem with
11 losing water into this wellbore.

12 Q (By Mr. Carr) Would you recommend that the order
13 entered in this case provide that Armstrong should meet with
14 the OCD's District Office in Artesia to determine if
15 remedial work is required, and if so, what that should be
16 prior to injection?

17 A I would recommend that, yes.

18 Q Let's go to pages -- I believe it is pages 3 and
19 4, but Exhibit 9, the well data sheets for the proposed
20 injection well. And working from pages 3 and 4, would you
21 review for the Examiners how Armstrong proposes to actually
22 complete the injection well?

23 A The surface hole will be an 11-inch hole, drilled
24 to the Rustler anhydrite at about 150 feet.

25 MR. EZEANYIM: Which page are you talking

1 about now?

2 THE WITNESS: Page 3 in Exhibit 9.

3 MR. CARR: The C-108, the third page.

4 THE WITNESS: It's the injection well data
5 sheet.

6 MR. EZEANYIM: We're going back --

7 MR. CARR: Yes, we jumped back.

8 MR. EZEANYIM: The third page?

9 MR. CARR: Yes, sir.

10 MR. EZEANYIM: Okay.

11 THE WITNESS: We will drill an 11-inch hole
12 --

13 MR. EZEANYIM: This is the injection well?

14 THE WITNESS: This is the injection well,
15 yes. We will drill an 11-inch hole to approximately
16 150 feet into the Rustler anhydrite, set 8 5/8" casing and
17 circulate cement on that string, and then drill a 7 7/8"
18 hole to approximately 1,600 feet and set 5 1/2" casing and
19 run enough cement to circulate. Sometimes they don't
20 circulate due to some loss of circulation or washouts in
21 those holes, but we will attempt to circulate it.

22 And then after we move the rig off, we will move
23 in a completion unit, perforate the interval from
24 approximately 1575 to 1590. Acidize it, clean it up, and
25 frac it with a small 20,000-gallon frac treatment with about

1 20,000 pounds of sand, and then run a plastic coated packer
2 and internally plastic coated tubing to complete the well.

3 Q (By Mr. Carr) Will the annulus space be filled
4 with a fluid?

5 A We will fill the annulus with packer fluid with
6 corrosion inhibitor and then run an MIT test to make sure
7 the casing and packer are holding.

8 Q Will you pressure test the fluid in the annulus as
9 required through the Federal Underground Injection Control
10 Program?

11 A Yes, we will.

12 Q And Mr. Stubbs, we are proposing to inject into
13 the Queen. How thick an interval are we actually talking
14 about? What are the perforations?

15 A Like I said, the perforations are going to be
16 approximately 1575 to 1590.

17 Q So our net thickness is --

18 A 15 or 16 feet.

19 Q What is the average porosity?

20 A Average porosity is about 18 percent.

21 Q And the estimate of the permeability in this area?

22 A Those sands are very high permeability. Anywhere
23 from 100 to 500 millidarcies.

24 Q And you've indicated there is San Andres
25 production in the area. Mack Energy is now developing. Are

1 there any other oil productive zones in the immediate area?

2 A No, there is not.

3 Q And what is the source of the water that you're
4 proposing to inject into the subject well?

5 A We will be using San Andres water from Mack's
6 wells. He has quite a bit of water production now from
7 those wells.

8 Q And what volumes do you propose to inject?

9 A A rough estimate now is about 100 barrels per day
10 per injection well.

11 Q What would be your maximum injection?

12 A Probably not over 200 barrels a day per well.

13 Q Will this be a closed system?

14 A Yes, it will.

15 Q And you will be injecting under pressure?

16 A Yes.

17 Q And what pressure does Armstrong anticipate using?

18 A Initially, 100 pounds, and probably not exceeding
19 200 pounds.

20 Q These pressure limits fall below the 2/10 pounds
21 per foot of depth to the top of the injection interval that
22 the Oil Conservation Division generally uses?

23 A That's correct, 2/10 of a PSI per foot would be
24 300 PSI.

25 Q If you need to go above 300 PSI, will Armstrong

1 justify the increase in pressure with separate tests
2 witnessed by the division?

3 A Yes, we would.

4 Q Are there fresh water zones in the area?

5 A No, there is not.

6 Q Could you refer to -- I believe it is pages 23 and
7 25 of the C-108, and identify the water analyses that are
8 contained on those pages?

9 A Page 23 is a water analysis from the Queen zone
10 out of the J.W. State #1, and it is typical Queen water for
11 this area. It is fairly high chlorides, 159,000; 9,600
12 magnesium; 5,900 calcium.

13 Page 24 is some water analysis we obtained off of
14 Mack Energy's wells and --

15 Q And this is a San Andres well?

16 A This is San Andres water. The chlorides are
17 anywhere from 70- to almost 90,000, which is fresher water,
18 if you would, than the Queen water.

19 Q Do you anticipate any compatibility problems
20 injecting the San Andres water into the Queen?

21 A There's a slight tendency toward calcium carbonate
22 scale, and we think we can control that with inhibitors.

23 Q Okay. Have you examined the available geological
24 engineering data available on the Queen formation in this
25 area?

1 A Yes, I have.

2 Q And as the result of that examination, have you
3 found any evidence of open faults or other hydrologic
4 connections between the injection zone and any underground
5 source of drinking water?

6 A No, I have not.

7 Q Mr. Stubbs, let's now go to what has been marked
8 Armstrong Exhibit 10. Would you identify that, please?

9 A This is our application in Case 14342 for approval
10 of a Waterflood Project for its Round Tank Queen Waterflood
11 Unit area and qualification of said project for the
12 recovered oil tax rate pursuant to the Enhanced Oil Recovery
13 Act in Chaves County, New Mexico.

14 Q Let's go to that form, and I have asked you to --
15 or that letter and identify for the Examiners what you
16 estimate the additional capital costs to be for this
17 project.

18 A We estimate the capital costs at \$4.95 million.

19 Q And are those the total project expansion costs?

20 A Yes, at this time, that's our best estimate.

21 Q How much additional production does Armstrong
22 expect to obtain from this project?

23 A We hope to obtain at least 20 percent of the
24 original oil in place, which would be 320,000 barrels.

25 Q What is the estimated value of this additional

1 production?

2 A It would be \$20,800,000.

3 Q And what are you basing that on?

4 A At \$65 a barrel.

5 Q If this project is economically successful, does
6 Armstrong plan to expand the project?

7 A Yes, that is our intent.

8 Q If we look at the attachments to your letter
9 application, what is Exhibit A?

10 A This is -- the shaded area in yellow is the unit
11 outline on the land plat.

12 Q And Exhibit B?

13 A This is the type log from the Eskimo State #2
14 well.

15 Q And this is the type log that you previously
16 discussed?

17 A Yes.

18 Q Exhibit Number C?

19 A This is the same map we had on Exhibit Number 8
20 with the location of the Queen wells and the production from
21 the Queen wells.

22 Q What is Exhibit D?

23 A D is the historic production history of the well
24 up until mid 2009 and then our projected production from the
25 waterflood.

1 Q Mr. Armstrong, does -- Mr. Stubbs, does Armstrong
2 request that the unit order in this case be expedited?

3 A Yes.

4 Q How soon do you anticipate actually drilling an
5 injection well?

6 A We're trying to get ready to start drilling about
7 mid October -- or mid August, I mean.

8 Q So it would be important to have the unit portion
9 of these applications in place by the 1st of August?

10 A Yes, it would.

11 Q In your opinion, would approval of this
12 application and the implementation of its proposed
13 waterflood be in the best interest of conservation,
14 prevention of waste, and the protection of correlative
15 rights?

16 A Yes, it would.

17 Q Were Armstrong Exhibits 8 through 10 prepared by
18 you or compiled under your direction?

19 A Yes, they were.

20 MR. CARR: And may it please the Examiners,
21 at this time, we would move the admission into evidence of
22 Armstrong Energy Corporation Exhibits 8 through 10.

23 MR. WARNELL: Exhibits 8 through 10 are
24 admitted.

25 (Exhibits 8 through 10 admitted.)

1 MR. CARR: Mr. Examiner, I also have prepared
2 a proposed order which addresses the unit part of the case
3 that I will submit also by e-mail. It is, to the best of my
4 ability, the most recent -- conforms with the most recent
5 order entered by the division, and because we have requested
6 that this part of the applications be expedited, we do have
7 a proposed order for you. If I may present them to you at
8 this time?

9 MR. WARNELL: Yes.

10 MR. CARR: And that concludes my direct
11 examination of Mr. Stubbs.

12 MR. WARNELL: Thank you. Mr. Stubbs, that
13 was a lot of material we went over. Unfortunately, I did
14 not write down all of my questions, but I would like to go
15 back to this type log that we just looked at.

16 THE WITNESS: Okay.

17 MR. WARNELL: That is a nice, legible log.
18 What is going on with the gamma ray there? Why is that
19 gamma ray so hot?

20 THE WITNESS: The Queen is typically a
21 radioactive sand.

22 MR. WARNELL: And do you run just a standard
23 gamma ray or do you run a spectral gamma ray or anything?

24 THE WITNESS: This is just a standard gamma
25 ray.

1 MR. WARNELL: How long does it take you to
2 drill a 1,600 foot well?

3 THE WITNESS: Not long. You wait on cement
4 longer than you spend drilling. Three or four days.

5 MR. WARNELL: Questions, Richard?

6 MR. EZEANYIM: Why do you want this order in
7 a hurry?

8 MR. CARR: We need the order because a unit
9 agreement can only be effective on the first day of the
10 month following approval from the landowners. The Land
11 Office conditioned their approval on the order on the unit
12 from the OCD. So to have the unit part in place -- we're
13 not in a hurry on the rest of it, but to have the unit in
14 place by August 1, the Land Office won't give us that until
15 we get the unit order from you. So that's the only reason
16 for having to push that part of it like that.

17 MR. EZEANYIM: What is the primary recovery
18 factor in this lease? Do you have an idea? I know we went
19 5 through 8.

20 THE WITNESS: Well, this lease is -- this
21 little project is somewhat unique because we have very
22 little primary production. We have only produced to date
23 about 1 1/2 percent of the original oil in place. Most of
24 the Queen fields in the area have about 20 percent primary
25 production. And most of them have about another 20 percent

1 on secondary, so they recover somewhere around 40 percent of
2 the oil in place.

3 This is a little different because we haven't
4 produced any -- very little primary production. So our
5 models that we have right now, the simulation we have right
6 now indicates that we will get at least 23 percent of the
7 original oil in place. If we can do a little better job on
8 the waterflood, we may get a higher number than that.

9 MR. EZEANYIM: I'm not sure that you are
10 starting this very early in the life of the well without
11 allowing this to include primary production.

12 THE WITNESS: Well, right now there is no
13 bottom hole pressure. The gas cap has been depleted. There
14 is no pressure in the water leg or the oil column. There is
15 very little solution gas in the oil. Like I said before,
16 the gas -- the content -- the nitrogen content of the gas
17 cap is about 60 percent, and so there is very little
18 hydrocarbon gas to be put into solution. Now, the pressure
19 is about 60 BSI, so all the gas is moved out of the oil
20 column. There is no reservoir energy.

21 MR. EZEANYIM: Good -- okay. I like this
22 project. If you go to the producer well, if you are going
23 to produce water from the San Andres and inject it into the
24 Queen --

25 THE WITNESS: That's correct.

1 MR. EZEANYIM: -- what are the compatibility?
2 I know you talked about it. What are the compatibility in
3 the --

4 THE WITNESS: It appears to be compatible.
5 There is a slight tendency towards scaling. We think we can
6 control that with inhibitors.

7 MR. EZEANYIM: Are you going to be using a
8 line drive there?

9 THE WITNESS: It is basically a line drive.
10 It is a little bit -- I think it's going to end up being a
11 little different than a line drive because we're going to
12 move the injectors back away from the oil column a little
13 ways to get the pressure to be more uniform across the oil,
14 oil front.

15 MR. EZEANYIM: We don't know what the oil
16 price is going to do, you know. I think using the oil price
17 of \$65 is kind of already maybe high now.

18 THE WITNESS: It has been \$65 for a couple of
19 days now.

20 MR. EZEANYIM: You hope to recover an
21 additional 20 percent at least?

22 THE WITNESS: Yeah, that's what we
23 anticipate.

24 MR. EZEANYIM: That's good. No further
25 questions.

1 MR. WARNELL: Mr. Stubbs, I have got -- I
2 thought for sure that Mr. Ezeanyim would ask about that
3 Federal A #1 well.

4 THE WITNESS: Yes, sir.

5 MR. WARNELL: Looking at your -- this page
6 here right now.

7 THE WITNESS: Okay.

8 MR. WARNELL: I think it is C-108 about
9 halfway through.

10 THE WITNESS: Yeah, page 12. Uh-huh.

11 MR. WARNELL: Yeah. That well concerns me,
12 too, a bit. You don't suppose that could be a deal breaker,
13 do you?

14 THE WITNESS: No. I mean, if we get to the
15 point that nobody is happy with it, we will try to re-enter,
16 replug it. But I really -- I don't like the way it is
17 plugged either, but I don't have a lot of heartache over it
18 because the zone is so tight. We just don't have any
19 porosity.

20 MR. WARNELL: Have you talked with the people
21 at Artesia yet, or do you intend to do that?

22 THE WITNESS: I intend to do that before we
23 start injection.

24 MR. WARNELL: No more questions.

25 MR. CARR: That concludes our presentation in

1 this case.

2 MR. WARNELL: Thank you, Mr. Carr. We will
3 take Case Number 14341 and 14342 under advisement. It looks
4 like it's about 9:20. Let's take a ten-minute break, and we
5 will start again at 9:30.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, CONNIE JURADO, do hereby certify that I reported the foregoing case in stenographic shorthand and transcribed, or had the same transcribed under my supervision and direction, the foregoing matter and that the same is a true and correct record of the proceedings had at the time and place.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case, and that I have no interest whatsoever in the final disposition of this case in any court.

WITNESS MY HAND this 23rd day of July, 2009.

Connie Jurado, CCR, RPR
New Mexico CCR No. 254
Expires: December 31, 2009