

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF CONOCOPHILLIPS COMPANY
FOR EXCEPTIONS TO OIL CONSERVATION
DIVISION RULES 19.15.16.9 NMAC CONCERNING
THE SEALING OF STRATA AND 19.15.16.10 (A) NMAC
CONCERNING CASING AND TUBING REQUIREMENTS IN THE
RECOMPLETION OF HORIZONTAL WELLS IN THE VACUUM
GLORIETA EAST UNIT, LEA COUNTY,
NEW MEXICO

CASE NO. 14562

TRANSCRIPT OF PROCEEDINGS
Examiner Hearing
October 28, 2010
8:25 a.m.
1220 South St. Francis Drive
Santa Fe, New Mexico 87504

BEFORE: DAVID BROOKS, HEARING EXAMINER
WILL JONES, TECHNICAL EXAMINER

REPORTED BY: CONNIE JURADO, RPR, NM CCR #254
Paul Baca Professional Court Reporters
500 Fourth Street NW, Suite 105

1 A P P E A R A N C E S

2 For the Applicant:

3 HOLLAND & HART, LLP
 Attorneys at Law
 4 Post Office Box 2208
 Santa Fe, New Mexico 87501
 5 BY: WILLIAM F. CARR

6 I N D E X

7	EXAMINATION OF TOM SCARBROUGH	PAGE
8	By Mr. Carr	5
9	EXAMINATION OF CHERYL MNICH	
10	By Mr. Carr	11
11	EXAMINATION OF KAREN STILES	
12	By Mr. Carr	24
13	EXHIBITS	ADMITTED
14	Slide 1. Location Map	10
15	Slide 2. General Unit Map	10
16	Slide 3. Offset Operators	10
17	Slide 4. Depth/Thickness of Formations	19
18	Slide 5. Geologic Schematic	19
19	Slide 6. Sidewall Core Data	19
20	Slide 7. VGEU 26-06 Mudlog	19
21	Slide 8. VGEU 38-03 Mudlog	19
22	Slide 9. COP Drilled Laterals	35
23	Slide 10. History of Approval of 2007 Laterals	35
24	Slide 11. VGEU 01-06 Lateral Production	35
25	Slide 12. VGEU 42-01 Lateral Production	35

1	Slide 13. Example of Existing and Planned	
2	Laterals	35
3	Slide 14. Economic Impact	35
4	Slide 15. Offset Operators Have Done This as Well	35
5	2. Affidavit	10
6	3. Form C-101	35
7	4. Form C-101	35
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 MR. BROOKS: I neglected to mention
2 when calling the continuances and dismissals that
3 Case Number 14561 has been dismissed.

4 So at this time, I will call Case
5 Number 14562, the Application of ConocoPhillips
6 Company for exceptions to Oil Conservation Division
7 Rules 19.15.16.9 NMAC concerning the sealing of
8 strata and 19.15.16.10(A) NMAC concerning casing and
9 tubing requirements in the recompletion of horizontal
10 wells in the Vacuum Glorieta East Unit, Lea County,
11 New Mexico.

12 Call for appearances.

13 MR. CARR: May it please the
14 examiner, my name is William F. Carr. I am with the
15 Santa Fe office of Holland & Hart. We represent
16 ConocoPhillips Company, and I have three witnesses.

17 MR. BROOKS: Would the witnesses
18 please stand, state their names separately, and then
19 they will be sworn together.

20 MR. SCARBROUGH: My name is Tom
21 Scarbrough.

22 MS. STYLES: My name is Karen Stiles.

23 MS. MNICH: Cheryl Mnich.

24 (Note: Witnesses sworn.)

25 MR. CARR: May it please the

1 examiner, at this time we call Mr. Scarbrough.

2 TOM SCARBROUGH

3 After having been first duly sworn under oath,
4 was questioned and testified as follows:

5 EXAMINATION

6 BY MR. CARR:

7 Q Would you state your name for the record,
8 please?

9 A My name is Tom Scarbrough.

10 Q Would you spell your last name?

11 A S-C-A-R-B-R-O-U-G-H.

12 Q Where do you reside?

13 MR. BROOKS: Which I gather you're no
14 relation to the Midland Scarbroughs?

15 THE WITNESS: No, I am not.

16 MR. BROOKS: Go ahead. I'm sorry.

17 Q (By Mr. Carr) You don't reside in
18 Midland?

19 A No, I do not.

20 Q Where do you reside?

21 A I live in Houston, Texas.

22 Q By whom are you employed?

23 A ConocoPhillips.

24 Q Mr. Scarbrough, what is your current
25 position with ConocoPhillips?

1 A I am a staff landman with ConocoPhillips.

2 Q Have you previously testified before the
3 Oil Conservation Division?

4 A Yes.

5 Q Have you testified before Examiner Brooks
6 or Examiner Jones?

7 A No, I have not.

8 Q Would you review for them your educational
9 background?

10 A I have a degree in petroleum land
11 management from the University of Oklahoma.

12 Q And when did you receive that degree?

13 A 1982.

14 Q And since that time for whom have you
15 worked?

16 A I have worked for ConocoPhillips for the
17 past 20 years.

18 Q Are you familiar with the application
19 filed in this case on behalf of ConocoPhillips
20 Company?

21 A Yes, I am.

22 Q And are you familiar with the status of
23 the lands in the Vacuum Glorieta East Unit area?

24 A Yes, I am.

25 MR. CARR: We tender Mr. Scarbrough

1 as an expert in petroleum land matters.

2 MR. BROOKS: So recognized.

3 Q (By Mr. Carr) Mr. Scarbrough, would you
4 briefly summarize for the examiners what it is that
5 ConocoPhillips seeks with this application?

6 A ConocoPhillips is seeking an order
7 granting an exception to two OCD rules. One
8 concerning the sealing of strata. The second one
9 concerning the casing and tubing requirements in the
10 recompletion of horizontal wells in the Vacuum
11 Glorieta East Unit.

12 Q And why is Conoco seeking this order at
13 this time?

14 A Conoco has filed an application with the
15 OCD to recomplete the proposed wells. We were
16 advised that there were certain factual situations
17 that would best be addressed by seeking a hearing.

18 Q So you filed an application?

19 A The application was filed on September 28.

20 Q And have you notified affected parties?

21 A Yes, we have.

22 Q Let's go to the first slide in Exhibit
23 Number 1. And I would ask you to identify that for
24 the examiners.

25 A Identified as the red dot is the Vacuum

1 Glorieta East Unit in central Lea County, New Mexico.

2 Q And this is just a general location map?

3 A Yes, it is.

4 Q Let's go to the next slide. What is that?

5 A That is a map showing the unit boundary of
6 the Vacuum Glorieta East Unit.

7 Q Does it show all wells drilled in the unit
8 area?

9 A Yes, it does.

10 Q Mr. Scarbrough, in the center of the unit,
11 there is an indication that two horizontal wells have
12 been drilled; is that right?

13 A That is correct.

14 Q And will those wells be discussed by
15 subsequent witnesses?

16 A Yes.

17 Q What is the character of the land in the
18 unit area?

19 A All of the land in the unit area is state
20 of New Mexico oil and gas leases.

21 Q And would you go to Slide 3 and just
22 identify that.

23 A A list of offset operators that were
24 provided notice.

25 Q Is ConocoPhillips Exhibit Number 2 an

1 affidavit confirming that notice of this hearing has
2 been provided in accordance with the rules of the Oil
3 Conservation Division?

4 A Yes, it is.

5 Q And what is attached to that affidavit?

6 A There is an Affidavit of Notice
7 provided -- that notice was provided to all offset
8 operators. There is an affidavit of publication.
9 Also, a copy of the letter that was sent to all
10 offset operators, and finally, proof of receipt by
11 certified mail.

12 Q And you have notified all offset
13 operators?

14 A Yes, we did.

15 Q In each of the formations in which there
16 could be an open hole completion; is that correct?

17 A That is correct.

18 Q And will ConocoPhillips call additional
19 witnesses to review the technical portions of this
20 case?

21 A Yes, we will.

22 Q Were Slides 1 through 3 in Exhibit 1 and
23 Exhibit 2 either prepared by you or have you review
24 it and can you testify to their accuracy?

25 A Yes, I can.

1 MR. CARR: May it please the
2 examiner, at this time, we move the admission into
3 evidence of ConocoPhillips Exhibits 1 -- Slides 1
4 through 3 in Exhibit 1 and Exhibit 2.

5 MR. BROOKS: Okay. Exhibits 1,
6 Slides 1 through 3, and Exhibit 2 are admitted.

7 (Exhibit 1, Slides 1 through 3, and
8 Exhibit 2 admitted.)

9 MR. BROOKS: I don't believe I've got
10 a copy of Exhibit 2. Mr. Jones has it. Okay. So
11 that's okay. I have no questions.

12 MR. JONES: Does this overlay the
13 East Vacuum Grayburg Unit?

14 A Yes, it does.

15 MR. JONES: Let's see here. This
16 Lower Paddock -- I mean Upper and Lower Paddock is
17 part of the unitized interval. So the lower part of
18 the unitized interval, is that the bottom of the
19 Paddock?

20 A Yes.

21 MR. JONES: Okay. I don't have any
22 more questions.

23 MR. BROOKS: Thank you. The witness
24 may step down.

25 MR. CARR: At this time, we call

1 Cheryl Mnich.

2 CHERYL MNICH

3 After having been first duly sworn under oath,
4 was questioned and testified as follows:

5 EXAMINATION

6 BY MR. CARR:

7 Q Would you state your full name for the
8 record?

9 A Cheryl Ann Mnich.

10 Q And spell your last name.

11 A M-N-I-C-H.

12 Q Ms. Mnich, where do you reside?

13 A I reside in Houston, Texas.

14 Q And by whom are you employed?

15 A ConocoPhillips.

16 Q What position do you hold with
17 ConocoPhillips?

18 A I am an associate geologist.

19 Q Have you previously testified before the
20 New Mexico Oil Conservation Division?

21 A No.

22 Q Could you review for the examiner your
23 educational background?

24 A I received a BA in geology from the
25 University of Colorado and a master's of science in

1 geology from Colorado School of Mines in May 2009.

2 Q And since graduation from the Colorado
3 School of Mines, have you been at all times employed
4 as a geologist by ConocoPhillips?

5 A Yes.

6 Q Are you familiar with the application
7 filed in this case?

8 A Yes.

9 Q Are you familiar with ConocoPhillips'
10 plans to recomplete horizontal wells, certain wells
11 in the Vacuum Glorieta East Unit?

12 A Yes.

13 Q Have you made a geological study of the
14 area that is the subject of this case?

15 A Yes.

16 Q Are you prepared to review the results of
17 that study with the examiners?

18 A Yes.

19 MR. CARR: We tender Ms. Mnich as an
20 expert in petroleum geology.

21 MR. BROOKS: So recognized.

22 Q (By Mr. Carr) Ms. Mnich, let's start the
23 technical part by explaining specifically what
24 ConocoPhillips is seeking here today.

25 A We're seeking exceptions to the rules to

1 enable us to recomplete wells in this unit as open
2 hole laterals from the kickoff point to the end of
3 the horizontal wellbore because our existing
4 wellbores have very narrow 5 1/2 inch casing.

5 Q Just briefly, don't read the rule to us,
6 but just tell us what exactly these rules require and
7 what exceptions we need.

8 A The sealing off the strata pertains to
9 sealing off any waters from any oil or gas bearing
10 strata.

11 Q And does --

12 A As -- sorry.

13 Q Go ahead.

14 A The casing and tubing requirements
15 provides that the casing will isolate oil and gas
16 bearing strata from water bearing strata.

17 Q Have you prepared exhibits for
18 presentation here today?

19 A Yes.

20 Q Let's go to Slide 4 in the exhibit packet.
21 Would you identify that, and then review it for the
22 examiners?

23 A Yes. Slide 4 is a summary of the
24 stratigraphy with which this application pertains
25 showing the San Andres formation to the top is around

1 4400 feet. And then the Glorieta is immediately
2 underneath the San Andres starting around 5950. And
3 the top of the Upper Paddock is around 6070 feet.
4 The Paddock formation includes the Upper Paddock
5 Limestone and the Lower Paddock Dolomite.

6 The entire unitized interval includes from
7 the top of the Glorieta to the base of the Paddock.
8 The Glorieta is approximately 100 feet in the unit
9 area, and the Paddock is approximately 300 feet, give
10 or take.

11 Q Let's go to Slide Number 5 and review
12 that.

13 A This is showing an existing wellbore in
14 which we have existing perforations in the Upper and
15 Lower Paddock. What we would like to do is set a
16 bridge plug to close off those existing perforations,
17 mill a window through the casing, build a horizontal
18 down through the San Andres and Glorieta landing for
19 the horizontal well path in the upper 20 feet of the
20 Paddock Limestone, which is our main reservoir.

21 Q The horizontal wellbore will -- actually,
22 the producing interval will be in the Upper Paddock;
23 is that correct?

24 A Yes.

25 Q And the open hole as you come out of the

1 kickoff point in the casing will be in the lower
2 portion of the San Andres and extend through the
3 Glorieta?

4 A Yes.

5 Q And the Glorieta and the Paddock are
6 unitized?

7 A Yes.

8 Q And they are, when both are present,
9 produced together; is that correct?

10 A Correct.

11 Q They are not segregated or separately
12 measured?

13 A No.

14 Q Let's go to Slide Number 6, your sidewall
15 core information. Would you review that?

16 A Yes. This is the same base as two slides
17 ago, but it highlights the properties for the Lower
18 San Andres that we collected from sidewall core data.
19 It shows that the average porosity is about ten
20 percent. Permeability is about one millidarcy.
21 Average water saturation, 88 percent. Zero oil
22 saturation. Zero gas units, and no fluorescence in
23 the San Andres.

24 Q When we put the porosity and permeability
25 together, is it fair to say we have a very tight

1 reservoir at this interval?

2 A Yes. The porosity is not exceptionally
3 low but the permeability is extremely low.

4 Q In this situation would there be, in your
5 opinion, geologically any potential for a cross-flow
6 in or out of the Lower San Andres?

7 A No.

8 Q And is there any oil or gas producibility
9 out of the Lower San Andres?

10 A No.

11 Q Let's now go to Slide Number 7. Would you
12 explain what this is and review it, please.

13 A So on the left, we have the unit map. The
14 red star is highlighting this particular well, VGEU
15 26-06.

16 Q And this is the mudlog from that well?

17 A And this is the mudlog from that well
18 through the Lower San Anders around 5850 down through
19 the top of the Paddock Limestone. And I have marked
20 where the different units start depthwise. The first
21 tract here -- I will kind of point to it. This is
22 your drill rate through the formations. Then the
23 little column here that has got a little bit of red
24 is indicating porosity. The colors are
25 distinguishing between trace, little and lots of

1 porosity according to the mudlogging company's table
2 up at the top.

3 And then we have a lithology column
4 followed by a column for any cut or fluorescence
5 present, a description column, and then the gas units
6 column over on the right. As I have highlighted here
7 with the arrows, we see through this lower part of
8 the San Andres, the mudloggers indicated trace
9 porosity, no cut, no fluorescence, and no gas kicks.

10 Q So what does that tell you?

11 A That indicates that there is no producible
12 oil in the Lower San Andres.

13 Q What about the Glorieta?

14 A The Glorieta can produce in some areas.
15 This particular well log does not show any cut or
16 fluorescence or gas kicks.

17 Q Generally, how would you describe the
18 Glorieta?

19 A The Glorieta is a silty, sandy dolomite.
20 It was deposited in a low energy environment. It's
21 quite muddy.

22 Q And it is generally tight unless you're in
23 a compartment that you can produce?

24 A Correct.

25 Q Let's go to the next one. What is that?

1 A The next one is the VGEU 38-03 mudlog in
2 the western part of the unit. Again, I have
3 highlighted -- in this particular mudlog, there is no
4 porosity indicated on the mudlogs. Again, no cut or
5 no fluorescence, and small gas kicks that are
6 insignificant. And then in the Glorieta, and this
7 one, you can see small red bars indicating the small
8 amount of cut or fluorescence through the Glorieta.

9 Q Does this indicate that the general
10 characteristics of these formations should be
11 consistent across the unit area?

12 A Yes.

13 Q In your opinion, is it necessary to case
14 and cement the open hole interval to isolate oil and
15 gas or water --

16 A No.

17 Q -- in these zones? Can oil, gas, and
18 water, if any, from the San Andres formation in the
19 unit migrate to any other horizon?

20 A No.

21 Q Is there anything in this configuration
22 that would lead to the contamination of any water
23 source?

24 A No.

25 Q Summarize your geologic conclusions for

1 us.

2 A What I found through the geologic study is
3 the Lower San Andres does not produce oil. It is
4 very tight rock. And that the general
5 characteristics across the field remain the same to
6 indicate there won't be any areas that do produce.
7 And the Glorieta is part of the unitized interval and
8 is capable of producing, but it is compartmentalized.

9 Q Ms. Mnich, were Exhibit 1, Slides 4
10 through 8 prepared by you?

11 A Yes.

12 MR. CARR: May it please the
13 examiners, at this time, we move the admission into
14 evidence of ConocoPhillips Slides 4 through 8.

15 MR. BROOKS: ConocoPhillips Slides 4
16 through 8 are admitted.

17 (Slides 4 through 8 admitted.)

18 MR. CARR: Pass the witness.

19 MR. BROOKS: I take it your overall
20 conclusion then is that there is no oil or gas and no
21 hydrocarbons in the San Andres or the Glorieta in
22 this area?

23 A There is definitely none in the Lower San
24 Andres. There are some in the Glorieta.

25 MR. BROOKS: And then -- but you

1 think they are not producible?

2 A What?

3 MR. BROOKS: You believe they are not
4 producible?

5 A For the most part. There are compartments
6 that can produce as part of the unitized interval,
7 and we have produced both the Glorieta and Paddock in
8 the past in different wells.

9 MR. BROOKS: Okay. Would you expect
10 that there would be a probability that the Glorieta
11 would be producible in the area where these wells or
12 where you're proposing to drill wells?

13 A Not significantly, no.

14 MR. BROOKS: Okay. I raise that
15 issue because I take it that the construction -- and
16 this perhaps is for the engineer, but I take it the
17 construction you propose will not enable you to
18 distinguish between any hydrocarbons that originated
19 in the Glorieta versus those that originated in the
20 Paddock?

21 A No. They have never been separated
22 historically in the area. They have always been
23 produced together and never differentiated
24 productionwise.

25 MR. BROOKS: They are both in the

1 unitized interval?

2 A Yes.

3 MR. BROOKS: And are they classified
4 by OCD as being part of the same pool?

5 A Yes.

6 MR. BROOKS: Okay. Thank you.
7 That's all I have. Mr. Jones?

8 MR. JONES: I guess I could ask a
9 couple of questions. I should have asked this to
10 Mr. Scarbrough. The partners in the East Vacuum
11 Grayburg -- is it all right if I ask him a question?

12 MR. BROOKS: Yeah.

13 MR. JONES: Mr. Scarbrough --

14 MR. SCARBROUGH: Yes.

15 MR. JONES: Are the partners in the
16 East Vacuum Grayburg San Andres Unit the same
17 partners as in the Vacuum Glorieta East Unit?

18 MR. SCARBROUGH: No, they are not.

19 MR. JONES: Are you satisfied those
20 partners are aware of your intentions?

21 MR. SCARBROUGH: Yes. We have
22 proposed the wells to the Vacuum Glorieta East
23 partners. They are aware of this action.

24 MR. JONES: So you've proposed it to
25 the Vacuum Glorieta East people and the people uphole

1 in the San Andres? Your partners know about this?

2 MR. SCARBROUGH: We have notified all
3 of the offset operators.

4 MR. JONES: All the offset operators?

5 MR. SCARBROUGH: Yes.

6 MR. JONES: You have been coached
7 well. Okay.

8 MR. CARR: When you look at the unit
9 and you start giving notice to offsets, you have the
10 same owners, but you have some different percentages
11 when you're dealing with San Andres and the Glorieta
12 and the Paddock. We tried to put together a map for
13 you that showed it by tract, but it was simply too
14 confusing. But we have notified all the offset
15 owners in each of the horizons where there could
16 be -- where there is an open hole completion, and
17 that's how we address that.

18 MR. JONES: Okay. Thank you. I will
19 go back to Ms. Mnich. The injection and producers
20 are going to be equipped the same way? In other
21 words, you can't case off your injectors either?

22 A We don't plan to inject in the horizontal
23 wellbores.

24 MR. JONES: Okay.

25 A They are producers only.

1 MR. JONES: Okay. We're talking only
2 about producers here?

3 A Uh-huh.

4 MR. JONES: Okay. Do you work on the
5 team uphole in the Grayburg San Andres?

6 A No. My colleague, Dave Orchard, works on
7 that particular unit.

8 MR. JONES: Okay.

9 A But he concurs with the conclusions.

10 MR. JONES: Of the San Andres
11 porosity and permeability?

12 A Yes.

13 MR. JONES: The residual zone in the
14 San Andres is -- I remember the East Vacuum Grayburg
15 Unit, they actually perforated a lot deeper than over
16 in the Grayburg San Andres, the Vacuum San Andres and
17 the Central Vacuum area.

18 A Yes.

19 MR. JONES: So is there plans -- are
20 you aware of any plans up in the San Andres, Grayburg
21 San Andres to go even deeper into the residual zone?

22 A They are looking at going deeper, but not
23 as deep as we are to cut through these laterals.
24 This is a good, like, 800 feet below the deepest they
25 would go for the residual oil zone.

1 MR. JONES: So are you sure of that
2 800 feet?

3 A No. I'm not positive of that particular
4 depth, but I know it is greater than 500.

5 MR. JONES: You know it is at least
6 500?

7 A At least.

8 MR. JONES: From the bottom of the
9 planned residual zone to the top of these kickoff
10 points?

11 A Yes.

12 MR. JONES: Okay. I don't think I
13 have anything else. I guess you miss the brewery
14 smell in Houston after moving from Golden?

15 A No, I didn't enjoy the brewery smell in
16 Golden.

17 MR. JONES: I don't have any more
18 questions.

19 MR. BROOKS: Thank you. The witness
20 may stand down.

21 MR. CARR: At this time, may it
22 please the examiners, we call Karen Stiles.

23 KAREN STILES

24 After having been first duly sworn under oath,
25 was questioned and testified as follows:

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. CARR:

Q Would you state your name for the record and spell your last name, please?

A Karen Ann Stiles, S-T-I-L-E-S.

Q And where do you reside?

A Houston, Texas.

Q By whom are you employed?

A ConocoPhillips.

Q And what is your position with ConocoPhillips?

A I am a senior reservoir engineer.

Q Have you previously testified before the New Mexico Oil Conservation Division?

A No, I have not.

Q Could you review your educational background and work experience for the examiners?

A I received a bachelor of engineering from Vanderbilt University in chemical engineering and mathematics May of 2003 and have worked for ConocoPhillips since then in a reservoir engineer capacity for the past four years.

Q Are you familiar with the application filed in this case on behalf of ConocoPhillips?

A Yes, I am.

1 Q And are you familiar with ConocoPhillips'
2 plans to recomplete current vertical wells in the
3 Vacuum Glorieta East Unit as horizontal wellbores?

4 A Yes, I am.

5 Q Are you prepared to review the engineering
6 aspects of this application with Mr. Jones and
7 Mr. Brooks?

8 A I am.

9 MR. CARR: We tender Ms. Stiles as an
10 expert in reservoir engineering.

11 MR. BROOKS: So qualified.

12 Q (By Mr. Carr) Would you, Ms. Stiles,
13 identify Slide Number 9 in the ConocoPhillips Exhibit
14 Number 1 and review that for the examiners?

15 A Sure. In Slide Number 9, you will see on
16 the right-hand side the unit map of which you have
17 seen before, and then in the blue box it's
18 highlighted the two laterals that we have drilled in
19 the unit. We drilled those in 2007.

20 Q Let's go to the next slide, Slide 10, and
21 I would ask you to briefly review the history of the
22 approval of those 2007 laterals.

23 A Sure. The 2007 laterals, the 42-01 was
24 drilled in 1988 through a TD of 6350. The production
25 casing is 5 1/2 inch. In April 2007, the lateral

1 permit was approved with a kickoff point of 5941. In
2 August 2007, the lateral was actually drilled with
3 the kickoff point starting at 5821.

4 Then on the VGEU 1-06, it was also drilled
5 in 1988 through a TD of 6300 feet with 5 1/2 inch
6 production casing as well. April 2007, the lateral
7 permit was approved with a kickoff point of 5902. It
8 was repermited in September 2007 with a kickoff
9 point of 5808 which was also approved. And then at
10 the end of 2007, the lateral was drilled at the
11 kickoff point of 5811.

12 Q Now, both of these wells are drilled with
13 an uncased hole from the kickoff point as you build
14 the curve to get into the producing horizon; is that
15 correct?

16 A Correct.

17 Q Are ConocoPhillips Exhibits 3 and 4 the
18 approvals that you received from the OCD for each of
19 those?

20 A They are.

21 Q And do they indicate that the holes are
22 not cased?

23 A Yes, they do.

24 Q When you filed the applications in the
25 instant case, what response did you receive from the

1 OCD?

2 A The response was that additional
3 information was needed and advised that the hearing
4 was the best way to get that information reviewed.

5 Q How many wells does ConocoPhillips hope to
6 complete in this fashion in this unit?

7 A There are a total of 24. This includes
8 the two that we have already done.

9 Q And what is the current status of these 24
10 wells?

11 A We have got 22 that are currently
12 producing, one that is TA'd and one that is P and
13 A'd.

14 Q Let's go to the next slide, Slide 11.
15 Would you review this, please?

16 A Slide 11, you can see the production from
17 the lateral of the VGEU 1-06. You can see that it
18 has been a very good producer ever since it was
19 drilled in 2007.

20 Q This indicates the water production from
21 the zone?

22 A It does indicate water production, but the
23 water production is coming from the Paddock and not
24 the others.

25 Q In this well, Ms. Mnich testified that the

1 Glorieta is tight --

2 A Yes.

3 Q -- I mean, I'm sorry, that the San Andres
4 is tight?

5 A Yes.

6 Q When you encounter Glorieta production in
7 this well, what kind of a pressure differential do
8 you have?

9 A We have not seen any pressure
10 differentials when we do find the Glorieta present in
11 any of these wells.

12 Q In your opinion, is a cross-flow of either
13 oil, gas, or water, is there a potential for that
14 with this kind of a completion?

15 A There is not.

16 Q Let's go to the next slide, Slide Number
17 12. What is this?

18 A Slide Number 12 shows the production of
19 the 42-01 lateral since 2007 as well.

20 Q Does this basically show the same thing
21 for this well that we discussed on the prior slide?

22 A Yes, it does.

23 Q Okay. Let's go to Slide 13. Would you
24 identify and review this one, please?

25 A Slide 13 is an example of the existing and

1 the planned laterals. As you can see, they are all 5
2 1/2 inch casing in the wellbores. We would set the
3 cast iron bridge plug just above the top of the
4 Glorieta unitized interval and then set a whipstock,
5 mill a window around 5800 feet with a slight 150-foot
6 variance there, depending on where we are in the
7 unit.

8 From there, we then build out at a rate of
9 24 degrees per 100 foot, which would leave
10 approximately 100 to 200 feet of the Lower San Andres
11 open hole before we reach the top of the Glorieta
12 unitized interval. At that point, we would run
13 through the Glorieta and then land a lateral in the
14 top of the Paddock. And the actual distance of the
15 lateral would be anywhere from 1700 to 2700 feet, and
16 that would not be cased or lined.

17 Q So we're going to be open hole from the
18 kickout point all the way to the wellbore terminus in
19 the Upper Paddock?

20 A Yes, we are.

21 Q Mr. Brooks had some questions about
22 Glorieta production.

23 A Uh-huh.

24 Q Is the Glorieta always present?

25 A No, it is not.

1 Q And when it is present historically, it is
2 produced with the Paddock?

3 A It has been produced with the Paddock. It
4 has also been produced on its own as more of -- as we
5 have finished with the Paddock interval, we've
6 abandoned that and then gone up and tried to see if
7 there was an opportunity in the Glorieta. And to my
8 experience, there has not been -- we have not found
9 any opportunities there recently.

10 Q When you're producing in one wellbore
11 Paddock and Glorieta production, you don't segregate
12 or separately measure or meter those?

13 A No, we don't.

14 Q And the ownership is common because it is
15 unitized?

16 A Correct.

17 Q Okay. With this completion, do you see
18 any potential for any cross-flow?

19 A I do not.

20 Q Do you see any potential for the
21 contamination of any water supply?

22 A I do not.

23 Q Let's go to Slide Number 14. Would you
24 review that, please?

25 A Sure. Slide Number 14 just touches on the

1 economic impact. If we were to drill these out of
2 existing wellbores, the cost of the new wells or of
3 the laterals would be approximately \$1 million. If
4 we were to drill a grassroots lateral, meaning start
5 from scratch, it would be approximately \$2 million.

6 Q Can these wellbores be recompleted as
7 horizontal wells if the casing -- if you have to case
8 from the kickoff point?

9 A No, they cannot because we are limited by
10 the 5 1/2 inch casing that is existing. We would
11 have to -- we would end up with too narrow of a
12 casing through the lateral to make it feasible to
13 actually produce it.

14 Q So it is mechanically impossible to do
15 that?

16 A Yes, mechanically impossible.

17 Q All right. If this application is denied,
18 would it be economically feasible for ConocoPhillips
19 to drill the 24 proposed horizontal completions in
20 this unit?

21 A It would not. There would only be a
22 handful of those that we would be able to drill as
23 grassroots wells.

24 Q And accordingly production would be left
25 in the ground?

1 A Correct.

2 Q Is this method of reentering and
3 recompleting vertical wells as horizontal wells, is
4 this a method used elsewhere in this area by the
5 industry?

6 A It is. It is used just in the unit to the
7 west of us and has been done very successfully.

8 Q Would you turn to Slide 15 and review
9 that?

10 A Yeah. As you can see on Slide 15, it
11 highlights our unitized area, the VGU, the VGWU just
12 to the west of us, and this -- I will read the quote
13 here back from -- this quote from 2002. "A total of
14 31 open hole laterals (24 producers and seven
15 injectors)" -- again, this is VGWU. We're not going
16 to have any injectors -- "have been drilled and
17 completed to date in existing wellbores, where each
18 lateral (approximately 1000 to 1800 feet in length)
19 was typically drilled out of 5 1/2 inch casing at an
20 average cost of \$305,000 per well." Again, that is
21 2002 cost. "Cumulative incremental production
22 attributed to horizontal drilling through August 2001
23 is 1.2 million barrels of oil and the ultimate
24 incremental production is expected to be 2.6 million
25 barrels of oil." And this was taken from an article

1 that was written by WTGS Publication from Horizontal
2 Drilling at Vacuum Glorieta West Unit from
3 October 2002.

4 Q When we look at the wells in the Vacuum
5 Glorieta West Unit, are some of those wells at least
6 wells that are drilled from a kickoff point above the
7 unitized interval uncased through the San Andres?

8 A There are. There are 20 wells that they
9 have drilled where the kickoff point is above the top
10 of the unitized interval.

11 Q What conclusions can you reach from your
12 study?

13 A The primary conclusions are that surface
14 and immediate casing cemented in the wellbores is not
15 necessary to isolate the water, oil, and gas bearing
16 strata down in the production interval.

17 Q And what are your conclusions concerning
18 the risk this procedure poses to any water in the
19 area?

20 A The proposed open hole completion will not
21 result in any contamination of any artesian water,
22 and it will also not be migrating into any of the
23 open strata.

24 Q In your opinion, will approval of this
25 application be in the best interests of conservation,

1 the prevention of waste, and the protection of
2 correlative rights?

3 A Yes, it will.

4 Q Were Conoco Slides, in Exhibit 1, 9
5 through 15, and Exhibits 3 and 4 either prepared by
6 you or compiled under your direction?

7 A Yes, they are.

8 MR. CARR: I move the admission at
9 this time of Conoco Slides 9 through 15 and Exhibits
10 3 and 4.

11 MR. BROOKS: 9 through 15?

12 MR. CARR: Yes, sir. And 3 and 4.

13 MR. BROOKS: Slides 9 through 15 and
14 Exhibits 3 and 4 are admitted.

15 (Slides 9 through 15 and Exhibits 3 and 4 admitted.)

16 MR. CARR: That concludes my direct
17 of this witness.

18 MR. BROOKS: Okay. You said this
19 water production was coming from the Paddock rather
20 than from the higher formations. How do you
21 establish that?

22 A We know we have an active aquifer drive in
23 the Paddock, and we know that the Glorieta and the
24 Lower San Andres are very tight.

25 MR. BROOKS: Therefore, they do not

1 produce water. Although you said the San Andres was
2 very much water saturated in this area?

3 A It is, but it is incredibly -- the
4 permeability is really very low.

5 MR. BROOKS: Right. Now, with this
6 kind of hole construction, I don't know -- I'm not --
7 certainly not a drilling engineer. I don't know
8 anything about it, but what is to prevent water from
9 moving up the annulus outside the casing when it is
10 coming up through the open hole?

11 A It is cemented, the 5 1/2 is cemented in
12 the hole there.

13 MR. BROOKS: Well, yeah, it is
14 cemented at the bottom. Is it cemented at the point
15 where your window is?

16 A It is, yes.

17 MR. BROOKS: You don't show that on
18 the diagram. So it is cemented above the window
19 then?

20 A Yes.

21 MR. BROOKS: In what formation? In
22 the San Andres?

23 A It varies, but it is at least up to the
24 San Anders, if not all the way up to the surface.

25 MR. BROOKS: Okay. Very good.

1 Mr. Jones?

2 MR. JONES: So you know the
3 productions come from the Paddock. Do you have any
4 surveys? Did you do any production surveys?

5 A We don't have any.

6 MR. JONES: That's okay.

7 A No.

8 MR. JONES: Do you know the relative
9 difference between the San Andres permeability and
10 the Paddock permeability?

11 A The --

12 MR. JONES: The Paddock San Andres
13 you said is 1.1, right, something like that,
14 millidarcies?

15 A Yes, in the lower there --

16 MR. JONES: In the lower there?

17 A In the lower portion, correct, just above
18 the Glorieta.

19 MR. JONES: What about the Paddock
20 permeability?

21 A The Paddock permeability, I don't know off
22 the top of my head.

23 MR. JONES: It is higher?

24 A Yes.

25 MR. JONES: Okay. And the

1 completions, how do you complete these?

2 A They will be acidized.

3 MR. JONES: That's it?

4 A Uh-huh. They won't be fracture
5 stimulated. They will be acidized.

6 MR. JONES: Big acid jobs?

7 A Yes.

8 MR. JONES: Okay. How do you know
9 where you're at when you drill these?

10 A We log as we drill.

11 MR. JONES: Gamma ray 30 feet back?

12 A Yes.

13 MR. JONES: You do a survey after
14 drilling?

15 A Yes.

16 MR. JONES: Is there a bunch of old
17 slim holes out there in the Glorieta Abo? Like
18 triple slim holes?

19 A Less than 5 1/2?

20 MR. JONES: Like 2 7/8 size?

21 A There aren't too many of those, but there
22 are some which is why we've only got 24 of the wells
23 that are candidates instead of more in the unit.

24 MR. JONES: And your production
25 equipment for 1,000 barrels of water?

1 A It is an ESP.

2 MR. JONES: What is your economic if
3 you make 1,000 barrels of water -- of oil out there?

4 A It's all dependent on the oil cut.

5 MR. JONES: But it -- okay. So what
6 could the oil decline to to be a limit on your
7 economics?

8 A I don't know the number off the top of my
9 head.

10 MR. JONES: That's all right. But it
11 is 24 degrees per hundred?

12 A Right.

13 MR. JONES: And you consider that a
14 short radius?

15 A Yes.

16 MR. JONES: Okay. That's all I have.
17 Thank you.

18 MR. BROOKS: Okay. Anything further,
19 Mr. Carr?

20 MR. CARR: Mr. Examiner, I have
21 nothing further in this case.

22 MR. BROOKS: Very good. The witness
23 may step down. Case Number 14562 will be taken under
24 advisement.

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 14562
heard by me on

PAUL BACA PROFESSIONAL COURT REPORTERS

Dec 28, 2010 5ae9b77b-f83b-4bdd-b94c-cabf067bfeb2
Oil Conservation Division
Donald K. Baca


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, CONNIE JURADO, do hereby certify that I reported the foregoing case in stenographic shorthand and transcribed, or had the same transcribed under my supervision and direction, the foregoing matter and that the same is a true and correct record of the proceedings had at the time and place.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case, and that I have no interest whatsoever in the final disposition of this case in any court.

WITNESS MY HAND this 28th day of October, 2010.



Connie Jurado, CCR, RPR
New Mexico CCR No. 254
Expires: December 31, 2010