

1 STATE OF NEW MEXICO
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
3 OIL CONSERVATION DIVISION

4 IN THE MATTER OF THE HEARING CALLED
5 BY THE OIL CONSERVATION DIVISION FOR
6 THE PURPOSE OF CONSIDERING:

7 APPLICATION OF MEWBOURNE OIL COMPANY
8 TO ABOLISH THE SEVEN RIVERS-YESO POOL AND THE
9 CEMETERY-YESO POOL AND EXPAND THE NORTH SEVEN RIVERS
10 GLORIETA-YESO POOL, AND TO ESTABLISH SPECIAL RULES
11 AND REGULATIONS FOR THE NORTH SEVEN RIVERS
12 GLORIETA-YESO POOL, EDDY COUNTY,
13 NEW MEXICO CASE NO. 14554

14 TRANSCRIPT OF PROCEEDINGS
15 Examiner Hearing
16 October 28, 2010
17 2:35 p.m.
18 1220 South St. Francis Drive
19 Santa Fe, New Mexico 87504

20 BEFORE: DAVID BROOKS, HEARING EXAMINER
21 WILL JONES, TECHNICAL EXAMINER

22
23 REPORTED BY: CONNIE JURADO, RPR, NM CCR #254
24 Paul Baca Professional Court Reporters
25 500 Fourth Street NW, Suite 105
Albuquerque, New Mexico 87102

1 A P P E A R A N C E S

2 For the Applicant:

3 JAMES BRUCE
4 Attorney at Law
5 Post Office Box 1056
6 Santa Fe, New Mexico 87504

6 For Nearburg Producing Company:

7 MONTGOMERY & ANDREWS LAW FIRM
8 Attorneys at Law
9 325 Paseo de Peralta
10 Santa Fe, New Mexico 87501
11 BY: J. SCOTT HALL

10 For Fasken Oil & Ranch, Limited:

11 HOLLAND & HART, LLP
12 Attorneys at Law
13 Post Office Box 2208
14 Santa Fe, New Mexico 87501
15 BY: OCEAN MUNDS-DRY

14 I N D E X

15	EXAMINATION OF COREY MITCHELL	PAGE
16	By Mr. Bruce	6
17	EXAMINATION OF JASON LODGE	
18	By Mr. Bruce	16
19	By Mr. Hall	27
20	EXAMINATION OF BRIAN MONTGOMERY	
21	By Mr. Bruce	37
22	By Mr. Hall	58
23	EXAMINATION OF TIM SPEER	
24	By Mr. Hall	71
25	By Mr. Bruce	86

	MEWBOURNE EXHIBITS	ADMITTED
1		
2	1. Various Pool Descriptions	13
3	2. Top of Yeso Structure Plat	27
4	2A. Acreage Descriptions	13
5	3. Echo Production and Concho Letters	13
6	4. Affidavit of Notice	13
7	5. Letter, Seligman to Fesmire, 10/11/10	13
8	6. Regional Yeso X-Section	27
9	7. Limousine 15 CD Fed Com #1H	27
10	8. Yeso Producers in Seven Rivers, Cemetery	
11	and North Seven Rivers Pool	58
12	9. Yeso Development 20S-25E	58
13	10. Gunsmoke 9 K #1	58
14	11. Gunsmoke 9 EF Fed #1H	58
15	12. Long Draw 10 M #1	58
16	13. Limousine 15 CD Fed Com #1H	58
17	14. Lakewood 34 Fed IP #1H	58
18	15. Noose Federal #6H	58
19	16. Grave Digger State Com #1H	58
20	17. Grave Digger St. Com. #1H	58
21	18. Noose Fed #6H	58
22	19. Limousine 15 CD Fed #1H	58
23		
24		
25		

	NEARBURG EXHIBITS	ADMITTED
1		
2	1. Seven Rivers Glorieta-Yeso Area	86
3	2. Limousine 15 CD #1	86
4	3. Grave Digger State COM #1H	86
5	4. Noose Federal Com (7H)	86
6	5. Noose Federal (6H)	86
7	6. Noose Federal (4H)	86
8	7. Noose Federal Com (5H)	86
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 MR. BROOKS: Case Number 14554,
2 Application of Mewbourne Oil Company to abolish the
3 Seven Rivers-Yeso Pool and the Cemetery-Yeso Pool and
4 expand the North Seven Rivers Glorieta-Yeso Pool, and
5 to establish special rules and regulations for the
6 North Seven Rivers Glorieta-Yeso Pool, Eddy County,
7 New Mexico. Call for appearances.

8 MR. BRUCE: Mr. Examiner, Jim Bruce
9 of Santa Fe representing the applicant. I have three
10 witnesses.

11 MR. HALL: Mr. Examiner, Scott Hall,
12 Montgomery & Andrews Law Firm of Santa Fe on behalf
13 of Nearburg Producing Company with one witness this
14 afternoon.

15 MS. MUNDS-DRY: Mr. Examiner, Ocean
16 Munds-Dry with the law firm of Holland & Hart, LLP.
17 I am representing Fasken & Oil -- Fasken Oil & Ranch,
18 Limited, and I have no witnesses.

19 MR. BROOKS: And I'm sorry?

20 MS. MUNDS-DRY: I have no witnesses.

21 MR. BROOKS: You have no witnesses.

22 Good.

23 MS. MUNDS-DRY: I don't take any
24 offense by that.

25 MR. BROOKS: It's getting late in the

1 afternoon. Okay. Would each of the witnesses please
2 state your name for the record, and then you will be
3 sworn.

4 MR. MONTGOMERY: Brian Montgomery.

5 MR. MITCHELL: Corey Mitchell.

6 MR. LODGE: Jason Lodge.

7 MR. SPEER: Tim Speer.

8 (Note: The witnesses were sworn.)

9 MR. BRUCE: Mr. Examiner, there is a
10 large plat marked Exhibit 2. You might want to pull
11 that out. I think my first two witnesses will be
12 testifying to that.

13 MR. BROOKS: Okay.

14 COREY MITCHELL

15 After having been first duly sworn under oath,
16 was questioned and testified as follows:

17 EXAMINATION

18 BY MR. BRUCE:

19 Q Will you please state your name and city
20 of residence for the record?

21 A Corey Mitchell, and I reside in Midland,
22 Texas.

23 Q Who do you work for and in what capacity?

24 A Mewbourne Oil Company as a petroleum
25 landman.

1 Q Have you previously testified before the
2 division?

3 A Yes, sir.

4 Q And were your credentials as an expert
5 petroleum landman accepted as a matter of record?

6 A Yes, sir.

7 Q Does your area of responsibility at
8 Mewbourne include this portion of Southeast New
9 Mexico?

10 A Yes, sir.

11 MR. BRUCE: Mr. Examiner, I tender
12 Mr. Mitchell as an expert petroleum landman.

13 MR. HALL: No objection.

14 MS. MUNDS-DRY: No objection.

15 MR. BROOKS: Okay. He is so
16 qualified.

17 Q (By Mr. Bruce) Mr. Mitchell, can you
18 briefly describe what Mewbourne seeks in this case?

19 A We would like to abolish the Seven
20 Rivers-Yeso Pool as well as the Cemetery-Yeso Pool
21 and expand the North Seven Rivers Glorieta-Yeso Pool.

22 Q What is Exhibit 1?

23 A Exhibit 1 is the current descriptions of
24 the three pools mentioned.

25 MR. BROOKS: Okay. And before we go

1 ahead, something has occurred to me. I believe that
2 Brooks Oil & Gas interest actually does own some
3 property in this general area, and I am not sure
4 exactly where it is. We own some interest in some
5 leases I know down to the southwest a mile or so.
6 Are the parties willing to waive any disqualification
7 on that ground?

8 MR. HALL: No problem.

9 MS. MUNDS-DRY: We have no problem
10 with that, Mr. Brooks.

11 MR. BROOKS: Very good.

12 MR. BRUCE: Maybe I can address
13 something.

14 Q (By Mr. Bruce) Mr. Mitchell, you have
15 been involved in Mewbourne's wells in this area,
16 correct?

17 A Yes, sir.

18 Q And a ton of them have been force pooled?

19 A Yes, sir.

20 Q You have never had to force pool Brooks
21 Oil & Gas, have you?

22 A No, sir.

23 MR. BROOKS: Well, unfortunately, I
24 don't think we own any interests in any of
25 Mewbourne's wells. I deeply regret that according to

1 some of the statistics I have seen on some of the
2 wells in this vicinity. You may continue.

3 Q (By Mr. Bruce) Just looking -- next
4 identify Exhibit 2, Mr. Mitchell.

5 A Exhibit 2 is this plat here, and it
6 identifies the three pools that we're discussing all
7 designated by a different color with the red being
8 the North Seven Rivers Glorieta-Yeso. Cemetery-Yeso
9 is the purplish blue, and the green is the Seven
10 Rivers-Yeso.

11 Q Okay. And just in looking -- comparing
12 Exhibit 1 to Exhibit 2, the pools have not been
13 expanded in the division's nomenclature process in
14 accordance with the number of wells drilled out here.
15 Is that fair to say?

16 A That is correct.

17 Q The wells, when the APDs are approved by
18 the division, do place the wells in one pool or
19 another, do they not?

20 A Yes, sir.

21 Q Okay. And who prepared this map?

22 A This was prepared by our geologist, Jason
23 Lodge, who is here today.

24 Q Okay. Does this Exhibit 2 also identify
25 the operators of all of the wells in the pools?

1 A Yes, sir.

2 Q Okay. What is Exhibit 2 A?

3 A 2 A is a description of the acreage that
4 we are including, that we would like to be
5 expanded -- the North Seven Rivers Glorieta-Yeso Pool
6 expanded to cover.

7 Q So you would abolish the Seven Rivers-Yeso
8 Pool and the Cemetery-Yeso Pool and put that acreage
9 in the North Seven Rivers Pool?

10 A Yes, sir.

11 Q And then you would further expand the
12 North Seven Rivers Pool to include, what, each
13 quarter section where a current Yeso well is located?

14 A Yes, sir.

15 Q Okay.

16 A And also I would like to add that we would
17 also like this to include the west half of Section
18 30, 19 South, 26 East. It is not included on our
19 exhibit here, but we would also like to include that
20 one.

21 Q Okay. And is -- and who operates that
22 acreage?

23 A That is Concho.

24 Q Marbob/Concho?

25 A Yes, sir.

1 Q At the time it was Marbob?

2 A Yes, sir.

3 Q Okay. What is contained in Exhibit 3?

4 A Exhibit 3 is letters of support for this
5 application as prepared by Echo Production and
6 Concho.

7 Q And was notice of this application given
8 to the operators identified on Exhibit 2?

9 A Yes, sir.

10 Q There is one exception to that, correct?

11 A Yes, sir.

12 Q Okay. First of all, does Exhibit 4
13 contain copies of my notice letter and certified
14 return receipts from the operators listed in that
15 letter?

16 A Yes, sir.

17 Q And was there one operator omitted from
18 that listing?

19 A Yes, sir. It was Echo Production.

20 Q And what is Exhibit 5?

21 A Exhibit 5 is the waiver of notice from
22 Echo Production.

23 Q And Mewbourne has been in touch with Echo
24 Production for some time regarding this application?

25 A Yes, sir.

1 Q And they are fully aware of this
2 application?

3 A Yes, sir.

4 Q And besides the -- take a step back. Do
5 any of these three pools currently have any special
6 pool rules?

7 A No, sir.

8 Q So this spacing -- what is the spacing and
9 the current oil allowable?

10 A They are statewide rules with 40-acre
11 spacing with 80 barrels of oil per day.

12 Q And what is Mewbourne seeking with respect
13 to special pools?

14 A We would like to increase it to
15 240 barrels of oil per day for a standard 40-acre
16 spacing unit.

17 Q Okay. Were Exhibits 1, 2 A, 3, 4, and 5
18 prepared by you or compiled from company business
19 records?

20 A Yes.

21 Q And in your opinion, is the granting of
22 this application in the interest of conservation and
23 the prevention of waste?

24 A Yes, sir.

25 MR. BRUCE: With that, Mr. Examiner,

1 I move the admission of Exhibits 1, 2 A, 3, 4 and 5.

2 MR. BROOKS: Any objection?

3 MR. HALL: No objection.

4 MS. MUNDS-DRY: No objection.

5 MR. BROOKS: 1, 2 A, 3, 4 and 5 are
6 admitted.

7 (Exhibits 1, 2 A, 3, 4 and 5 admitted.)

8 MR. BRUCE: And just to be clear, Mr.
9 Examiner, I wanted you to know that Exhibit 2 A, the
10 acreage on that is substantially larger than the
11 acreage highlighted on Exhibit 2.

12 MR. BROOKS: Okay.

13 MR. BRUCE: I think on Exhibit 2, the
14 well units were identified, whether 40-acre or a
15 larger well unit for a horizontal well.

16 MR. BROOKS: Right.

17 MR. BRUCE: But it has always been my
18 understanding that when the division creates or
19 expands an oil pool, they usually do it by a quarter
20 section. So what is requested is to expand it by
21 a -- for instance, if you look at the very top of the
22 map, we're asking that the northeast quarter of
23 Section 16 of 19, 25 be part of the expanded pool
24 rather than just that 40 acres where that Yates well
25 is located.

1 MR. JONES: You don't have that
2 Section 30 of 19, 26 in here?

3 MR. BRUCE: We did not list that, and
4 if it needs to readvertised, that is fine. That is
5 Marbob operated acreage.

6 MR. JONES: But you do want it on
7 there?

8 MR. BRUCE: Concho has requested
9 that, and Mewbourne certainly does not object to
10 that.

11 MR. BROOKS: I would think they would
12 have to readvertise it if it is not included in the
13 existing advertisement.

14 MR. BRUCE: We can readvertise it.

15 MR. BROOKS: Okay.

16 MR. BRUCE: I pass the witness.

17 MR. HALL: I have no questions of
18 this witness.

19 MS. MUNDS-DRY: No questions.

20 MR. BROOKS: I don't believe I have
21 any questions either. I assume the other witnesses
22 will provide the basis for the requested -- but
23 you're just here to say what lands we're dealing with
24 and what you want on them, and the other witnesses
25 will provide the reasons why we should increase this?

1 A Yes, sir.

2 MR. BROOKS: Okay. I have no further
3 questions.

4 MR. JONES: Where is Brantley Dam
5 from here?

6 A Excuse me?

7 MR. JONES: Is Brantley Lake pretty
8 close?

9 A You know, I don't know where that is in
10 relation. I know Lakewood is to the east here and
11 Artesia is to the north and Carlsbad is kind of I
12 guess --

13 MR. JONES: So it's not that far?

14 A It's not that far. It is in the immediate
15 area. I don't know exactly how far.

16 MR. JONES: When they made that lake,
17 they exhumed a cemetery out and moved all of the
18 bodies, and a lot of them were shot full of holes.
19 It was quite a deal back in the '80s. I remember
20 when that happened. So the cemetery ought to be here
21 somewhere?

22 MR. BRUCE: The division didn't do
23 that.

24 MR. JONES: Well --

25 MR. BROOKS: Maybe Ms. Munds-Dry can

1 tell me where the Cemetery Federal well that they are
2 reentering is on this map. I have a general idea
3 where it is, but I can't remember what section number
4 it is in.

5 MS. MUNDS-DRY: I have no idea.

6 MR. BROOKS: I know it's in 20, 26.
7 No, it is in 20, 25. I think it's probably in
8 Section 20 or 21, but I can't remember for sure.

9 MR. BRUCE: Mr. Jones, the center of
10 the area affected is about three miles west,
11 northwest of Seven Rivers.

12 MR. JONES: Okay. Rough area back in
13 those days, I guess.

14 MR. BROOKS: There's been a lot of
15 nonstandard units issued in this pool. Okay. Thank
16 you.

17 JASON LODGE

18 After having been first duly sworn under oath,
19 was questioned and testified as follows:

20 EXAMINATION

21 BY MR. BRUCE:

22 Q Will you please state your name for the
23 record?

24 A Jason Lodge.

25 Q And where do you reside?

1 A Tyler, Texas.

2 Q Who do you work for?

3 A Mewbourne Oil Company.

4 Q And what is your job at Mewbourne?

5 A I'm a geologist working in southeastern
6 New Mexico.

7 Q Have you previously testified before the
8 division?

9 A No.

10 Q Would you please summarize your
11 educational and employment background for the
12 examiner.

13 A Bachelor's in science from Texas Tech
14 University in geology. Currently finishing up my
15 master's in science in geology from Texas Tech
16 University. I have worked at Mewbourne for just over
17 a year working this area.

18 Q Okay. And are you the primary geologist
19 at Mewbourne responsible for this area?

20 A Yes, sir.

21 MR. BRUCE: Mr. Examiner, I tender
22 Mr. Lodge as an expert petroleum geologist.

23 MR. BROOKS: Any objection?

24 MR. HALL: No objection.

25 MS. MUNDS-DRY: No objection.

1 MR. BROOKS: So qualified.

2 Q (By Mr. Bruce) Mr. Lodge, let's move back
3 to Exhibit 2 that you prepared, and would you discuss
4 that and maybe a little -- just give a history of the
5 pools.

6 A Sure. Just a couple things basically.
7 The pink dots here are representative of Yeso tests
8 or Yeso producers. We also have purple dots here
9 which are Yeso and San Andres commingled in this
10 area. There is only a couple of those.

11 MR. BROOKS: Are you talking about on
12 Exhibit 1?

13 A Exhibit 2.

14 MR. BROOKS: We're back to Exhibit 2.
15 Okay.

16 A We also have a structure on here. This is
17 my top of Yeso structure. You can see it is -- in
18 general it trends north, northeast. To the north of
19 the map, it starts to take a turn to the east, to the
20 northeast, following the general trend of the shelf
21 in this area. Down dip into the basin is to the east
22 and obviously to the west.

23 These are 20-foot contours on the top of
24 the Yeso. Geologically, again, we're on the shelf.
25 This play kind of started for us in Section 10 of 20,

1 25. We drilled a Morrow well near there with good
2 shows in the Yeso, so we recompleted some old wells
3 in the Yeso there vertically, and then kind of
4 started our vertical campaign there. We've expanded
5 that vertically. Drilled about 40 vertical wells in
6 the area.

7 Since then, we have kind of switched our
8 philosophy to horizontal drilling. Currently, we
9 have about five horizontal wells in the area.

10 MR. BROOKS: Where you have the lines
11 drawn from the wells, those are the horizontals?

12 A Yes, sir. The squares are the surface
13 locations. The dots, the pink dots are where the
14 bottom of the locations are.

15 MR. BROOKS: Thank you.

16 A As far as kind of recent activity in the
17 area, there is also some more horizontal development
18 in the area. Just up in Section 35 of 19, 25 is
19 Marbob Concho's development. They have been drilling
20 some horizontal wells there, also. We also have some
21 horizontal development up to the north there.

22 Section 3 of 20, 25, Nearburg it's my
23 understanding has just TD'd a horizontal well not on
24 this map in the east half, east half of Section 3.

25 MR. BROOKS: Section 3?

1 A Yes, sir. Just north of Section 10.

2 Q (By Mr. Bruce) Mr. Lodge, can you give
3 the dates the pools were created and maybe a little
4 more info on that?

5 A I don't have the dates with me. The Seven
6 Rivers-Yeso Pool was created in 1982 with the
7 discovery well -- the Irami Fed No. 1 is in the
8 southwest quarter of Section 34, 19, 25. The
9 Cemetery-Yeso Pool was created in 1983 with the
10 discovery well being Amoco Rio Siete No. 1. This is
11 in the southeast quarter of Section 11, 20 South, 25
12 East. And North Seven Rivers-Yeso Glorieta -- I'm
13 sorry, Glorieta-Yeso Pool was created in 2007.
14 Discovery well was Nearburg Boyd 27 No. 6. This was
15 in the southwest quarter of Section 27, 19 South, 25
16 East.

17 Q Mr. Lodge, I think you hit on this
18 briefly. Mewbourne did start recompleting or
19 drilling vertical wells. Has its emphasis of late
20 been primarily on horizontal wells?

21 A Yes. Correct. We have shifted our
22 philosophy completely to horizontal development. We
23 see that they are more economic for us to do that.

24 Q Okay. Let's move on to your Exhibit 6 and
25 7.

1 A Okay.

2 Q Can you open those up and discuss those
3 for the examiners?

4 A Exhibit 6 is a regional cross-section of
5 the area that includes the Yeso. You can see on
6 Exhibit 2, this is my black cross-section line. It
7 goes A to A prime from the south to the north, and it
8 spans all three of the Yeso pools. Just a couple of
9 general things here. Starting with the well 15L,
10 this is Limousine 15L, Section 15 of 20, 25.

11 In general, we use six percent porosity
12 cutoff. That is six percent neutron porosity cutoff.
13 This is not always the case. We have perf'd some
14 stuff that's lower than six percent. That's kind of
15 our general porosity cutoff, but we use this data
16 when we see greater than 100 ohms in the deep
17 resistivity curve.

18 In the 15L, you can see my -- the pink
19 marker on the top is the top of my Glorieta. I
20 usually pick this based on the resistivity. It's
21 considerably lower. The Glorieta is a package of
22 sands and dolomites intermingled with the sands. The
23 top of my Yeso or the base of the Glorieta is the end
24 of that package of sands. And then the next green
25 marker below that is just a stratigraphic that I can

1 pick throughout the area, which is a sand that goes
2 through there.

3 In general as with other Yeso fields, this
4 is a dolomite reservoir. It is a thick dolomite
5 package. It is generally tight with low
6 permeabilities. We have to fracture stimulate it to
7 get good production is basically where we're going.
8 In general, with vertical completions, we do a two
9 stage job. We have also done one stage jobs. You
10 can see the red boxes on my cross-sections are the
11 perfs that we picked.

12 On this 15L well, the first stage we
13 frac'd at 210 gallons of slick water and 100,000
14 pounds of sand. And that was the first stage. And
15 the lower set of perfs in the next stage on the same
16 day, frac'd at 100,000 gallons and 50,000 pounds of
17 sand. This is pretty similar to what we have done --
18 we have gone all the way down to 50,000 gallons of
19 fluid in order to attempt to stay out of water as
20 well as up to 600,000 gallons of fluid in one stage.

21 Q So they are large fracs?

22 A Yes, they are very large fracs. And
23 that's because we have a thick interval of this type.

24 Q In looking at this, do all three pools
25 produce from correlative intervals?

1 A Yes, sir. That's kind of what I am
2 showing here is throughout the pools, the Yeso
3 interval is stratigraphically continuous throughout
4 the area. Generally, the main pay zone for us is
5 just below the base of the Glorieta. We also have
6 some lower production in certain areas as well.

7 Q And especially when you look at Exhibit 2,
8 when the wells are designated, it looks like the
9 pools are all mixed up anyway, correct?

10 A They are. That's correct.

11 Q And does that justify abolishing the two
12 pools and just putting everything in one pool?

13 A Yes, sir.

14 Q Do you have anything else on Exhibit 6?

15 A Just one quick thing as far as well log
16 evaluation. We have change in water throughout the
17 area. We get a whole fresher down depth so that
18 makes our resistivity of our water hard to figure
19 out. So as far as water saturation calculations,
20 they are pretty tough in the area.

21 Q Okay. And what does Exhibit 7 reflect?

22 A Exhibit 7 is introducing our Limousine 15
23 CD Fed Com #1H. This is the well that is producing
24 or is capable of producing over the allowables. It
25 is an 80-acre horizontal well in Section 15 of 20,

1 25. Basically what this cross-section shows as you
2 can see on the far right-hand side of the
3 cross-section, you can see the actual wellbore path
4 of the 15 CD. This is the projected cross-section so
5 I've projected in offsetting vertical wells based on
6 their structure and what they would be if you were to
7 draw a straight line to the horizontal well paths. I
8 shifted those based on structure up or down.

9 In general, you can see, again, my red
10 rectangles are the perms that we have in the vertical
11 wells in the area. Just wanted to kind of introduce
12 our philosophy as far as completions for our
13 horizontal wells. We use the packers, packers and
14 port system. You can see on the horizontal wellbore,
15 we have black rectangles as well as red rectangles.

16 The black rectangles indicate open hole
17 packers. The red rectangles indicate the ports. So
18 basically these are mechanical open hole packers
19 where we pressure up on them. They expand
20 mechanically in order to hold the string in place, as
21 well as prevent fluid going up and down the wellbore.
22 We start completion at the toe.

23 You can see port number 1, 5408 measured
24 depth. We pumped in the first one at 193,000
25 gallons, roughly 194,000 gallons roughly. We also

1 put sand in those. I don't have those exact numbers.
2 So we drop a ball. The ball seats. When that ball
3 seats, it opens up the next port in which we frac the
4 next one.

5 In this Limousine 15 CD, we have a total
6 of eight ports. Roughly in the area, we try to put
7 them 200, 250 feet apart. Just varies on the well.
8 With the 80-acre lateral, we have done up to nine
9 ports. With a full mile, we just ran 17 ports. So
10 what this shows is we have the ability to do -- to
11 have multiple fracs in one wellbore within 40 acres
12 with one wellbore instead of having to drill four
13 vertical wells, for example, like we see in the Yeso
14 generally up on the shelf where they are drilling on
15 up to ten-acre spaces.

16 Q One thing on this exhibit in looking at
17 the plat right in the middle of Exhibit 7, the
18 surface location is actually in the Unit B as in boy?

19 A Correct.

20 Q But it is only -- the Limousine 15 CD is
21 only completed and perforated in Units C and D; is
22 that correct?

23 A That is correct. We put the surface
24 location off lease because of surface issues, as well
25 as maximizing our lateral length. You can see that I

1 have a red box that says 3505 measured depth. That
2 is 965 from the north and 2310 from the west, which
3 is where we are legally, and then we did not put our
4 first port until 3578.

5 Q One final thing that you just alluded to
6 that in certain areas, the Glorieta-Yeso wells,
7 vertical wells, operators are drilling them, placing
8 one well in each corner of a 40-acre unit; is that
9 correct?

10 A Correct.

11 Q And that is the -- they've determined that
12 those wells are not capable of draining one well per
13 40 acres?

14 A That is my understanding.

15 Q So the horizontal wells accomplished the
16 fact of doing what -- in essence, what four wells in
17 a 40-acre tract would do?

18 A Yes, sir.

19 Q Were Exhibits 2, 6 and 7 prepared by you
20 or under your supervision?

21 A Yes, sir.

22 Q And in your opinion is the granting of
23 this application in the interests of conservation and
24 the prevention of waste?

25 A Yes, sir.

1 MR. BRUCE: Mr. Examiner, I move the
2 admission of Exhibits 2, 6 and 7.

3 MR. HALL: No objection.

4 MS. MUNDS-DRY: No objection.

5 MR. BROOKS: 2, 6 and 7 are admitted.

6 (Exhibits 2, 6 and 7 admitted.)

7 MR. BRUCE: I pass the witness.

8 EXAMINATION

9 BY MR. HALL:

10 Q Mr. Lodge, looking quickly at your Exhibit
11 2, it appears that most of Mewbourne's horizontal
12 projects are east, west; is that right?

13 A We actually do both. We have both. We
14 have north, south and east, west wells. The majority
15 of what Concho Marbob has done has been north, south.

16 Q Okay.

17 A We know from some microseismic data we
18 have that we don't think north, south versus east,
19 west matters as far as frac orientation.

20 Q All right. And can you tell the hearing
21 examiner what are the setback rules for wells in
22 these pools currently?

23 A I would have to defer to the engineer.

24 Q If we look at some of the locations on
25 here, does it appear that they are 330 feet off the

1 sides of the quarter quarters?

2 A Yes.

3 MR. BROOKS: And we will take
4 administrative notice that that is the case.

5 Q (By Mr. Hall) And Mewbourne is not asking
6 for a change in the setback rules --

7 A No.

8 Q -- under any of these pool rules; is that
9 right?

10 A No.

11 Q Okay. I want to ask you about a well I
12 believe you have planned in Section 10. It is your
13 Long Draw --

14 A Sure.

15 Q -- CD: Can you locate that for the
16 hearing examiner?

17 A It is not on this because we haven't
18 drilled it yet, but we have a projected well going
19 through Unit letter D and C of Section 10 of 20, 25.
20 It will be an 80-acre horizontal.

21 Q And do you know what the footage location
22 is for that?

23 A It is going to be 350 from the north --
24 surface location is going to be 350 from the north,
25 280 from the east in Section 9.

1 Q And you have two other vertical wells in
2 Unit C and D there?

3 A That's correct.

4 Q What do you propose to do with the
5 allowables for all of those wells?

6 A My understanding, you have to share the
7 allowables.

8 Q You have to apply for simultaneous
9 dedication?

10 A I don't know the answer to that, but I
11 would assume so.

12 Q Okay. Is there anything constraining
13 Mewbourne from drilling the 10 CD well in, say, a
14 north, south drill?

15 A Not to my knowledge. There might be some
16 land issues as far as partners are concerned, but I'm
17 not as familiar --

18 Q Okay. Would a north, south project put
19 you into a little bit better geology?

20 A No, not in my mind.

21 Q Makes no difference stand up or lay down?

22 A I don't think so. Well, let me clarify.
23 It depends on where you want to put that north,
24 south.

25 Q Okay. Say between the existing wells?

1 Say 1320 --

2 A Okay.

3 Q -- and ran that to the south, is that
4 possible?

5 A I think it would put us closer to some of
6 our vertical wells, which would not be what we would
7 want to do.

8 Q And why not?

9 A I think that where we have it planned is
10 okay as far as staying away from our vertical wells,
11 but as a general rule, you would like to stay further
12 away in that unit from your vertical wells.

13 Q And why?

14 A Just so you don't affect that vertical
15 well.

16 Q Is there a concern about drainage?

17 A No, not in my mind.

18 Q What can you tell the hearing examiner
19 from a geologic perspective that will satisfy him
20 that locations with these higher allowables, 330 feet
21 off the quarter, quarter lines, won't cause drainage
22 across the section lines?

23 A It is a low perm environment. We have
24 some sidewalk core data in the area. It shows very
25 low perms, .01 to 1 millidarcies, majority of which

1 are probably in the .01 to .1 millidarcy phase.

2 Q Okay. Do you know which wells have
3 sidewall core data?

4 A We have sidewall core data on the Long
5 Draw 10 F, which is in Section 10. We also have
6 sidewalk core data in Section 22 of 20, 25.

7 Q Is it your view that the permeability is
8 going to be fairly consistent along the entire
9 geographic scope of these pools?

10 A Yes, it is. I think there is some -- you
11 might have some rare bugs or something that are going
12 to be higher permeability, but those aren't to my
13 knowledge mappable as far as the majority of the
14 reservoir. It is going to be thick and tight.

15 Q You told us a little bit about your
16 fracture programs here.

17 A Uh-huh.

18 Q The completion techniques and fracturing
19 techniques that you're using, is that increasing the
20 drainage radii for these horizontal wells?

21 A As far as if you're increasing fluid or --

22 Q Drainage.

23 A With how much fluid is what I am asking?

24 Q Any amount of fluid.

25 A My question is how are you going to

1 increase your drainage radii if you use the same
2 amount of fluid?

3 Q I don't know. I am asking you.

4 A No.

5 Q You don't believe your drainage radii will
6 increase with the fracture techniques you're
7 employing?

8 A No. I haven't done any drainage
9 calculations. That is not my area.

10 Q Okay. That was going to be my next
11 question. If I ask you that question, you can't tell
12 me what the drainage radius is?

13 A Okay.

14 Q You agree with me? We're asking each
15 other questions here.

16 A Okay. Sure.

17 Q We're out of sync. But you don't have any
18 testimony, no evidence to offer the hearing
19 examiner --

20 A No, sir.

21 Q -- about the drainage radius?

22 A No.

23 MR. HALL: No more questions.

24 MR. BROOKS: Ms. Munds-Dry?

25 MS. MUNDS-DRY: No questions.

1 MR. BROOKS: Well, I will follow
2 right up on where Mr. Hall left off, and would it be
3 fair to say that your engineering witness will
4 present some evidence on the area of drainage in
5 this --

6 A I believe he will have some thoughts on
7 that.

8 MR. BROOKS: Okay. Basic thing you
9 testified to as I understand it is that in your
10 opinion this Glorieta-Yeso formation is continuous
11 across --

12 A Yes, sir.

13 MR. BROOKS: So if it were all
14 combined in a single pool, it would properly be
15 characterized in your opinion as a common source of
16 supply?

17 A Yes, sir.

18 MR. BROOKS: Mr. Jones?

19 MR. JONES: To clarify, the pool that
20 you want to expand includes the Glorieta, but it
21 doesn't include the -- I mean, the other pools don't
22 include the Glorieta according to the nomen -- the
23 way they are worded?

24 A Uh-huh.

25 MR. JONES: Is there any significance

1 in that? What I mean is the Glorieta out here, is it
2 a target --

3 A No.

4 MR. JONES: -- at all?

5 A My opinion is that it is not a target.

6 MR. JONES: Too silty?

7 A Right. And not to say -- there is other
8 operators in the area that have -- they have and have
9 continued to put perms in the Glorieta. We have put
10 them in the lower part of the Glorieta maybe, but we
11 don't think that that's the main target. The main
12 target for us is just below the Glorieta into the
13 dolomite.

14 MR. JONES: But when the pool was
15 created, the pool, that doesn't include the Glorieta,
16 the North Seven Rivers, Glorieta-Yeso. It must have
17 had some wells initially that did perforate the
18 Glorieta?

19 A To my knowledge, yes, there is.

20 MR. JONES: And that was up north
21 more?

22 A Right, right.

23 MR. JONES: Does it become less
24 prospective as you go south, the Glorieta?

25 A I still think it is less prospective to

1 the north as well.

2 MR. JONES: Okay. Just for the
3 horizontal ones or for any type of drilling and
4 completion?

5 A Any type of drilling. Actually, if you
6 look, Section 22 of 19, 25 on Exhibit 2, there is two
7 horizontal wellbores. You see there is one in Unit
8 letter B and then one in Unit letter D. Those are
9 two Nearburg wells that were drilled -- horizontals
10 that were kicked off and landed in the Glorieta. I
11 believe they have made some oil. I don't have
12 production numbers on them, but to my knowledge, it
13 is much less oil than what we're making in the ones
14 that we're landing in the Yeso.

15 MR. JONES: Do you go out and watch
16 them drill these wells? Are they pretty successful
17 in drilling as far as you want to drill horizontally?

18 A We have been. And now that being said, we
19 personally have only drilled a one mile long lateral,
20 but we had no issues as we got down towards the end
21 of it.

22 MR. JONES: And you're satisfied
23 you're staying exactly where you want to be
24 vertically?

25 A Yes, sir.

1 MR. JONES: You don't talk about any
2 of the members of the Yeso. Is that because you're
3 in the Delaware Basin? Like the Paddock --

4 A I think it is probably -- as far as the
5 Paddock, the Blinebry, I think it is the same
6 interval. We just don't use that name, that
7 nomenclature.

8 MR. JONES: But you picked an
9 interval for horizontal drilling down a couple
10 hundred feet into the Yeso?

11 A Right. And to clarify, we do not land all
12 of them right there. This one, we have some -- we
13 think we have some better reservoir, deeper, so we
14 landed this one specifically deeper. Now, the
15 majority of the ones that we have drilled, we land
16 probably just above that second green marker. We
17 generally land it there or even a little bit higher.
18 That is about 120 to 150 feet below the base of the
19 Glorieta.

20 MR. JONES: Do you get involved in
21 your reserve calculations? Do they come to you to
22 have the -- to get the porosity and the net
23 thickness?

24 A It is something that we're presently
25 struggling with, but we continue to do that, but no,

1 we have not done many, or I haven't been involved in
2 doing that.

3 MR. JONES: So you don't work on the
4 volumetric calculations?

5 A I personally do not.

6 MR. JONES: You've got some nice
7 software to crank out these maps. This microseismic
8 stuff, I guess we can talk to the engineer about
9 that.

10 A I am sure he will have some data on that.

11 MR. JONES: I don't have any more
12 questions.

13 MR. BROOKS: Nor do I. Do the
14 lawyers have any follow-up?

15 MR. BRUCE: No, sir.

16 MR. BROOKS: Very good. The witness
17 may stand down. You may call the next witness.

18 BRIAN MONTGOMERY

19 After having been first duly sworn under oath,
20 was questioned and testified as follows:

21 EXAMINATION

22 BY MR. BRUCE:

23 Q Would you please state your name and city
24 of residence?

25 A Brian Montgomery. Tyler, Texas.

1 Q And who do you work for?

2 A I work for Mewbourne Oil company.

3 Q What is your job at Mewbourne?

4 A I am a manager of economics reservoir
5 engineering.

6 Q Have you previously testified before the
7 division?

8 A I have.

9 Q And as a reservoir engineer?

10 A I have.

11 Q And were your credentials as an expert
12 accepted as a matter of record?

13 A They were.

14 Q Are you familiar with the engineering
15 related to this application?

16 A Yes.

17 Q And does your area of responsibility at
18 Mewbourne include this part of Southeast New Mexico?

19 A It does.

20 MR. BRUCE: Mr. Examiner, I tender
21 Mr. Montgomery as an expert reservoir engineer.

22 MR. BROOKS: Any objections?

23 MR. HALL: No objection.

24 MS. MUNDS-DRY: No objection.

25 MR. BROOKS: So qualified.

1 Q (By Mr. Bruce) Mr. Montgomery, let's just
2 start with your Exhibit 8. What is contained in this
3 plat?

4 A Exhibit 8 is a two-page table of the wells
5 that we had public data on, production data for these
6 fields, these pools up through September 15 when I
7 printed this out, and it is sorted in the date of
8 first production so you can see some of those early
9 wells at the beginning.

10 Going across the table, you see I have a
11 little nickname. I use just the location, the lease
12 name, the well number, operator name, field name, the
13 cumulative oil, gas, water, first production, last
14 production -- some of these wells are off production
15 now -- the months that they were on production, and
16 therefore, I can calculate the cumulative allowable.
17 And then the overage or underage for those
18 allowables. The last column is whether it is
19 horizontal or vertical.

20 So the first page if you will notice, they
21 are all V, they are all vertical, and there are no
22 wells with any problems being over the allowable.
23 There was a time when these wells were being
24 developed that fractured techniques were different.
25 There were some good wells, but there was nothing

1 that was that prolific.

2 If you turn to the second page, you will
3 see some of the newer vertical wells and a few
4 horizontal wells, and I would just note the first
5 horizontal well there is about a quarter down the
6 page, and it is the Noose Federal Com 6H by Marbob.
7 Further down the page, there is one that is
8 highlighted in yellow as horizontal, and the yellow
9 signifies that the cumulative allowable is over the
10 statewide allowable for that well.

11 There is one vertical well that showed up
12 in that form. At the very bottom, it is a Mewbourne
13 well. It has since declined naturally to where it is
14 no longer over its allowable. So this is just a
15 little bit of a background to help go with this map.
16 And I have studied lots of Yeso fields. And when I
17 studied this one, I compared it to other fields, and
18 this gives us a good handle at that point in time of
19 what was going on with the development of this field
20 or these three pools.

21 Q Let's move on to your Exhibit 9. This is
22 more of a -- well, tell the examiner what it is.

23 A It is kind of a cartoon you might say or a
24 diagram.

25 Q I was going to say.

1 A It is very localized. You see this is the
2 south half of Section 10 and the north half of
3 Section 15 in the Township 20 South, 25 East. Each
4 small block is a 40-acre unit, and the total block is
5 one square mile. There are 12 vertical producers and
6 one horizontal producer that was talked about in the
7 previous exhibit, the Limousine 15 CD #1. And you
8 can see that has the several fracs denoted with the
9 green ellipsis all connected together.

10 The vertical wells, they are fracture
11 treated. As we heard, they are thick, low
12 permeability dolomites. We talked a little bit about
13 drainage. These aren't exact drainage areas, but I
14 come up typically with ten to 20 acres for these
15 vertical wells when they are done with their ultimate
16 recovery, that they will have recovered at a ten
17 percent, 15 percent recovery factor only in ten to 20
18 acres.

19 Q Let me step in there for a minute. These
20 are all existing Mewbourne wells in the south half of
21 Section 10 and the north half of Section 15?

22 A That's correct. They are Mewbourne
23 operated.

24 Q Except for the Limousine 15 CD, they were
25 vertical wells?

1 A That's correct, yes.

2 Q Have you in looking at the production data
3 seen any interference, say, between the well and --
4 the two wells in the east half, southeast quarter of
5 Section 10?

6 A No, nothing significant. Every once in a
7 while when we frac a well, we will see a little bit
8 of frac water in the nearby well, but the production
9 is not affected.

10 Q Okay. So that would indicate that the
11 drainage in these wells is substantially less than
12 40 acres?

13 A That is correct. It is very early on to
14 know, but there is no evidence of production
15 interference to where they would be competing for the
16 same drainage.

17 Q Go on with your testimony.

18 A Okay. And so as we found that these --
19 these wells are very economic to drill vertically.
20 The decision was made to try horizontal wells in
21 addition to infill drilling these vertically, which
22 is what -- the normal course that would occur. We
23 heard earlier in the same room about the Burch Keely
24 Unit. There are dozens, maybe hundreds, of Yeso
25 wells drilled on ten-acre spacing, vertical wells,

1 due to the low permeability nature of these
2 reservoirs. They just aren't able to drain a 40-acre
3 unit very well.

4 So we drill a horizontal well, and what we
5 find, we did a really good job of draining -- we
6 think we're going to do a really good job of draining
7 these 40-acre units that we drilled through. What we
8 find, even though it is very low permeability, we can
9 space the fracs so close together, that the oil
10 doesn't have that far to travel to get to a fractured
11 plane and into the wellbore.

12 And when we do that, we're able to maybe
13 increase the recovery factor a little. We don't get
14 a larger area, but we just do a better job of getting
15 the oil out of those 40-acre units, like getting
16 multiple fracs in a single well. The rub was we
17 became -- we had high, high oil rates and exceeded
18 the allowables.

19 Much like Marbob before us, who asked for
20 testing allowables at maximum rate, we had asked for
21 a testing allowable at maximum rate for this well,
22 and we were able to produce 400, 500 barrels a day.
23 The allowable for that well would be two 40-acre
24 units, so 160 barrels a day that we were able to
25 sustain high rates, close to triple that.

1 Now, the vertical wells may come on much
2 above the initial oil allowable. They quickly
3 decline. And within a few months, they are in
4 balance with their allowable.

5 Q Mr. Montgomery, in looking at the
6 Limousine 15 CD, you have eight little ovals on that.
7 Is that because you're using eight points of entry
8 when you are --

9 A We are. That's right. This well was
10 frac'd eight different times the same day, but an
11 hour or two apart for each one, and it allowed us to
12 create eight points in those two 40-acre units.

13 Q Okay. And using eight fracs versus one,
14 that does create the potential of high initial oil
15 rate?

16 A Yes, it has many times. We have some
17 other evidence to show after this about the actual
18 productions from these wells.

19 Q Okay. Let's move on to that, and you've
20 got a number of charts. And maybe for the first one,
21 just fully describe what is shown on the chart, and
22 then for the rest of them, we can probably get --
23 slip through them a little more quickly.

24 A Okay. That is a good point. This first
25 chart is of a well that is right next to the section.

1 If you refer to Exhibit 2, the map, in looking to
2 Section 9 and to the southwest quarter, Unit K, you
3 see there is a Gunsmoke 9 K. And I brought this up
4 to show a horizontal well next to a vertical well to
5 talk about what the differences are, and I've got a
6 few more examples.

7 And on this plot, the oil will be in
8 green, the gas will be in red, and the blue will
9 be -- the water will be in blue, and then the gas oil
10 ratio is in a very light green with a smaller dot.
11 The scales are logarithmic, and you can see the oil
12 scale on the left with the gas and water and the gas
13 oil ratio scale on the right.

14 At the very beginning of time, back in
15 December of '09, we fracture treated the well. This
16 is a vertical well. And you see the well came on
17 barely able to do the 80 barrels a day. That is the
18 allowable. It came on maybe 100 barrels a day for
19 just a few days. So it was never in any need of any
20 relief. This is sort of representative of the more
21 moderate reservoir productivity. We do have sections
22 that the vertical wells are much better than these.

23 And on the far right, you see the
24 cumulative oil production, gas production, and water
25 production. And if I could, I would like to go to

1 the next exhibit.

2 Q Yes, sir.

3 A If you put these side by side, what I'm
4 trying to show here is that the horizontal well in
5 the same lower productivity part of the reservoir is
6 much stronger than the vertical well. In fact, my
7 belief ultimately it will be six times as good as the
8 ultimate one. And if you think about drilling two
9 40-acre wells, that's twice as good. 20-acre spacing
10 would be four times as good. So it would be
11 equivalent of drilling three wells per 40. It is
12 hard to know that exactly so early on, but that is
13 a --

14 Q Go ahead.

15 A -- it is obvious that they are much
16 stronger wells.

17 Q Just to orient the examiners, on Exhibit
18 11, the Gunsmoke 9 EF Fed is directly north of the
19 well that you just talked about?

20 A That's correct. I'm sorry. Yeah, looking
21 at Exhibit 2, it is directly north, and it is an
22 80-acre horizontal going and producing through Unit
23 letters E and F of Section 9. So its oil allowable
24 would be 160 barrels a day, and that is about all it
25 really did to be honest with you. It is at maximum

1 rate. We're not choking it back. It began to
2 decline from there. It never had a problem with its
3 current statewide oil allowable, but it does -- if
4 you will notice, look how long it is sustaining over
5 100 barrels a day compared to a well in the same
6 reservoir. It could only do that for a few days.
7 And also notice the GOR. Although it is different,
8 it is similar. Typical GORs are 500 to 2000.

9 Q It is a very low GOR?

10 A Very low GOR. It is.

11 Q And, again, this shows that the -- this is
12 a very shallow rate of decline in this well?

13 A It is, yeah. And I would note that these
14 flat GORs help me feel confident that this is a
15 slow -- it is going to take years to get this oil
16 out. This is a very tight reservoir that is -- I
17 really don't think it is affected by high, high
18 rates.

19 Q And maybe this is a sidetrack. Have you
20 calculated what the life of some of these wells are?

21 A They are 40 to 70 years, I believe.

22 Q Whether vertical or horizontal?

23 A That's correct. Yeah, the better vertical
24 wells will go longer, you know, closer to 50 or 60
25 years.

1 Q Okay. Let's move on to Exhibit 12.

2 Again, what is this?

3 A Exhibit 12 and 13 go together as a pair.

4 So if we want to look at them both, starting with
5 Exhibit 12, this is a vertical well very near the
6 Limousine 15 CD horizontal well that we talked about
7 a while back. This well is due north. If you look
8 at Exhibit 2, it is in Section 10, Unit letter M. It
9 came on after being frac'd as a vertical well
10 exceeding the 80 barrels a day allowable, but very
11 shortly thereafter as we began to file papers, we
12 were at the allowable, and so it fell below the
13 allowable.

14 We felt we would be okay on a cumulative
15 basis, and we were. In just two or three months, it
16 was back in balance. I do want everyone to notice
17 that the GOR is typical from what we saw in Section
18 9. This is just better, thicker actually and a
19 better reservoir.

20 If you look at the next exhibit, 13, you
21 see the horizontal well we have been talking about
22 that was fractured stimulated eight times over two
23 different 40-acre units. It was a very good well.
24 Came on at much better rates than the last horizontal
25 well we just talked about. It is in a little --

1 obviously a little better part of the reservoir, much
2 thicker.

3 Here, we had to apply for testing rates at
4 maximum rate for 60 days to see what we could find
5 out in preparation for this hearing. So after 60
6 days, we pinched the well back. And you can see the
7 gas oil ratio did go up, but very similar, and then
8 pulled back down a little bit. I don't believe that
9 that is that significant, but what it does show us is
10 that this is a better -- this is better than the
11 Gunsmoke Section, Section 9.

12 So here we have a horizontal well that
13 gives us a problem with oil allowables. What do we
14 do? Do we just restrict them? We spent a lot of
15 money on horizontal wells. Or do we work with the
16 Commission to try to work out a higher allowable?

17 Q And what about the next plat?

18 A The next plat is -- the next two or three
19 are just sort of supplementary because I wanted to
20 put out the rest of the horizontal wells to be
21 honest. This is a Mewbourne well. It is also on
22 Exhibit 2. You can find it in Section 34 north of
23 where we have been looking up in the next township.
24 It is a north, south 80-acre well on the far east
25 side, and it is offsetting a couple of Marbob

1 horizontal wells that are in Section 35.

2 So if you look in the 19, 25, Section 34,
3 the east half of the southeast quarter, you will see
4 this well. It was fracture stimulated very similar.
5 Although it is north, south, there wasn't much
6 difference -- and you can see we had a very good
7 well. Again, we were very near the allowable that we
8 were okay with on the statewide basis.

9 160 barrels of oil per day is what this
10 well has right now. It is bouncing around its
11 allowable. It might struggle a little to stay under
12 its cumulative allowable, but I believe it is
13 slightly under the allowable right now, its
14 cumulative basis, and it has got a typical GOR
15 profile.

16 Q A very constant GOR?

17 A It is, yeah. And then the next exhibit,
18 15, is the well right next to it. A little bit
19 better -- well, a lot better part of the reservoir.
20 Fortunately for us, we noticed that in Section 35,
21 Marbob drilled several horizontal wells, of which we
22 believe this one just happens to be in the sweetest
23 spot of the reservoir. Their other wells aren't this
24 good. They are all very good, but this one is
25 extremely good.

1 They applied for maximum testing for a
2 period of time, for three months, and they did that.
3 You can see the well got up to over 500 barrels a day
4 -- I think even 800 barrels one day.

5 MR. BROOKS: Which well is this?

6 A This would be Exhibit 15, the Noose
7 Federal 6H. And it is right next to the well we just
8 looked at in 34, so it would be in the west half of
9 the southwest quarter of 35.

10 MR. BROOKS: Okay. The number 6H,
11 I'm trying to find that.

12 A It is kind of --

13 MR. BROOKS: Oh, I see. It's the
14 Noose Federal 6. It doesn't limit -- the H doesn't
15 come out.

16 A Right.

17 MR. BROOKS: Okay.

18 A And that gave me a brief time to remember
19 I forgot to say one thing on the previous production
20 plot in Section 34. It was the first time we drilled
21 right through a section that had two producing wells
22 in it. We bought the two wells. They were down to
23 almost nothing to be honest. So we knew even if we
24 had some effect on them, it would be minimal compared
25 to if we made a good well. So we don't see any

1 effect on those wells, but to be honest, they weren't
2 doing anything anyway.

3 But what it tells me is those wells didn't
4 drain those 40s. They didn't come close to draining
5 those 40s. These two horizontal wells, the Marbob
6 well we're looking at now and our Lakewood well, are
7 fantastic wells in a place where there were already
8 two old Yeso wells that were frac'd and had produced,
9 and I think they made 20,000 or 30,000 barrels
10 apiece.

11 Q (By Mr. Bruce) So what you're saying,
12 Mr. Montgomery, is two things. That your
13 horizontal --

14 A Lakewood.

15 Q -- Lakewood IP well didn't have any effect
16 on the two older Yeso wells, but by the same token,
17 they had no effect on your new well?

18 A That's correct. That's correct. So the
19 Federal 6H on Exhibit 15 is another example. I would
20 point out one or two other things on this particular
21 well. You know, I visit with Nearburg and I visit
22 with Concho and all of these operators, and Concho
23 Marbob told me the way they try to keep their
24 allowable balanced after their maximum testing was to
25 shut the well in and bring the well back on.

1 There is a problem with that. We have H2S
2 here, and we treat with -- for both scale and
3 corrosion with a chemical. And we need to keep that
4 fluid moving; otherwise, we get a stagnant fluid that
5 may impact the tubing and the casing. So figuring
6 out just how to curtail these wells has been
7 important. We have done something different than
8 what they did, but it is a problem that we worry
9 about, that by having to restrict these wells, we can
10 have additional costs and problems with corrosion and
11 scale.

12 And then moving on to Exhibit 16, again,
13 for completeness, this is another well that is over
14 its allowable, and it was applied for the testing
15 period, and so it produced wide open. Didn't have
16 any gas production at first. You can see this is the
17 Grave Digger State #1 in Section 2, 20, 25, and it is
18 a full mile lateral. You can see it in blue. North,
19 south in Section 2 on the west half of the west half.

20 And so with a full mile, you're going to
21 have even more fracs. Should have even a better
22 long-term well. More total recovery. You don't
23 always get the right multiple up front that first
24 month, but ideally, I think we would draw at least a
25 full mile if we had this blank slate, which we don't.

1 But this is another well that is over its allowable,
2 and they have reduced its rate down to 320 barrels a
3 day, which is the current allowable for a full mile
4 lateral, but it is being choked back.

5 The GOR, I don't have the first month of
6 gas, but you can see it is a typical GOR. Even at
7 these high rates, the GORs don't do anything strange.
8 That's the last of those kind of plots.

9 Q Okay. Let's switch gears a little bit.
10 What are your next series of three exhibits, starting
11 with Exhibit 17?

12 A These are exhibits for the benefit of the
13 OCD to show the amount of allowable overage we have
14 for these big wells. There is really just three that
15 we're worried about right now. As we drill more
16 wells, that is going to continue for all three
17 operators, and there are other operators involved.

18 The first one would be the Grave Digger.
19 It's the same well we just looked at. It's a
20 slightly different plot. It shows oil production.
21 There is no gas or water, but it shows the same peak
22 in oil production at 700 barrels a day.

23 And I plotted on here the oil allowable,
24 and in purple, there is a straight line that shows
25 what the cumulative oil allowable would be day after

1 day added up. The green line is the cumulative oil
2 production. So you can see on this well, for a
3 while, it was below its cumulative allowable, but by
4 producing over 320 barrels a day, it quickly got
5 above its cumulative allowable. And if you look at
6 the end point, which is as of October 1 -- I should
7 have put that on there -- these three plots all end
8 on October 1. This well is about 9,000 barrels over
9 its current allowable waiting for this hearing, and
10 it is being kept at its current allowable today.

11 The next two plots are very similar. It
12 is the Moose Federal 6 we talked about a while ago.
13 That well is, again, in Section 35, and this is the
14 same type of plot showing that with those high rates,
15 of course, it got over its allowable, but once they
16 started to hold it to its allowable, those purple and
17 green lines became parallel. You can see that well
18 is about 25,000 barrels over its statewide allowable.

19 And then the last one is the Mewbourne
20 well, which we're most concerned about, of course,
21 and ever since we reduced our production rate, the
22 two lines, the cumulative oil and the cumulative oil
23 allowable begin to parallel, but of course, we're
24 over our cumulative allowable, and that's about
25 16,000 barrels.

1 Q Even though the wells are over their
2 cumulative allowable, right now, these three wells
3 are producing at the statewide allowables?

4 A They are.

5 Q They are.

6 A There has been no effort really to try to
7 make that up. We're really waiting on this hearing,
8 and we would like to get those allowables
9 grandfathered in to where we don't have to make
10 those up.

11 Q The overages, you would like them excused?

12 A I would, yes. We would.

13 Q If this application is granted,
14 Mr. Montgomery, do you see any negative impact on the
15 correlative rights of operators in the pool?

16 A No, I do not.

17 Q Do you see where waste will occur by
18 increasing the daily allowable?

19 A No.

20 Q Does the fact that these wells show a flat
21 GOR indicate that there is no damage to the reservoir
22 by increasing the allowable?

23 A Yes, to some degree, that is important.

24 Q And, again, getting back to the drainage
25 areas, you don't see any effect on offset wells,

1 vertical or horizontal, at the current well spacing
2 rules?

3 A No.

4 Q In your opinion is the granting of this
5 application in the interest of conservation and the
6 prevention of waste?

7 A It is.

8 Q Now, one thing is at this point, Mewbourne
9 seems to think that drilling horizontally is the best
10 way to develop this reservoir?

11 A Everything else being equal, yes.

12 Q And the horizontal wells do cost more than
13 a single vertical well?

14 A Yes.

15 Q Do you see a benefit in increasing -- the
16 production to increase -- to recuperate costs at a
17 more rapid rate?

18 A Absolutely. Horizontals would be much
19 better at that.

20 Q Make it more economical for the operators
21 to drill in the pool?

22 A And getting more out of each 40, get a
23 higher recovery factor out of each 40, much higher.

24 Q Were Exhibits 8 through 19 prepared by you
25 or under your supervision?

1 A They were prepared by myself.

2 MR. BRUCE: Mr. Examiner, I move the
3 admission of Exhibits 8 through 19.

4 MR. HALL: No objection.

5 MS. MUNDS-DRY: No objection.

6 MR. BROOKS: 8 through 19 are
7 admitted.

8 (Exhibits 8 through 19 admitted.)

9 MR. BRUCE: I pass the witness.

10 MR. BROOKS: Mr. Hall?

11 EXAMINATION

12 BY MR. HALL:

13 Q Mr. Montgomery, if you refer back to your
14 Exhibit 9 --

15 A Okay.

16 Q -- showing your drainage here, and if I
17 understood you correctly, these ellipsis are
18 demonstrating approximately ten to 20 acres of
19 drainage?

20 A They are just diagrams showing
21 approximately the angle that I think these frac are
22 going and the dimensions of the ellipsis, but they
23 are not meant to be an exact number of acres.

24 Q I see.

25 A But I stand by my comment that ten to

1 20 acres per vertical well would be what I would
2 estimate these would drain ultimately.

3 Q All right. And some of the ellipsis, for
4 instance, the LD 10M #1, the vertical well, is
5 showing drainage across the subdivision boundary?

6 A It is. Although, I don't know that it
7 does that.

8 Q We should establish that current setback
9 rules are 330?

10 A Yes, they are.

11 Q And you're asking for those to remain in
12 place?

13 A Yes, we are.

14 Q If we look at the horizontal well there,
15 at the Limousine 15 CD 1H, it is showing multiple
16 ellipsis, and if we look at -- I guess that would be
17 Unit D in Section 15, the equivalent of four ellipsis
18 there, so is it accurate to say we're draining
19 80 acres out of Unit D?

20 A No. What would be accurate to say is
21 we're draining more than one vertical frac would be
22 draining. It depends on what one vertical frac truly
23 drains, whether it is ten acres or 20 acres, and it
24 depends on how big of a frac you put in there and
25 rock and other things. These are just to demonstrate

1 some general concepts.

2 Q Okay. None of your horizontal wells are
3 being drilled closer than 330 feet to any of the
4 vertical wells; is that correct?

5 A Exactly. That's statewide rules, and
6 that's what we're doing.

7 Q Okay. Even within the same --

8 A Oh, I'm sorry. You said next -- repeat
9 your question.

10 Q Are any of your horizontal wellbores
11 closer than 330 feet to any vertical wellbores within
12 the same 40?

13 A I would have to look at the Lakewood. I
14 bet the Lakewood is to be honest with you, but I
15 would have to measure. I don't know for a fact.

16 Q On the fracture treatments in your
17 horizontal wells, did you see any fracture water,
18 fracture fluids coming out of your vertical wells?

19 A We did see a little bit -- it's hard
20 because they are done by tank battery. We saw a
21 couple of vertical wells that have that effect, and
22 we saw a -- I believe the 10M #1 in this -- on this
23 horizontal well showed a little bit of frac fluid
24 come in. And we're not sure what finally gets
25 propped versus what gets pumped and what finally gets

1 available for drainage from -- originally propagates
2 out. It is a difficult thing to know just what that
3 effect is.

4 Q If you're recovering frac fluids like
5 that, is that an indication to you that you're likely
6 going to see interference more than 330 feet away?

7 A No. This is not the only place we've
8 drilled horizontal wells. And time after time, we
9 will see -- sometimes an offset well take -- that day
10 takes some frac fluid, a producing well, and then
11 months later, look back and see no detriment to it,
12 and the same is true with these wells.

13 Q No detriment in terms of producing rates?

14 A That's correct.

15 Q Your Exhibit 14, your plot on your
16 Lakewood 34 Fed IP 1H --

17 A Okay.

18 Q -- and that's offsetting your well to the
19 west of -- if I have the right name, the Unit Pan
20 Canadian A 2? That's the same interval?

21 A Right. Those were -- I would have to look
22 on that table, but some of those were renamed by a
23 later operator. I call those the Lakewood 1, 2, and
24 3 wells, which are the vertical wells in that
25 section, but we could find the exact name if you need

1 to.

2 Q Don't need the name. I just want to know
3 whether the horizontal completion was in the same
4 interval as the vertical --

5 A Yes, it was.

6 Q Tell us how you came up with an allowable
7 of 240 barrels.

8 A Well, we looked at the vertical wells that
9 were prolific, and even though they didn't sustain
10 those rates, we had wells that were able to triple
11 the oil allowable, and so we felt like that's what we
12 should ask for. On top of that our one horizontal
13 well that's so good is doing about triple or could do
14 about triple its allowable of -- let's see, 80 and
15 80, 160, three times that, 480, yeah, that well could
16 do about 480, I think even 500 barrels a day.

17 So by the performance of the actual wells,
18 we saw that more than one instance, including some of
19 the other operators, that three times was not
20 unusual.

21 Q And requesting a test allowable is not an
22 efficient way for you all to produce those wells and
23 bring it back into balance after the test period?

24 A I'm not sure I follow the question.

25 Q Is there any other method under the rules

1 available to an operator to produce a well in access
2 of the established allowable, of the depth bracket
3 allowable so that you're exceeding that and then
4 bringing it back into balance other than requesting a
5 change of the pool rules?

6 A There is new field discovery allowable,
7 and I am not an expert in this part, so I probably
8 have to say I'm not sure to your question.

9 Q New field discovery, you have to be more
10 than a mile away from existing pools?

11 A I will take your word on that.

12 Q Okay. Is it your view that operators have
13 enough data from the historic production from these
14 horizontal wells so that the hearing examiner can
15 make a decision with confidence that interference
16 won't result?

17 A Yes.

18 Q What is the basis of that?

19 A Well, I would think that it is a
20 combination of things. We have the Lakewood example
21 where there are wells that clearly produce, and we
22 still have all of this unrecovered oil, and we went
23 in and frac'd the horizontal well and made a very
24 good well. We have evidence of a multitude of pools
25 and dozens of Morrow wells that are drilled on

1 ten-acre spacing anyway in Yeso pools. We have
2 geologic evidence that shows this Yeso is very low
3 permeability, and those don't lend themselves to
4 draining large areas, so I think this is an
5 appropriate time to ask for this.

6 Q If we look at your Exhibit 8, it appears
7 that on all of your horizontal drills, none of those
8 wells are older than 2009 vintage?

9 A Yes, that's correct. It is a fairly new
10 technique applied over many, many reservoirs and many
11 pools.

12 MR. HALL: No further questions.

13 MR. BROOKS: Ms. Munds-Dry?

14 MS. MUNDS-DRY: No questions.

15 MR. BROOKS: I think I will defer to
16 Mr. Jones here.

17 MR. JONES: Okay. Just for my own
18 education, I am glad to see reservoir engineers are
19 working on primary recovery again instead of just
20 waterfloods and CO2 floods.

21 A Yeah.

22 MR. JONES: What's the gravity, oil
23 gravity out there? I forgot.

24 A 38.

25 MR. JONES: 38, so it's pretty

1 normal. And the bubble point?

2 A We don't have a handle on that, but we
3 think it is close to the original reservoir pressure
4 based on just estimates of depth around 1,100,
5 1,200 pounds.

6 MR. JONES: Your GORs are hovering
7 around 1,000.

8 A I would use an initial GOR closer to 500,
9 600.

10 MR. JONES: Oh, okay.

11 A Solution GOR.

12 MR. JONES: Okay.

13 A These are so tight, they begin to give up
14 gas almost immediately.

15 MR. JONES: Okay. But despite the
16 fact that -- should we wait?

17 A I am good without him.

18 MR. JONES: Okay. Despite the fact
19 that you frac these things pretty heavily, isn't it
20 true that very rapidly, your production is controlled
21 by your tight radial reservoir drainage?

22 A Yes. That's well put.

23 MR. JONES: Okay. I guess I will go
24 on with -- are you convinced this is a solution gas
25 drive reservoir?

1 A I am.

2 MR. JONES: No water drives
3 whatsoever out there?

4 A None.

5 MR. JONES: Are you of the opinion
6 that solution gas drive reservoirs do not really need
7 a limiting production rate? They won't be harmed by
8 production as high as you can get them, especially at
9 these low permeabilities?

10 A That's the key. Yeah. If you have very
11 low permeability, I don't think there is any
12 significant problem with high production rates if you
13 can get them through a horizontal or through a
14 fracture or multiple fractures and horizontal.

15 MR. JONES: Okay. Do you have any
16 papers or anything that's intuitive to us, but do you
17 have anything that's -- anything written about this?

18 A I don't have anything I can point you to
19 corroborate that, but I just lead you to the wealth
20 of wells out here. The evidence is overwhelming.

21 MR. JONES: Okay.

22 A These tight Yeso wells, that when that
23 third or fourth well in a 40-acre unit comes on and
24 it still has -- you know, maybe not as good, but very
25 strong reserves, you know, that these wells aren't

1 draining large areas, and that the high rates are not
2 affecting them.

3 MR. JONES: Okay. Is your frac
4 treatments hurt by your high rates?

5 A My frac treatments hurt?

6 MR. JONES: What I mean is you pull
7 back a bunch of sand by letting the well flow --

8 A Oh, I see. No, we -- everybody fracs
9 these differently. They are such low permeability
10 here that we have gone to a slick water, very low
11 loading gel with still a substantial amount of sand,
12 but instead of the traditional frac it at one pound
13 per gallon, and two, three, four where you pack sand
14 close to the wellbore, we pump sweeps of sand out
15 into the reservoir to help open -- keep some things
16 open and divert.

17 We overflush, which means we pump pure
18 water after every stage, after every port, and see no
19 detriment. And we see some sand back, but not as
20 much. We've tried it both ways. We tried pumping
21 the typical Nearburg and Marbob style fracs, but we
22 prefer our own.

23 MR. JONES: Speaking of those fracs,
24 have you tagged any of the sand?

25 A We have.

1 MR. JONES: Do you see -- does your
2 frac sand -- the height growth limited out here at
3 all by the reservoir?

4 A It grows high very easily. We tag
5 vertical fracs with two stages, so we pump the bottom
6 stage with a tag, and we set a plug. And when we
7 frac the second stage and begin producing, we
8 immediately saw that tag. And these were 200 feet
9 apart, bottom perf to top perf. So we know we have
10 good height growth, which helps the horizontals. We
11 have to have that, and we have done microseismic to
12 show height growth also.

13 MR. JONES: You think it is
14 tectonically balanced so that your fracs are
15 vertical, but they are oriented kind of north, east,
16 south, west?

17 A We had one straight vertical, and we had
18 one that was tilted ten degrees.

19 MR. JONES: Tilted a little bit?

20 A Yeah.

21 MR. JONES: You can actually tell
22 that with your microseismic --

23 A Yeah.

24 MR. JONES: Do you have a lot of
25 tortuosity around the wellbores and more if you drill

1 in one direction than another?

2 A We haven't established that. The frac
3 orientation is not 45 degrees, but it is close enough
4 to where we feel like it is okay to drill either
5 north, south or east, west. We have shown by good
6 producers that both work. We haven't had a problem
7 -- we don't have any problems putting away the frac
8 jobs.

9 MR. JONES: Okay. But you're
10 targeting it seems like, if I heard correctly, one
11 zone in the Yeso. Does this mean that you might be
12 able to target some different levels in the Yeso
13 someday and --

14 A If you have a thick enough interval, you
15 have to make a decision where you're going to land
16 it. If you have a 100-foot interval, you land it
17 near the bottom of that 100 feet and you'd probably
18 be okay, and even 200 feet. But some of these are
19 300 feet in our vertical producers.

20 MR. JONES: Oh, okay.

21 A And they are good wells, so that could
22 happen. I remember hearing the Burch Keely
23 discussion today, and those are like 1,000 feet or
24 more from top to bottom. So you would struggle if
25 you got too far apart drilling one horizontal and

1 getting it on.

2 MR. JONES: I think they showed some
3 heavy water production in some of those, but you're
4 not showing that here at all?

5 A We do in some wells.

6 MR. JONES: Oh, you do in some wells?

7 A Yeah. We have a high water cut in some
8 wells.

9 MR. JONES: And you're satisfied with
10 330 from both east, west, north, south and not like
11 closer spacing on one than the other?

12 A No. No, there is no need for that in my
13 opinion.

14 MR. JONES: Okay. I'm fine.

15 MR. BROOKS: Okay. I have nothing
16 further. The lawyers have any follow-up?

17 MR. HALL: Do not.

18 MR. BRUCE: No, sir.

19 MR. BROOKS: Very good. The witness
20 may stand down. Let's take a ten-minute recess.

21 (A recess was taken.)

22 MR. BROOKS: Does that conclude your
23 case in chief, Mr. Bruce?

24 MR. BRUCE: That is correct.

25 MR. BROOKS: Mr. Hall?

1 MR. HALL: Mr. Examiner, we would
2 call Tim Speer to the stand.

3 TIM SPEER

4 After having been first duly sworn under oath,
5 was questioned and testified as follows:

6 EXAMINATION

7 BY MR. HALL:

8 Q For the record, please state your name.

9 A Tim Speer.

10 Q Two Es?

11 A Yes, correct.

12 Q And where do you live, Mr. Speer?

13 A Midland, Texas.

14 Q By whom are you employed, and in what
15 capacity?

16 A Nearburg Producing. I am a staff
17 engineer.

18 Q All right. You've not testified before
19 the division before. Would you give the hearing
20 examiner a summary of your educational background and
21 work experience.

22 A Yes. I have a bachelor of science in
23 geological engineering from the University of
24 Missouri. I have about 26 years experience, both
25 school, working pretty much all phases: Production,

1 engineering, reservoir engineering, geology, and
2 several other things.

3 Q Permian Basin experience?

4 A Primarily in the Permian Basin.

5 MR. HALL: We would offer Mr. Speer
6 as a qualified expert geologic engineer.

7 MR. BRUCE: No objection.

8 MS. MUNDS-DRY: No objection.

9 MR. BROOKS: So qualified.

10 Q (By Mr. Hall) Mr. Speer, let's look at
11 Exhibit 1 if we could, and would you give the hearing
12 examiner an overview of the Nearburg wells and its
13 acreage holdings in the area of the pool rule
14 consolidation.

15 A Yes. This shows -- the yellow is the
16 acreage where we operate. We have interests in other
17 acreage in this area, but the yellows were where we
18 actually operate. It shows the -- somewhat obscured,
19 but the red is showing outlines roughly of the
20 existing units. And the green is the outline of the
21 proposed units, the proposed consolidated unit. I
22 have also outlined in general -- we have kind of
23 identified two producing trends.

24 There is to the northwest, the Glorieta
25 and Upper Yeso producing trend outlined in light

1 blue. A lot of our wells, particularly up in Section
2 22 and 27 and the south half of 15 are completed in
3 the Glorieta in the very upper part of the Yeso going
4 down to about the first green line on Mewbourne's
5 cross-sections, you know, that they show.

6 The green area out here outlines what we
7 call the Middle Yeso play. That is where these
8 horizontals are being drilled. That's where
9 Mewbourne has completed most of their wells in
10 Section 10 and 15 and throughout the area, which is
11 generally below that lower green line on Mewbourne's
12 cross-sections.

13 For the most part, we don't have any
14 qualms with their geology. We see it pretty much the
15 same way they do. Although we do see to the north
16 the Glorieta as being, you know, pretty prospective.
17 We have made some pretty good vertical wells there.
18 The Middle Yeso actually becomes less well-developed.
19 It starts getting a lot sandier as you go to the
20 north and northwest. Whereas in the south, southeast
21 part, it has got some pretty thick clean sections as
22 Mewbourne demonstrated.

23 By the same token, as you get to the
24 south, southeast you tend to lose your Yeso. So, you
25 know, in some areas where they are -- I mean your

1 Glorieta, I'm sorry. In some areas where they are in
2 10 and 15, you know, your Glorieta is probably less
3 prospective. Although I think they do have a well or
4 two down there that they have, you know, had wells
5 where they watered out in the Yeso and flood back to
6 the Glorieta and made decent wells in there. But
7 that's kind of an overview of the area as we see it.

8 Q All right. Now, all three of these pools
9 that Mewbourne seeks to consolidate are operating on
10 statewide rules, correct?

11 A Correct.

12 Q 40-acre oil wells?

13 A Correct.

14 Q And the depth frac allowable is 80 barrels
15 per day?

16 A Correct.

17 Q From the perspective of the division and
18 operators in the pools, do you see any administrative
19 problem in managing all of these three pools as a
20 single common pool?

21 A No.

22 Q Okay. Note in Mewbourne's application for
23 Section 3 and 20 South, 25 East, they only asked for
24 the inclusion of the southeast quarter, I believe.
25 Is Mewbourne asking for the inclusion of all of

1 Section 3 in the new pool?

2 A It is my understanding just the southeast
3 quarter where there is an existing fairly large
4 Glorieta-Yeso well. It is actually completed in the
5 Glorieta and upper part of the Yeso.

6 Q Okay. So by including all of Section 3,
7 we would be able to close that gap in the middle of
8 the consolidated pools?

9 A Yes. And that is -- for instance, as they
10 mentioned, this shows our well here. We are just
11 finishing drilling. Right now actually reaming out
12 the curve section of the well in the east half, east
13 half of 3, you know, half of which is in their
14 proposed boundary and half of which is out.

15 Q Nearburg's perspective, is there a
16 question whether there is currently sufficient
17 production data, production history, waterhole
18 pressure and the like that would allow the hearing
19 examiner to make a determination that a triple
20 increase in the allowable won't result in the
21 impairment of correlative rights?

22 A We think there is a relative lack of data,
23 and I have asked of Mewbourne, there is no data on
24 current bottom hole pressures, what our bottom hole
25 pressures are doing, whether we are at or below the

1 bubble point. Most of these wells are pretty new.
2 The Marbob wells, the oldest of the horizontals were
3 completed right I believe at the very end of '08,
4 December of '08. So on most of these, we have less
5 than two years production history. On several of
6 these, we have a matter of, you know, Mewbourne's
7 newest well 15 --

8 Q The Limousine?

9 A -- yeah, the Limousine 15, you know, is a
10 matter of a few months old. Marbob's newer well in
11 Section 2 is, you know, about two or three months old
12 production, so it is all relatively new production.
13 That's, you know, an expanding area. This is really
14 kind of a -- even our older verticals -- most of our
15 verticals are actually recomplete.

16 So up to the north, we have drilled a
17 couple of new wells, new holes, but most of these
18 were Canyon wells, which played out and we plugged
19 back. But even those are generally a couple of years
20 or less old production, so there is not a lot of long
21 historic production out here.

22 Q So you think operators in the division are
23 in a position now to make the determination that
24 there won't be reservoir damage if we increase the
25 allowable out there?

1 A We don't feel we're at that point.

2 Q Okay. And we know from Mewbourne's
3 testimony today that we have more than one well
4 capable of exceeding the allowable?

5 A Yes. I believe there is at least a couple
6 of wells.

7 Q All right. Let's look at your Exhibits 2
8 through 7. If you would discuss those with the
9 hearing examiner, what it shows.

10 A Okay. Section -- I mean, Exhibit 2 is a
11 plot of their Limousine 15 CD. This is the one they
12 got the testing allowable for. The darkest green is
13 daily oil production. The red is gas. And the kind
14 of yellow-orange is GOR. And what we are seeing is
15 as they increase production, there is an increase in
16 the GOR.

17 When they brought their production back to
18 allowable, there is a distinct drop in the GOR.
19 Their GOR, when they were producing at the higher
20 rates, runs a little over 1,000 to 1 versus coming
21 back to what Mr. Montgomery said is more normal, you
22 know, 600 to 1 under the lower rates. So that's one
23 area where we do see that the GOR may be getting
24 affected by production rates.

25 Q Okay. Now, for your Exhibit 2, the

1 Limousine 15 CD #1 and then your Grave Digger State
2 Com 1H, Exhibit 3, can you locate those on your
3 Exhibit 1?

4 A Yes. In the 15 CD, it's not really drawn
5 on here, but there is -- it actually starts, I
6 believe, where the little drilling rig is in the west
7 part of the northeast of 15, and it goes west through
8 the CD units. And then the Grave Digger #1 is in the
9 west half of the west half of Section 2, and it is
10 drawn on here, the horizontal section.

11 And, you know, there again on Exhibit 3,
12 the Grave Digger -- and I've got to assume they were
13 wearing the gas early on. I know we had to -- we're
14 drilling a well and our well is just a direct west
15 offset of that, and we're having to do some
16 right-of-way work on the gas line. So I suspect they
17 may have had to do some of the same type of work,
18 delaying on getting a gas hiccup, because all of
19 these wells generally have at least a 600 to 1 GOR
20 initially.

21 You know, some of them have higher. And
22 obviously, they wouldn't had to have some gas
23 production. When they start showing the gas
24 production, you can see -- and this is where they're
25 doing their testing allowable and running upwards of

1 close to 800 barrels a day. Their GOR is running at
2 1,000 to 1, you know, getting over in parts. Again,
3 as they cut back the production a little less than
4 that, you do start to see a moderation in the gas oil
5 ratio.

6 Q All right. Let's look at Exhibit 4.

7 A Okay.

8 Q Would you locate that well on Exhibit 1 as
9 well?

10 A Exhibit 4 is a Marbob well in Section 35.
11 It is their Noose 7H. I believe that's the well in
12 the west half of the east half, their full
13 horizontal. Yeah, I believe that is correct. And
14 there, again, you see some of the same, you know,
15 type of thing. If you look at the curve of the oil
16 production, and here I have pooling off of IHS versus
17 my other plots were done off Excel, so the color
18 codes are a little bit different, but this purple at
19 the top is the GOR.

20 You do see a tendency of that GOR to
21 reflect the variances in your oil production, which
22 is the green below, and then your red is showing your
23 gas production below.

24 Q And data for this well begins when?

25 A In February 2010.

1 Q All right. Let's look at Exhibit 5.
2 Would you locate that well for us?

3 A Yes. This is their Noose 6H. That's the
4 one that Mewbourne showed as, you know, a pretty high
5 volume horizontal. That is the west half of the
6 southwest of 35. That's the one that they got --
7 that Marbob got their testing allowable over. You
8 can see on a daily average, it hit 500. This is
9 monthly production versus daily production. I was
10 pulling off IHS. I didn't have daily on these.

11 But you can see that monthly average, they
12 peak out about 500 barrels a day. Again, as they
13 bring that well back to allowable, you see a
14 moderation in the GOR.

15 Q Let's look at Exhibit 6. Can you identify
16 that well for us?

17 A This is the Marbob Noose #4H, which is the
18 west half of the northwest of 35. This -- and I
19 believe this is the oldest horizontal in the Middle
20 Yeso. You know, like I say, some of the horizontals
21 we drilled to the north which were actually up in the
22 Glorieta predate this, but for the Middle Yeso, it
23 really kicked off this play. This is the oldest
24 well. It was completed in December of 2008.

25 And there, they did not have quite as big

1 of a well. It certainly was, you know, as
2 Mr. Montgomery pointed out, it is better than the
3 verticals. It's held up around 150 a day for several
4 months. The production has declined since then, but
5 you do see over time that we are seeing an increase
6 in GOR.

7 Q And Exhibit 7?

8 A That's the 5H, which is the east half of
9 the west -- yeah, the east half of the west half of
10 35. It is actually a 120-acre horizontal. It was
11 completed in July 2009, so getting in a little -- one
12 of the older ones. Still not that old of a well.
13 But, again, same thing. It was topped out around 180
14 barrels a day. It actually held that pretty flat for
15 a period of time, but we're seeing there, again, an
16 increase in the GOR over time.

17 Q If these wells and these pools are
18 produced at an accelerated rate, is there any risk of
19 reservoir damage?

20 A That's one of our concerns is we really --
21 to me, you know, looking at it, I certainly feel a
22 lack of data to know exactly. I do agree this is
23 primarily a solution gas reservoir. How the gas is
24 breaking out in this reservoir, at what times we're
25 seeing gas break out in the reservoir, whether we're

1 creating, with some of our higher production rates,
2 some localized pressure sinks where we may be seeing
3 increased gas breakout, we really don't have a lot of
4 information. And a lot of that is we don't have the
5 bottom hole pressures. We don't know what we're
6 draining for sure.

7 One of the things we intend to do on our
8 new well is to take a bottom hole pressure to see
9 where we are starting out. We would like to have
10 that information. Are we kind of normal for the area
11 or have we been affected by some of the offset
12 production? Particularly, with Marbob's, you know,
13 COG's well being, you know, a pretty big well,
14 330 feet off our line --

15 Q Which well is this?

16 A This is the Grave Digger #1, which is the
17 west half of west half of Section 2. So we just feel
18 that in general, we lack the data to make a really
19 good decision about this, and that we would like to
20 collect some more information on it. We would like
21 to see some other information taken on it. Collected
22 on it.

23 Q Does Nearburg have a new well that is
24 coming online soon?

25 A Yes. And that's the one I mentioned,

1 which we have just -- we're finishing the drilling
2 phase in the east half of the east half of Section 3.

3 Q And that's the offset to the Grave Digger,
4 the large well?

5 A Correct.

6 Q And do you know the footage location of
7 your well?

8 A We're 660 off the lease line.

9 Q Why did you choose to locate it at 660 off
10 the lease line?

11 A Two reasons, because within our camp, you
12 know, we kind of had the group go 330, you know, make
13 sure they are not draining us. I have concerns that
14 if we're 330 and they are 330, that we are going to
15 have interference, and we may well be draining each
16 other. My charge is to see that we make as good of a
17 well as possible. That is my primary charge.

18 So by keeping it, you know, 660, we do two
19 things. We maximize the distance from them -- well,
20 we increase the distance from their well while still
21 allowing us to fully develop our section on more
22 normal 660, 1980, 1980, 660. That keeps our wells
23 1320 apart, so we have equal spacing so we're not
24 interfering between our own wells.

25 Q Let me ask you about a focal point. Have

1 we seen gas break out anywhere?

2 A I don't think we're seeing a major
3 breakout like you see in some solution gas
4 reservoirs. I think we are seeing potentially some
5 gas breakout, and I think that's what we are seeing a
6 little bit when we see these GORs increase,
7 particularly when we see the GORs that tend to
8 reflect the production rate.

9 Q Are you concerned about drainage across
10 lease boundaries, section lines with the increased
11 allowable?

12 A I think that certainly increases the
13 potential for drainage across lease lines. I think
14 minimally to the extent if there is drainage
15 occurring across the lease lines, that is going to
16 accelerate that drainage and accelerate that effect.
17 If you have it on the lower allowable and you have
18 wells, you know, on each side of a lease line, you're
19 going to be able to drain your own acreage more
20 equally than if you're sitting there trying to make a
21 horse race out of it.

22 Q Do you believe that operators are in a
23 position to make the determination that we're simply
24 doing acceleration here and that ultimate recoveries
25 won't be produced?

1 A Not at this time. You know, there again
2 that's what I am seeing on the gas oil ratio. I
3 think we really need more data to be able to decide
4 that.

5 Q Can you tell us what type of data would be
6 helpful and how long it would take to collect that
7 data?

8 A I think a little longer production data.
9 I know in a lot of these -- particularly in tighter
10 reservoirs, as this is, you know, a tighter reservoir
11 as they describe, it takes a longer period of time
12 before you really see the effects of your gas
13 breakout and your GORs. I have looked at these in
14 other areas. Particularly looked at even like your
15 Bone Springs where it is tighter and siltier.
16 Sometimes it is two, three years down the line before
17 you really start to see your gas oil ratio increase.

18 I think some bottom hole pressure would be
19 beneficial, not just initial bottom hole pressure,
20 but seeing some bottom hole pressure measurements
21 taken down the line, you know, a year or so after a
22 well has been producing to know how fast we're
23 depleting the reservoir pressure and be able to gauge
24 that against the gas and oil production that we're
25 seeing in our GORs.

1 Q All right. What course of action are you
2 recommending that the division take here?

3 A We would recommend minimally that any
4 action be delayed until we do have more data and can
5 make a better decision on it.

6 Q How would you propose that past
7 overproduction be handled?

8 A Our proposal at this time would be that it
9 be made up within the allowable. That the allowable
10 at this time be kept in place.

11 Q Let me ask you, Mr. Speer, were Exhibits 1
12 through 7 prepared by you?

13 A Yes.

14 MR. HALL: At this point, we move the
15 admission of Exhibits 1 through 7. That concludes
16 our direct of this witness.

17 MR. BROOKS: Any objection?

18 MR. BRUCE: No objection.

19 MS. MUNDS-DRY: No objection.

20 MR. BROOKS: Exhibits 1 through 7 are
21 admitted.

22 (Exhibits 1 through 7 admitted.)

23 MR. BROOKS: Mr. Bruce?

24 EXAMINATION

25 BY MR. BRUCE:

1 Q Yeah, just a few questions. Looking at
2 your Exhibit 1, Mr. Speer, and you have -- the yellow
3 color is Nearburg operated acreage?

4 A Correct.

5 Q How long has Nearburg operated Glorieta or
6 Yeso wells in this area?

7 A I believe our earliest well in this area
8 was completed about four years ago. I don't have an
9 exact date, but that would be close.

10 Q That's fine. To date, have they all been
11 vertical wells?

12 A Yes.

13 Q Have you obtained any pressure data on
14 those wells?

15 A No, we have not.

16 Q Have you calculated drainage in those
17 vertical wells?

18 A No, we have not. I might add, you know,
19 our program has been a little different because
20 most -- with the exception of two wells, all of our
21 wells have been recompletes --

22 Q Okay.

23 A -- Canyon wells. Might have recompleted
24 a Morrow well, but most of them are older Canyon
25 wells.

1 Q Dagger Draw wells? Some of them?

2 A Pardon?

3 Q Weren't they -- is this in the area of the
4 Dagger Draw Pool?

5 A Yes, the Dagger Draw Pool, correct. And
6 they -- you know, a little different, too, because
7 they are up in the Glorieta Section and Upper Yeso
8 part as, you know, kind of where I outlined, up in
9 this blue, and it is a little bit different reservoir
10 up there.

11 But no, we have not been -- till very
12 recently, we dabbled our feet in the vertical part.
13 And there again we were in the Glorieta, Upper Yeso.
14 We did not see the new drills as economic. We did
15 see the recompletes as economic. You know, we have
16 done pretty good on the recompletions as far as the
17 cost. But we weren't looking at this as an active
18 area that we were going out and drilling and
19 developing, other than taking the recompletion
20 opportunities that we had.

21 We are now because -- you know, early what
22 we see a big play, the horizontals -- I agree with
23 Mewbourne's analysis, we see the horizontals as much
24 more economic, and I will qualify that, the
25 horizontals in the Middle Yeso. We did not do well

1 with our Glorieta horizontals. But these Middle Yeso
2 wells are much more economic, the horizontals than
3 the verticals.

4 Q And in your recompletions, I think you
5 said that it was typical to see 600, 800 GOR in the
6 initial completion --

7 A Correct.

8 Q -- or recompletion?

9 A Correct.

10 Q And what has the GORs -- what have the
11 GORs in those wells done over time over the last
12 three or four years?

13 A Most of them have shown a slight increase
14 in GORs, and there again, we kind of went through a
15 learning curve and some of this predates my tenure

16 with Nearburg. But some of our older vertical
17 recompletes were not as successful, and we went
18 through -- our more successful vertical recompletes
19 are probably no more than two years old. They are
20 probably less than two years old, most of them. So
21 we have relatively limited production history even on
22 our vertical recompletes.

23 Q So those ones you mentioned that are a
24 couple of years old, what types of current GORs do
25 they have?

1 A Most all of them are over 1,000 to 1 GOR.
2 It is slightly over. You know, they aren't huge.

3 Q But regardless, we are talking pretty well
4 GORs here. Roughly 1,000 to 1, right? We're not
5 talking 10,000 to 1 or 20,000 to 1 GORs here?

6 A Right. That's because likely the nature
7 of the reservoir, you are not building secondary gas
8 caps. You know, if you are, we certainly don't know
9 about it. We don't have the production history. But
10 where you see those very high GORs, that is where you
11 build a secondary gas cap, and you start tapping into
12 the secondary gas cap into the well's line.

13 Q And you agree this is a low permeability
14 reservoir?

15 A Yes.

16 Q Now, if drainage is limited, you talked
17 about there could be some limited gas breakup, but if
18 it is low permeability and very limited drainage
19 areas, does a little bit of gas breakup matter?

20 A It matters within the drainage area for
21 that well. I mean, you -- the area -- if you're
22 breaking out gas and prematurely producing that gas,
23 you're depriving the reservoir of energy within a
24 localized area.

25 Q But if it is in a localized area, how does

1 that affect the offsets?

2 A It will affect the offsets to the extent
3 that they are close together. Like I say, we don't
4 know exactly what the drainage radius of these wells
5 are. I would tend to guess, you know, compared to
6 Mr. Montgomery's, it may be -- it is probably not
7 over 40, but it probably is over ten or 20 when you
8 look at the porosity.

9 And I have not, you know, run calculations
10 here, but just kind of my intrinsic knowing the
11 thickness of the reservoir and the relatively low
12 porosity of the reservoir, when we're seeing on
13 vertical wells, you know, some of them 60,000,
14 70,000 barrels EURs, you know, to me that is more
15 than ten or 20 acres.

16 Q But you haven't calculated that?

17 A No.

18 Q Now, on your -- the remainder of your
19 plots, you have the GOR calculated, and generally it
20 is almost always around 1,000 to 1. If that is not a
21 problem on your more recent two-year-old vertical
22 wells, why is it a problem with these horizontal
23 wells, these more prolific wells?

24 A Well, I mean, our vertical wells that are
25 doing that are generally on the order of ten to 20

1 barrels a day currently. They are already heading
2 towards the end of their life. So, you know, there
3 again, we're not sitting there producing or asking to
4 be produced at upwards of 900 barrels a day that, you
5 know, a full length vertical would under the proposed
6 allowable.

7 Q Okay. But they are at the end of their
8 life, and they are still at not much than 1,000 GOR?

9 A They will probably hold ten to 20 barrels
10 a day fairly long-term. I mean, as Mr. Montgomery
11 mentioned, these are probably pretty long-lived
12 reserves. They will tend to flatten out.

13 Q Have you made any estimate of what type of
14 oil rates you might get from your well in the east
15 half, east half of Section 3?

16 A No -- well, I mean, for our economic
17 purposes, I have. But as far as what we
18 realistically expect, we won't have that data till we
19 frac it.

20 Q Okay. If it is over the current daily
21 allowable, will you restrict your well to the daily
22 allowable, the current daily allowable?

23 A Yes. Our tendency would be to bring that
24 within the allowable pretty quick. If it started out
25 and shot above it, we generally try to produce our

1 wells within the allowable unless we have a reason,
2 as Mewbourne did -- as Marbob did, to ask for a
3 testing allowable. Certainly, we understand they're
4 asking for a testing allowable to see what it would
5 do.

6 I don't foresee that in our case, but you
7 know, barring something like that, we generally try
8 to keep our wells within the allowable.

9 Q Do you intend to -- what type of fracture
10 treatment does Nearburg plan? Are they kind of doing
11 what Mewbourne and Marbob have been doing? Similar
12 stages?

13 A Very similar to what Mewbourne is doing.
14 We are running the packer and port system. Our
15 overall frac, I don't know their exact design, but
16 our overall frac is very similar. I think Marbob is
17 doing similar on their fracs, but they are actually
18 cementing through and perforating and fracing in
19 stages.

20 MR. BRUCE: That's all I have,
21 Mr. Examiner.

22 MR. BROOKS: Ms. Munds-Dry?

23 MS. MUNDS-DRY: No questions.

24 MR. BROOKS: Is there any potential
25 for damaging these wells that are productive --

1 capable of producing considerably more than their
2 allowable if they are choked back and produced at
3 their allowable?

4 A If they are produced, you know, there
5 again, at a full length which would be current
6 allowable 320 barrels a day -- yeah, 320 barrels a
7 day --

8 MR. BROOKS: For a one-mile?

9 A Pardon?

10 MR. BROOKS: For a one-mile
11 horizontal?

12 A Right. For a one-mile horizontal or even
13 160 barrels a day for a half-mile horizontal, I don't
14 really think there is that potential. I think it is
15 likely, going back to Exhibit 7, which is Marbob's
16 Noose 5H --

17 MR. BROOKS: Is this your Exhibit 7
18 or their Exhibit 7?

19 A My Exhibit 7.

20 MR. BROOKS: Okay. Thank you.

21 A That well, you know, to me, I am kind of
22 guessing that that flat of production, that they were
23 probably restricting that production in some manner
24 to keep it that flat for that long of a time. They
25 are producing, you know, right at 170, 180 barrels a

1 day. Their decline is actually, if anything, a
2 little more shallow than some of the other wells. So
3 I don't see that it has really harmed that well.

4 And I would have to guess that they
5 probably were restricting it to have that flat of
6 production.

7 MR. BROOKS: Okay. Mr. Jones?

8 MR. JONES: Okay. Mr. Speer, you get
9 into the reserves calculations in your company?
10 You're responsible for turning in the reserves?

11 A Correct.

12 MR. JONES: You don't let a third
13 party do it?

14 A For our official books, we have a third
15 party do it. I usually work with them. And
16 internally, for most of our wells and for our
17 purposes, I calculate reserves.

18 MR. JONES: Seems to me like you
19 could calculate a bunch of behind the pipe reserves
20 here, couldn't you? That are not being affected by
21 this -- maybe completed by this horizontal well?

22 A Yes. And when you're doing a horizontal,
23 I mean, you know, that is a little different than a
24 plugback recomplete. So I don't know that I would
25 really classify it as, quote, "behind pipe" as far as

1 your horizontal, because minimally, if you have a
2 vertical, you would have to drill out of that. But,
3 yes, there probably is some behind pipe reserves in
4 places. I know we have vertical wells in the north
5 where we can do more vertical recompletions when the
6 time comes.

7 MR. JONES: You -- on this reservoir,
8 how do you do reserves on it? Volumetrically or
9 decline curve?

10 A Decline curves.

11 MR. JONES: Do you look at the
12 decline curve as being hyperbolic in a real tight
13 reservoir like this?

14 A It is definitely hyperbolic.

15 MR. JONES: So it is natural for the
16 production to decline rapidly at the beginning?

17 A Yes. And that's what you will see, and
18 kind of as Mr. Montgomery alluded to, you know, some
19 of their vertical wells had very high initial rates.
20 Like our verticals didn't have as high as theirs.
21 You know, ours, maybe 100 barrels a day for very
22 short periods of times. I don't calculate 50- to
23 60-year reserve life, but we certainly give them a
24 pretty long reserve life. So they have very steep
25 initial declines, and they tend to flatten out.

1 MR. JONES: What bubble point do
2 you -- can you back into a bubble point through
3 standings?

4 A I have not done that work.

5 MR. JONES: So neither side here came
6 up with a bubble point on this?

7 A Correct. And kind of that's part of, you
8 know, my bad, their bad in a way, but we're just
9 really pretty new. There again, as far as looking at
10 this as something that we can go aggressively -- you
11 know, develop with new drilling, we have just come
12 into that stage, you know, within the last couple of
13 months. And with our own wells, there again, you
14 know, our wells are a little bit different reservoir.
15 You get into the Glorieta among other things, we
16 really see the Glorieta as pretty stratified.

17 Whereas if you look at the logs on their
18 cross-section, you know, down here in this Middle
19 Yeso section, you do have some very thick sections of
20 pretty clean dolomite. So I think it is a lot less
21 stratified coming down in, and I think that's what
22 makes it work.

23 MR. JONES: What kind of ultimate
24 primary percentwise would you say this is out here
25 after you guys get through and walk away from the

1 cemetery?

2 A Probably in the range of 15 percent.

3 MR. JONES: It's kind of depressing,
4 isn't it?

5 A Yeah.

6 MR. JONES: That's the problem of
7 being a reservoir engineer. When you produce these
8 horizontal wells, you probably produce them with a
9 pumping unit; is that correct?

10 A Correct.

11 MR. JONES: So your gas that shows up
12 on the surface is going to be related to your fluid
13 level in your well at any one time?

14 A Yeah. What tends to happen on these wells
15 is as you pump them, and you know, you usually have
16 to -- you flow back part of your load, and you
17 usually have to put them on some kind of pumping unit
18 and pump them back. As you get your load back, what
19 you find out initially is you actually start flowing
20 up the back side, so it's not just that you have a
21 high fluid level. You're actually semi-flowing,
22 pumping the well.

23 MR. JONES: But there is no energy
24 added to these frac jobs, correct? No nitrogen --

25 A No.

1 MR. JONES: So your flow back on the
2 back side would be gas breakout on the back side?

3 A Correct.

4 MR. JONES: When you design a pumping
5 unit or a pump, tubing, rods, everything, you have to
6 assume a certain produce -- productivity of the well
7 to do that?

8 A Correct.

9 MR. JONES: So you can't hit it
10 exactly. So you just do it, and then as these wells
11 pump off, maybe they make more gas through the back
12 side?

13 A Yeah. We have had -- and like I say, the
14 better wells, you know, like I say, until they get
15 past that flush production -- you know, the beauty of
16 these horizontals is they hold up that flush
17 production much longer. You do get a lot bigger
18 reserves. But you really, you know, during that
19 flush period, as I say, you really aren't pumping
20 them off. You're really just kind of helping them
21 along as much as anything.

22 MR. JONES: Okay.

23 A We have seen in that cases, in other high
24 productive areas, we have done some of the Wolfcamp
25 Abo horizontals, and we have actually ended up

1 choking them back on the back side of the casing,
2 putting chokes on the casing to hold our production
3 back.

4 MR. JONES: Thank you very much. I
5 am all out of questions here.

6 MR. BROOKS: Any follow-up from the
7 attorneys?

8 MR. BRUCE: Not me.

9 MR. HALL: Nothing further.

10 MR. BROOKS: Very good. You may step
11 down. Anything further you wish to say, Mr. Bruce,
12 before we conclude this matter?

13 MR. BRUCE: I would -- just give me a
14 minute here, Mr. Examiner. I would like to point out
15 a couple of things which is --

16 MR. BROOKS: Okay.

17 MR. BRUCE: -- you know, Mr. Speer is
18 right, we -- the operators always like more data, but
19 I would point out that, in essence, that's what we're
20 here for because the division -- it has been a while
21 since the division has granted initial permanent pool
22 rules. And by granting temporary pool rules, the
23 operators in this pool will be able to obtain more
24 data, and they can come back in a number of months
25 and discuss this data again.

1 I would also point out like Mr.
2 Montgomery said during the testimony, that in one of
3 our prior cases on this very full day was the Burch
4 Keely Unit, which has substantial drilling wells
5 close together in the Yeso. And I would point out
6 one further pool if we go to the -- I believe it
7 is -- I did this case years and years ago for Devon
8 in the Northeast Red Lake Glorieta Yeso Pool where
9 Marbob, now COG, Devon, and other operators were --
10 you can go check out the division's records -- were
11 essentially drilling four Glorieta-Yeso wells per 40.

12 And in one particular instance, Devon
13 had overproduced one well by about 100,000 barrels,
14 and there is testimony in the record in that case
15 that they saw virtually no adverse effect on any
16 immediate offsets. So drainage is limited in these
17 Glorieta-Yeso reservoirs. And in that Northeast Red
18 Lake Pool, there was an increase allowable granted to
19 the operator, so I don't think this is anything out
20 of the ordinary, and it will help obtain more data
21 that the division can look at. Thank you.

22 MR. BROOKS: Mr. Hall?

23 MR. HALL: I have nothing further. I
24 think we need to get people to the airport.

25 MR. BROOKS: Okay. Ms. Munds-Dry,

1 does your client take a position on that?

2 MS. MUNDS-DRY: We have no position.

3 MR. BROOKS: Okay. Very good. There
4 being nothing further, Case Number 14554 will be
5 taken under advisement.

6 (Discussion held off the record.)

7 MR. BROOKS: Let's change it from
8 this case will not -- this Case Number 14554 will not
9 be taken under advisement. It will be continued to
10 the December --

11 MR. BRUCE: 2.

12 MR. BROOKS: -- December 2; is that
13 correct?

14 MR. BRUCE: I believe that is
15 correct.

16 MR. BROOKS: Okay. First Thursday in
17 December in any event. Okay. We stand adjourned.

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 14554
heard by me on Oct 28 2010
David K. Brooks, Examiner
Oil Conservation Division


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, CONNIE JURADO, do hereby certify that I reported the foregoing case in stenographic shorthand and transcribed, or had the same transcribed under my supervision and direction, the foregoing matter and that the same is a true and correct record of the proceedings had at the time and place.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case, and that I have no interest whatsoever in the final disposition of this case in any court.

WITNESS MY HAND this 28th day of October, 2010.



Connie Jurado, CCR, RPR
New Mexico CCR No. 254
Expires: December 31, 2010