

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF AGUA SUCIA, LLC FOR A LEASE
PRESSURE MAINTENANCE PROJECT IN THE DELAWARE
FORMATION, EDDY COUNTY, NEW MEXICO CASE NO. 14564

TRANSCRIPT OF PROCEEDINGS
Examiner Hearing
October 28, 2010
1:55 p.m.
1220 South St. Francis Drive
Santa Fe, New Mexico 87504

BEFORE: DAVID BROOKS, HEARING EXAMINER
WILL JONES, TECHNICAL EXAMINER

REPORTED BY: CONNIE JURADO, RPR, NM CCR #254
Paul Baca Professional Court Reporters
500 Fourth Street NW, Suite 105
Albuquerque, New Mexico 87102

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

For the Applicant:

JAMES BRUCE
Attorney at Law
Post Office Box 1056
Santa Fe, New Mexico 87504

I N D E X

EXAMINATION OF JAMES NICKELSON	PAGE
By Mr. Bruce	3
EXHIBITS	ADMITTED
1. Application for Authorization to Inject	15
2. Ramsey Sand, North Mason Field Plat	15
3. Production Information	15
4. Affidavit of Notice	16

1 MR. BROOKS: At this time we will
2 call Case Number 14564, the Application of Agua
3 Sucia, LLC for a lease pressure maintenance project
4 in the Delaware formation, Eddy County, New Mexico.
5 Call for appearances.

6 MR. BRUCE: Mr. Examiner, Jim Bruce
7 of Santa Fe representing the applicant. I have one
8 witness.

9 MR. BROOKS: Okay. The witness,
10 state your name, please.

11 MR. NICKELSON: My name is James
12 Nickelson.

13 JAMES NICKELSON

14 After having been first duly sworn under oath,
15 was questioned and testified as follows:

16 EXAMINATION

17 BY MR. BRUCE:

18 Q Mr. Nickelson, where do you reside?

19 A I reside in Midland, Texas.

20 Q And what is your occupation?

21 A I am a consulting reservoir engineer.

22 Q What is your relationship to Agua Sucia in
23 this matter?

24 A As a consultant.

25 Q And have you previously testified before

1 the division?

2 A No, I have not.

3 Q Would you summarize your educational and
4 employment background for the examiner.

5 A Yes. I have a BS in mechanical
6 engineering from Lamar University and an MS and Ph.D.
7 in mechanical engineering from the University of
8 Texas at Austin. I have been in the oil and gas
9 industry since 1975. The first 18 years were with
10 ARCO Oil & Gas. Worked in the Plano Research
11 Facility, worked in Houston with offshore projects,
12 and in '86, I transferred to Midland, and then worked
13 with Permian Basin projects since then.

14 I left ARCO in '93. Did some work with
15 Coastal Management, a small operating company that
16 was ultimately purchased by Schlumberjay, so I worked
17 for Schlumberjay for about a year. And since then, I
18 have been doing consulting.

19 Q Have you -- did you familiarize yourself
20 with the engineering matters related to this
21 application?

22 A Yes.

23 MR. BRUCE: Mr. Examiner, I tender
24 Mr. Nickelson as an expert petroleum engineer -- or
25 reservoir engineer.

1 MR. BROOKS: He is no qualified.

2 Q (By Mr. Bruce) Mr. Nickelson, let's start
3 out with Exhibit 1. What is that?

4 A It is the C-108 application for this
5 injection project.

6 Q Okay. This was prepared -- who prepared
7 this?

8 A This was actually prepared by Ben Stone
9 with SOS, and I reviewed it and found it to be
10 factual.

11 Q Let's go through this. What is the --
12 could you leaf through a few pages and identify the
13 proposed injection well and state its location for
14 the record.

15 A Yes. The proposed injection well is the
16 R.T. Wilson Federal No. 1. It is located in Section
17 24, Township 26 South, Range 31 East. Actually, the
18 package has a map locating that well along with the
19 area of review.

20 Q And in this case, does Agua Sucia seek to
21 institute a lease pressure maintenance project on its
22 Wilson Federal lease?

23 A Yes.

24 Q And this is simply a lease project? It is
25 not a unit or anything, correct?

1 A That is correct. They own 100 percent of
2 the working interest on the southeast quarter and on
3 the southeast of the northeast quarter of Section 24.

4 Q And interest ownership is uniform
5 throughout the injection interval, correct?

6 A That's correct.

7 Q Now, could you turn to the next page and
8 describe how the well will be completed as an
9 injector and what the surface -- excuse me, what the
10 injection interval will be?

11 A The water will be injected into the
12 productive formation, which is the Ramsey Sand of
13 Bell Canyon. The well is open hole, and the
14 injection interval will be 4232 to 4250. The well
15 will be completed with a plastic coated tubing with
16 annulus packer fluid. The lease has some injection
17 equipment on it so that the existing injection
18 equipment will be used.

19 Q And will the injection well be properly
20 recompleted and comply with division requirements?

21 A Yes.

22 Q And the next couple of pages identify
23 wells in the area of review. Are there any plugged
24 and abandoned wells?

25 A Yes, there are. There are three P and A'd

1 wells within the area of review.

2 Q And is data on those wells included within
3 the C-108?

4 A Yes, it is. It is the Hanson No. 12 and
5 the Hanson No. 13 are located directly to the south
6 of the R.T. Wilson lease, and the diagrams there are
7 included as to how they were P and A'd.

8 Q And in your opinion, are the wells
9 properly P and A'd?

10 A Yes, they appear to be. We do have a
11 third well, the R.T. Wilson No. 5. That is on the
12 Wilson lease, and prior to P and A, it was being used
13 as an injector.

14 Q Okay. And what type of operations are
15 proposed? What are the injection rates and the
16 pressures?

17 A The pressures should be -- will be
18 800 pounds maximum pressure, injection rate maximum
19 about 300 barrels a day.

20 Q And the applicant will comply with the .2
21 PSI per foot of depth maximum injection pressure?

22 A It does, yes.

23 Q And what type of water will be injected?

24 A This will be produced water from the
25 lease, and so it will be compatible with the

1 formation.

2 Q And so it is solely from this lease, and
3 so there is not any water coming from other leases on
4 this project?

5 A No.

6 Q Okay. Let's move on to your Exhibit 2.
7 What does that reflect?

8 A Exhibit 2 is simply a cross-section of the
9 five wells on the lease. And this lease is part of
10 the Mason North Delaware field, which extends to the
11 south from the lease location to the state line, and
12 then also extends to the east. The field continues
13 on into Texas and is actually larger in the Texas
14 portion than in the New Mexico portion.

15 The field dips generally from the west to
16 the east. This is at about 100 feet per mile. You
17 can see that on Exhibit 2 or you can just look at the
18 subsea depths of the formation as it comes across the
19 five wells. The exhibit does show a log section for
20 the five wells. It shows the top of the Lamar and
21 top of the Ramsey Sand, which is the productive sand.

22 We have the date of initial production or
23 the initial production test and the completion on
24 each of the wells. Four of them are open hole. The
25 No. 5 was a perf'd well. The five wells had

1 cumulative production of 360 MBO and 620 million
2 cubic feet of gas. Included as Exhibit 3, a
3 production plot showing the lease. Obviously, at
4 this point in time, it is marginal producing, just a
5 little under two barrels of oil per day.

6 Q And first of, off of the -- looking at
7 Exhibit 2, before we get into the production, the
8 injection zone is continuous across the leasehold
9 owned by the applicant, correct?

10 A Yes, it is.

11 Q And in looking at the little land plat,
12 the cross-section, are there other injection wells
13 nearby?

14 A Yes, there are. To the east in Section
15 19, the No. 2 well was a well completed by Conoco as
16 a pilot test of a waterflood, and that was by hearing
17 in October of 1968. There is good injection data on
18 this well, and it has injected over five million
19 barrels, almost six million barrels of water as of
20 September of 2000 when the records indicate that they
21 quit injecting into it.

22 The other two injectors in the near -- in
23 the vicinity are to the south there in Section 25 and
24 were the Hanson No. 7 and the Hanson No. 11. These
25 wells -- Wilson No. -- I'm sorry -- the Hanson No. 11

1 was approved in '71 by Order R-4135. And I put a
2 considerable effort trying to find the injection data
3 into these two wells and the Wilson well, and they
4 are not carried in the -- I had available to me the
5 Hobbs injection reports or selected reports and could
6 not find those wells.

7 Later production in the Hanson 7 and 11
8 was picked up in the electronic media, and the 11 had
9 651,000 barrels of water injected, and the 7 had
10 63,000 barrels of water injected. I believe these to
11 be incomplete records. I believe they had more water
12 injected than that, but I was not able to find it.
13 And the reason I believe that is is because of the
14 approval of the permit in '71, and then the first
15 reported that I could find was in '94.

16 So I think the only thing to add is that
17 the Thompson well took 1,000 barrels a day in 1973
18 with less than 800 pounds injection, so apparently,
19 the formation will take water.

20 Q Well, let's then move on to your Exhibit 3
21 and discuss production. This is production, lease
22 production, correct?

23 A That's correct. This is just for the five
24 wells, and it is pretty standard. The green is the
25 oil in monthly barrels per month, blue is water, and

1 red is gas. The reason that I wanted to make an
2 exhibit out of it is it bears directly on the
3 benefits that I think we're going to get from this
4 injector.

5 Q Go ahead.

6 A If you notice that solid green line there,
7 starting in '73 at about 500 barrels a month, that --
8 and the blue line at the bottom is the well count.
9 You can see where they converted -- they went from
10 five wells to four wells, presumably converting the
11 Wilson No. 5 to injection.

12 In the time reasonable for waterflood
13 response, you can see a little bit of a response in
14 the green line, and you also can see the water
15 increasing dramatically. I am interpreting this, and
16 it is interpretation, as waterflood response to the
17 injection from that disposal well.

18 If you will go back to the plat on Exhibit
19 2, the No. 5 is the furthest northern well to the
20 west, and in fact, you can actually almost take those
21 lines that depict the cross-section and that is kind
22 of the area that would be swept by water being
23 injected into that well. You would also have a line
24 coming -- come from the No. 5 -- well, the No. 5 to
25 all four of the wells.

1 What I am envisioning they are going to do
2 by conversion of the No. 1 well is essentially a
3 repatterning. They are going to put water in, and
4 hopefully, push some oil through the sand that was
5 not affected by the previous injection. The previous
6 injection, if you look at the incremental on Exhibit
7 3, that works out to be about 50 MBO. And if you
8 take the volume produced under primary and allocate
9 it, you end up with a secondary to primary using 50
10 as your secondary of .35, which is certainly
11 reasonable. In fact, very low, which indicates to me
12 that there is some oil possibly recoverable by
13 waterflood.

14 Again, this is not a huge response, but I
15 do believe that they can get about 25 MBO on this
16 with this injector, and that's one of three benefits
17 that we're really going to be getting from the
18 injection.

19 Q And before we get to that, first of all,
20 what is the cost of instituting this injection?

21 A They are estimating it will cost about
22 \$75,000. The reason -- the conversion, the main cost
23 from that is the plastic coated tubing, and they
24 don't have to put any additional injection
25 facilities, surface facilities on. They have to

1 rework the oil facilities.

2 Q It is an inexpensive project?

3 A It is an inexpensive project, yes.

4 Q You mentioned the three benefits you
5 foresee from the injection. Go ahead.

6 A If it does, indeed, the repatterning would
7 result in a little bump on the production. There is
8 essentially, if you think in terms of screen tubes or
9 the areas being swept, they are going to sweep about
10 half of what they swept before. So I said, okay,
11 they've got 50 MBO. I'm going to give them 25 MBO.
12 They got a jump of 500 barrels per month. I am going
13 to give them 250.

14 If you run economics on that, that is \$75
15 a barrel, it looks quite good with the \$75,000. So I
16 think the investor's rate of return, around 75
17 percent, and possibly three-quarters of a million
18 dollars of value.

19 The other two benefits, one, there is a
20 distinct production optimization benefit. They are
21 having to haul the water off now. They went in, when
22 they first bought the lease, and they stimulated the
23 wells. The No. 2 is now producing -- well, after the
24 stimulation, they got a large jump in production that
25 is on Exhibit 3 there towards the far end, and then

1 that dropped off quickly, dropping back to 58 barrels
2 per day. Of that, the majority is coming from the
3 No. 2 well. They are producing about 100 barrels of
4 water per day from that well. Two of the other
5 wells, I believe, have the capacity to produce about
6 what the No. 2 is, but they can't afford to haul the
7 water.

8 They are paying \$1.35 per barrel minimum
9 to haul the water, and so they want to convert this
10 well as a second benefit so that they can put a
11 better artificial lift on the other two wells and see
12 if they can't get some more production out of those
13 wells.

14 Finally, the benefit is simply on the No.
15 2 well, with the cost of the injector at \$1,200 per
16 month, they can get the cost down, so they are
17 probably saving about 90 cents a barrel on your water
18 for the No. 2 at 100 barrels a day. That's about
19 \$2,700 a month, which will enhance this operation.

20 All three benefits should allow them to
21 increase the recovery from the reservoir. And in
22 that sense, I think it is a good project.

23 Q So there is a long-term benefit of the
24 pressure maintenance, plus there is the immediate
25 benefit of putting a couple more wells online?

1 A Exactly.

2 Q In your opinion, is the granting of this
3 application in the interests of conservation and the
4 prevention of waste?

5 A Yes.

6 Q You stated Exhibit 1 was prepared by Ben
7 Stone. Have you reviewed that document, and do you
8 agree that it was properly completed?

9 A I do.

10 Q And were Exhibits 2 and 3 prepared by you
11 or under your direction?

12 A Yes, they were.

13 MR. BRUCE: Mr. Examiner, I would
14 move the admission of Exhibits 1 through 3.

15 MR. BROOKS: Exhibits 1 through 3
16 will be admitted.

17 (Exhibits 1 through 3 admitted.)

18 MR. BRUCE: And finally,
19 Mr. Examiner, I will move the admission of Exhibit 4,
20 which is the affidavit of notice. The C-108 contains
21 information on the offset interest owners and the
22 surface owner entitled to notice, and everyone
23 received notice except Penroc Oil Corp. but notice
24 was left for them. The address for Penroc is the
25 correct address. That is the address that is in the

1 division's records.

2 MR. BROOKS: Well, I know they exist.

3 MR. BRUCE: Yeah, they exist. They
4 can be found. So I would move the admission of
5 Exhibit 4, also.

6 MR. BROOKS: Exhibit 4 will be
7 admitted.

8 (Exhibit 4 admitted.)

9 MR. BRUCE: That's all the questions
10 I have of the witness.

11 MR. BROOKS: I don't really have any
12 questions. I will, again, defer to the expertise of
13 the injection expert.

14 MR. JONES: I want to say thank you,
15 Dr. Nickelson, for coming up here and making this
16 analysis. Did you see anything similar to this
17 over -- as an effect of the injection over in that
18 offset section of 19, or were you looking at the
19 effects down in 25 or were you looking at the effects
20 in 19? I forgot what you said on that.

21 A No. The effects I looked at were on the
22 Wilson lease.

23 MR. JONES: Oh, the Wilson lease.
24 Okay.

25 A Yes. I did not do a full field review and

1 look at the effects on the other one. Also, the
2 Mason field in the Texas part of it went under
3 waterflood through Marathon. Marathon put a
4 waterflood in. I just pulled the production on that
5 one. I am sure there was some response, but it was
6 not a classical waterflood response.

7 MR. JONES: Down south in Texas there
8 is a Geraldine Ford.

9 A Geraldine Ford. Ramsey Sand or
10 waterflood, also.

11 MR. JONES: So it looks like it might
12 be feasible. I guess there is -- nobody drilled any
13 wells even deeper than this down here, it didn't seem
14 like.

15 A I did not see any on the Wilson lease, no,
16 and I did not look on the other leases.

17 MR. JONES: But the Ramsey Sand was
18 the primary target. I guess the Upper Delaware.

19 A Yes. Bell Canyon.

20 MR. JONES: That was really what we
21 were hoping you guys would show here. Thanks for
22 doing it.

23 A All right.

24 MR. BROOKS: Okay. Thank you very
25 much. If there is nothing further, then Case Number

1 14564 will be taken under advisement.

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____
heard by me on _____

_____, Examiner
Oil Conservation Division

REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, CONNIE JURADO, do hereby certify that I reported the foregoing case in stenographic shorthand and transcribed, or had the same transcribed under my supervision and direction, the foregoing matter and that the same is a true and correct record of the proceedings had at the time and place.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case, and that I have no interest whatsoever in the final disposition of this case in any court.

WITNESS MY HAND this 28th day of October, 2010.

Connie Jurado, CCR, RPR
New Mexico CCR No. 254
Expires: December 31, 2010