

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 11,040
APPLICATION OF MARALO, INC.)
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: JIM MORROW, Hearing Examiner

July 21, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, July 21, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

July 21, 1994
Examiner Hearing
CASE NO. 11,040

PAGE
3

APPEARANCES

APPLICANT'S WITNESSES:

JOHN THOMA

Direct Examination by Mr. Kellahin 5
Examination by Examiner Morrow 16

RICHARD GILL

Direct Examination by Mr. Kellahin 20
Examination by Examiner Morrow 30

REPORTER'S CERTIFICATE 35

* * *

E X H I B I T S

Identified Admitted

Exhibit 1 6 16
Exhibit 2 8 16
Exhibit 3 21 30

Exhibit 4 22 30
Exhibit 5 25 30
Exhibit 6 27 30

Exhibit 7 28 30
Exhibit 8 16, 33 33
Exhibit 9 33 33

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 10:16 a.m.:

3 EXAMINER MORROW: At this time we'll call Case
4 11,040.

5 MR. CARROLL: Application of Maralo, Inc., for
6 the creation of a new pool in the Bone Spring formation,
7 classification of this pool as an associated oil and gas
8 pool and for the promulgation of special pool rules
9 therefor, Eddy County, New Mexico.

10 EXAMINER MORROW: Call for appearances at this
11 time.

12 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
13 the Santa Fe law firm of Kellahin and Kellahin, appearing
14 on behalf of the Applicant, and I have two witnesses to be
15 sworn.

16 EXAMINER MORROW: All right, will the witnesses
17 please stand?

18 (Thereupon, the witnesses were sworn.)

19 MR. KELLAHIN: Mr. Examiner, our first witness is
20 Mr. John Thoma. Mr. Thoma is a geologist for Maralo.

21 We're here this morning to present technical data
22 to support our Application to have this Strawn -- I'm
23 sorry, this Bone Springs pool dedicated as an associated
24 oil and gas pool.

25 We are requesting that the wells in the pool be

1 spaced on 80-acre oil spacing, with any gas wells spaced
2 upon 160 acres, and correspondingly we are requesting an
3 initial temporary gas-oil ratio of 8000 to 1.

4 Mr. Thoma is a geologic expert with his company,
5 and this is his geologic prospect.

6 JOHN THOMA,

7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. KELLAHIN:

11 Q. For the record, sir, would you please state your
12 name and occupation?

13 A. My name is John Thoma, and I'm a geologist.

14 Q. Mr. Thoma, on prior occasions have you testified
15 and qualified as an expert geologist before the Division?

16 A. Yes, I have.

17 Q. Do the geologic displays that we're about to look
18 at represent your work product?

19 A. Yes.

20 Q. And based upon those displays, do you have
21 recommendations and conclusions for the Examiner concerning
22 this Application?

23 A. Yes, I do.

24 Q. Let's turn to your first display, and before we
25 discuss the details identify that for us.

1 A. Exhibit 1 is a structure map which was drawn on
2 the top of the first Bone Springs sand, which is the
3 producing reservoir at Burton Flat Prospect, which is where
4 our Keystone Number 1 well is located, and that is
5 positioned in Section 32.

6 Q. Give us a moment, let us unfold these displays.

7 A. Our leasehold is indicated by the stipple in
8 Section 32, just below the Burton Flat Prospect label.

9 The contour interval is a 50-foot contour
10 interval.

11 Q. We're requesting an initial pool boundary to
12 consist of the northeast quarter of Section 32. Do you see
13 that?

14 A. Yes.

15 Q. Within that 160 acres, is there a well in this
16 formation?

17 A. Yes, there is. The well is positioned in the
18 southwest quarter of the northeast quarter of Section 32.
19 It is the Maralo Keystone Number 1.

20 Q. Have you been successful in producing this well
21 out of the Bone Springs Pool?

22 A. Yes, we have.

23 Q. Describe for us geologically the kind of
24 reservoir that you think you're seeing.

25 A. It is a laminated sandstone reservoir which

1 develops a maximum gross thickness of approximately 300
2 feet.

3 Q. Are you familiar with the geology in the Old
4 Millman Ranch Pool, which is located some -- I guess six
5 miles to the north?

6 A. Yes, I am.

7 Q. What has the Division done with regards to
8 organizing rules for the production of Strawn hydrocarbons
9 out of the Old Millman Ranch Pool?

10 A. Current field rules -- temporary field rules at
11 Old Millman Ranch provide for associated -- Well, they are
12 the associated gas pool rules with a 5000-to-1 GOR.
13 Development of gas wells is 160-acre spacing. Oil wells is
14 80-acre spacing.

15 Q. Do you see any geologic similarity between your
16 proposed pool to the south and what has been discovered and
17 developed in the Old Millman Ranch area?

18 A. Yes, we believe our discovery to be analogous to
19 Old Millman Ranch field.

20 Q. Describe for us the reasons that support that
21 conclusion.

22 A. The primary reasons are that we are producing
23 from the same reservoir section as the first Bone Spring
24 sand.

25 Looking at the two fields in further depth, the

1 log analysis of our discovery well, the Keystone Number 1,
2 compares very closely with the log parameters from the
3 Remington Federal Number 1, which is located in the
4 southwest-southwest of Section 3 in Old Millman Ranch
5 field. Both reservoirs appear to have a gas and an oil leg
6 present in the reservoir.

7 I would call your attention to Exhibit Number 2.

8 Q. Let's look at that, and before you describe it
9 let us have a chance to unfold it.

10 A. The --

11 Q. Just a minute, John.

12 A. Okay.

13 EXAMINER MORROW: All right.

14 THE WITNESS: Exhibit Number 2 is an isoporosity
15 map of the first Bone Springs sand reservoir. The cutoff
16 we're using is a 14-percent density porosity cutoff, and
17 that's a cutoff which is an empirically based cutoff. That
18 is, wells with no porosity developed greater than 14
19 percent are at this point noncommercial or nonproductive,
20 one of the two.

21 You can see that the map fairly accurately
22 describes the producing area at Old Millman Ranch, as it
23 has presently been developed.

24 Our pool to the south is largely defined by
25 existing subsurface penetrations. This is an old Morrow

1 producing area which was developed for the Morrow in the
2 late Sixties, Seventies, and very early 1980s.

3 This reservoir was discovered -- We discovered
4 the reservoir, that is, through re-entry of the Keystone
5 Number 1 wellbore, which was originally drilled in the late
6 1970s.

7 The characteristics of the reservoir and the
8 distribution of the reservoir match very closely with those
9 that we're seeing in Old Millman Ranch, and our early
10 production rates indicate very similar fluid types and
11 bottomhole pressures, and our engineer will give further
12 testimony to that.

13 Q. (By Mr. Kellahin) When we look at the structure
14 map, is there a structural component to the reservoir
15 that's of significance to you as a geologist?

16 A. Yes, there is, from both a geological and an
17 engineering standpoint.

18 There appears to be -- Well, first you'll notice
19 that there is a southeast-plunging structural nose present
20 at both Old Millman Ranch and at Burton Flat -- Burton Flat
21 Prospect, that is. We feel that this structure is probably
22 generated by the development of the thick reservoir section
23 in the Bone Springs.

24 So those two elements are common in both field
25 areas. That is, development of reservoir-quality sand and

1 structural nosing.

2 The second element of significance is that in Old
3 Millman Ranch field there appears to be a gas-oil contact
4 or transition, as near as we can tell, at approximately the
5 2900-foot contour level.

6 Three wells in Old Millman Ranch are currently
7 classified as gas wells: two wells in the east half of
8 Section 4 and one well in the northwest quarter of Section
9 3. The balance of the wells to the south and east of those
10 three wells are classified as oil wells under the
11 associated pool rules.

12 Our well, from a GOR standpoint and from a
13 structural standpoint, appears to fall within the reservoir
14 at about the same position from a liquid standpoint as the
15 Remington Federal Number 1 Well, which is again located in
16 the southwest-southwest of Section 3. The Remington Number
17 1 well has a producing gas-oil ratio, an actual producing
18 gas-oil ratio, of approximately 10,000 to 1.

19 As you move updip from that well, you move into
20 much higher GOR wells, from 30,000 to 60,000 to 1. As you
21 move downdip from that well, the GORS decrease.

22 Based on the fluid recoveries that we're seeing
23 and the PVT data which will be presented a little bit
24 later, we feel that our well is probably right in the
25 transition zone, between the oil leg and the gas leg in the

1 reservoir.

2 There is one other well currently producing from
3 the reservoir, and I believe that well is in our pool, and
4 that well is the Yates Number 2 DS Stonewall, located in
5 the northwest of the southeast of Section 29. That well,
6 again, was a deep Morrow well, which Yates recompleted to
7 the first sand early this year, in March, I believe.

8 And that well has bounced around -- the GOR in
9 that well has bounced around a little bit. But generally
10 speaking, it has produced at no lower GOR than 20,000 to 1
11 and as high as 30,000 to 1.

12 That well, you can see from the structure map, is
13 positioned slightly updip from our well. The subsurface
14 elevation of the Yates well is 3056; the subsurface
15 elevation of the Keystone well is 3083. So we are seeing
16 increasing GOR moving updip from our well, and we feel that
17 this is confirmation of our belief that there is a gas cap
18 along with the PVT data and along with the analogy that we
19 have at Old Millman Ranch.

20 Q. Summarize for us, Mr. Thoma, your geologic
21 reasons for asking the Division to apply the associated
22 rules to what we've described as this new pool for the
23 Keystone well.

24 A. Well, we feel that -- Maralo, that is, feels that
25 the pool can be best developed, at least in its early

1 stages, under these rules, because it will allow us to
2 protect the gas leg and develop the oil leg, and not at
3 this point over-drill the field.

4 We really don't have a good understanding of what
5 the actual drainage radius of these wells is going to be.
6 I think in another year we will probably have significant
7 additional data, both on the Millman Ranch field and on the
8 Burton Flat Prospect.

9 We will probably drill a minimum of two to three
10 additional wells, provided the next well is successful in
11 our program and we confirm the reservoir as we've
12 interpreted it.

13 Q. To avoid the unnecessary drilling of unnecessary
14 oil wells, do you have a recommendation as to an initial
15 oil spacing for the pool?

16 A. Eighty acres.

17 Q. Do you see sufficient reservoir continuity within
18 the reservoir that that spacing pattern can be initially
19 established for the pool?

20 A. Yes, we do.

21 Q. We're not in a pool where we have discontinuous
22 pay zones that separate from 40-acre tracts?

23 A. I do not believe so.

24 Q. Okay. With regards to gas spacing, what is your
25 recommendation?

1 A. 160 acres.

2 Q. You gave us an analogy of the Remington well up
3 in Old Millman Ranch as being in a similar geologic and
4 structural position as your Keystone well. How is that of
5 significance to you as a geologist, when the Division
6 addresses the gas-oil ratio request?

7 A. I'm not quite sure what your question is.

8 Q. When we go back and look at the Remington well
9 and the Old Millman Ranch, it is at a point in the
10 structure of the Old Millman Ranch-Bone Springs reservoir
11 that caused you a while ago to draw certain comparisons to
12 where that well is in relation to the Keystone well within
13 its own reservoir.

14 A. Right. Well, our early intent in this -- in the
15 development program, would be to remain in the oil leg and
16 develop the oil leg first, leaving the gas leg intact for
17 development later on in the project.

18 The 80-acre spacing at this point, we feel, will
19 allow us to most prudently develop the reservoir, given the
20 information we have right now.

21 Q. Does the fact that the Keystone well is the re-
22 entry of an old well give you some limitations of data that
23 you may be able to overcome with subsequent newly drilled
24 wells in the reservoir?

25 A. Yes, sir, it has indeed created some problems for

1 us.

2 While we have been successful in establishing
3 hydrocarbons, production of hydrocarbons from this sand, we
4 did have significant problems in recompleting this well
5 because the original cement -- the primary cement job did
6 not cover the Bone Springs. The top of the primary cement
7 was at approximately 8000 feet. The Bone Springs reservoir
8 in this well developed between approximately 6300 and 6500
9 feet.

10 So we had to do several squeeze jobs, which we
11 had mixed success with. We really had to perforate and
12 squeeze on two different occasions, and our bond log that
13 we ran indicated that we probably didn't have a complete
14 squeeze, but we had as good a squeeze as we were going to
15 get.

16 We also had significant problems with the frac
17 treatment. These sands require significant frac treatments
18 to be commercially productive. The problem -- The main
19 problem we had was that the gel did not break. It took us
20 approximately a week and a half to clear the gel from the
21 wellbore and clear unbroken gel from the formation to the
22 point -- back into the formation where the gel was broken.

23 So we produced a significant portion of our frac
24 back, and consequently we feel that an offset well has a
25 chance of seeing much better production, given the

1 analogous log characteristics that we're seeing in the
2 Keystone to Old Millman Ranch.

3 Our first well is not quite as good as the
4 Remington from a production standpoint. It's similar from
5 a structural, from a fluid, from a GOR standpoint.

6 But from our other perspective, we feel that our
7 ultimate production rates from new wellbores, where we have
8 primary cement jobs and where we have better frac
9 treatments, successful frac treatments, will be more along
10 the lines of the kinds of rates that are being produced
11 from the first sand at Old Millman Ranch.

12 Q. What are your plans for further development of
13 the pool, Mr. Thoma?

14 A. We will continue to develop the reservoir on
15 hopefully 80-acre spacing, as I said, in the oil leg, which
16 will predominantly be in the east half of Section 32.

17 Q. Do you have a recommendation to the Examiner as
18 to what period of time should be established for the
19 temporary rules to give you a sufficient opportunity to
20 gather additional reservoir data and come back and make
21 these rules permanent or to modify these rules?

22 A. We would request 12 to 18 months.

23 Q. Within Section 32, is that all one single lease,
24 as best you know it to be?

25 A. No, it is comprised of two leases, the east half

1 of Section 32, and I'll call your attention --

2 Q. I believe it's marked, Mr. Thoma, as Exhibit
3 Number 8 in the exhibit package, if you'll move past the
4 engineering exhibits.

5 A. Exhibit 8 is a land plat which shows ownership.

6 We currently own all of Section 32. The east
7 half is a separate lease from the west half, but we operate
8 Section 32 presently, the entire section.

9 Q. Within the half section, then, of a single lease,
10 you'll have the flexibility of ownership to dedicate an 80-
11 acre tract or, conversely, a 160 for a gas well, and that
12 in the event these rules are changed and reduced back to 40
13 acres, we've not disrupted the equity between owners?

14 A. That's correct.

15 MR. KELLAHIN: That concludes my examination of
16 Mr. Thoma, Mr. Examiner.

17 We move the introduction of his geologic
18 displays, which are Exhibits 1 and 2.

19 EXAMINER MORROW: Exhibits 1 and 2 are admitted
20 into the record.

21 EXAMINATION

22 BY EXAMINER MORROW:

23 Q. Mr. Thoma, what pool is the Yates well in now, in
24 Section 29? I believe it's called the Number 2 DS
25 Stonewall?

1 A. I believe it's Undesignated Bone Springs.

2 Q. And it is producing?

3 A. It is producing.

4 Q. Have you and Yates talked to anybody about these
5 proposed rules?

6 A. Yes, we did early on. Their well is a marginal
7 producer. I spoke with Yates as late as seven days ago,
8 with their engineer, and their well is currently producing,
9 I think, three barrels of oil and about 150 MCF of gas.
10 And the reason that it is marginal is because it is on the
11 edge of the reservoir.

12 But they have indicated no objection to the
13 requests that we're making of the Commission for associated
14 pool rules.

15 Q. But you're not proposing that their well be
16 included in the pool boundaries; is that correct?

17 MR. KELLAHIN: Mr. Examiner, we would -- How that
18 takes place is, the initial pool boundary would be the
19 northeast quarter of the section, and then if you apply the
20 one-mile rule it will pick up that well, and by
21 nomenclature, then, it would expand the pool, and the Yates
22 well would be included and subject to the pool.

23 EXAMINER MORROW: Well, it would if he's correct
24 in his assumption that that well is in an undesignated
25 pool. If he's been producing the well, I really believe

1 it's probably been assigned to a pool.

2 MR. KELLAHIN: We couldn't find any record that
3 it had been, and perhaps we're not current but we did --

4 EXAMINER MORROW: But you did look for that?

5 MR. KELLAHIN: Yes, sir. I couldn't find any
6 indication that it had been assigned to a specific pool.

7 EXAMINER MORROW: Okay. Well, if there's a well
8 there, if Yates is here, it wouldn't have any objection to
9 that being included, it might as well be included
10 initially, it would seem to me.

11 MR. KELLAHIN: And I assume that's a discussion
12 we can have with them after the hearing. We did provide
13 them with the detailed Application, which included the
14 request that anything within a mile be subject to the rules
15 that we're proposing.

16 THE WITNESS: One other point: They are a
17 working-interest owner in the Keystone. They have a 10-
18 percent, plus or minus, working interest in the Keystone.
19 So they are very familiar with our plans and the
20 Application that we're making.

21 EXAMINER MORROW: All right. If you would do
22 that and let me know what their decision is, you know -- It
23 would seem to me that while we're describing the area
24 included in the pool, we may as well include their well --

25 MR. KELLAHIN: Be happy to do that.

1 EXAMINER MORROW: -- if they don't have any
2 problem with it.

3 Q. (By Examiner Morrow) Are the Old Millman Ranch
4 rules the same rules that you're requesting here?

5 A. In all but one respect. We're requesting an
6 8000-to-1 gas-oil ratio; they have a 5000-to-1 gas-oil
7 ratio.

8 Q. And this -- assume your proposal to the
9 associated gas rule order be applicable here in any respect
10 that's not specifically covered in your order that you seek
11 here, Order R-5353, I believe it is --

12 A. That's correct.

13 Q. -- the associated gas rule.

14 EXAMINER MORROW: Okay. Do you have anything,
15 Rand?

16 MR. CARROLL: (Shakes head)

17 Q. (By Examiner Morrow) Oh, I did want to ask you
18 -- You may have covered it but I missed it.

19 What is your well currently producing? You said
20 it was not as good as you expected later.

21 A. Right.

22 Q. I didn't pick up on how much -- how good it is
23 now.

24 A. Well, our engineer will --

25 Q. Okay.

1 A. -- give you further data on that, I think, that
2 will be very specific.

3 EXAMINER MORROW: Thank you, Mr. Thoma.

4 MR. KELLAHIN: Mr. Examiner, at this time we
5 would call Mr. Richard Gill. Mr. Gill is a petroleum
6 engineer with Maralo.

7 RICHARD GILL,

8 the witness herein, after having been first duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Gill, for the record would you please state
13 your name and occupation?

14 A. My name is Richard Gill. I'm a petroleum
15 engineer for Maralo, Incorporated.

16 Q. Mr. Gill, on prior occasions have you testified
17 before the Division as a petroleum engineer?

18 A. Yes, I have.

19 Q. And have you made an engineering study of the
20 engineering details and facts surrounding the Keystone
21 Number 1 Well?

22 A. Yes, I have.

23 Q. And based upon that study, do you now have
24 recommendations and conclusions for the Examiner with
25 regards to the classification of this pool and the type of

1 special pool rules you're desiring the Division adopt?

2 A. Yes, I do.

3 MR. KELLAHIN: We tender Mr. Gill as an expert
4 witness.

5 EXAMINER MORROW: We'll accept Mr. Gill.

6 Q. (By Mr. Kellahin) Let's talk about the
7 production history of your discovery well, Mr. Gill, if
8 you'll turn to Exhibit Number 3.

9 A. Okay.

10 Q. Identify that display for us and summarize the
11 production history on the Keystone well.

12 A. Exhibit 3 is just a production curve on the
13 Keystone Number 1 Well since initial production. It's on a
14 daily producing rate, initial production being May 20th.

15 The curve shows in purple the producing GOR, in
16 green the oil, and in red the gas.

17 It's been notated above that, in pretty small
18 letters up there, are the different size chokes that we
19 tried producing the well on to see how it's going to
20 respond to different choke sizes.

21 Currently, in answer to your question before, the
22 well is producing about 45 barrels a per day and 720 MCF
23 gas per day.

24 Q. Before we leave Exhibit 3 -- We're going to come
25 back to that, but let's identify Exhibit 4. It may be

1 helpful to plot the production history on the table as we
2 look at the graph which is Exhibit 3.

3 A. Right.

4 Q. Identify for the record what is Exhibit 4.

5 A. Exhibit 4 is just the tabulated numbers used to
6 generate Exhibit 3. They include the dates, choke sizes,
7 flowing tubing pressures, the production and GORs, as well
8 as all the cumulative production from the well.

9 Q. When we start back with 5 of 20, that's 5-20-94,
10 the first date on Exhibit 4, the production history --

11 A. Right.

12 Q. -- is May 20th your first day of production?

13 A. That was the first day of production.

14 Q. All right. Then the initial producing rate is
15 about 162 barrels of oil a day?

16 A. Right, and 576 MCF of gas.

17 Q. Okay. And you're using a 16/64 choke for that
18 setting?

19 A. That's right, that's right.

20 Q. All right. Then as you fluctuate the choke
21 settings over the initial production history of the well,
22 what has occurred?

23 A. Initially, as we fluctuated the choke sizes, we
24 didn't see too big a difference in the GORs, producing
25 GORs, until we tried to get it down to -- what would be an

1 allowable producing rate on a 40-acre spacing, a 40-acre-
2 spaced well at 2000 GOR, which would allow us to produce
3 about, I think it's 250 MCF, 240 --

4 Q. 284?

5 A. 284, okay.

6 Q. All right. Let's make sure we've got this point
7 right. If you're on 40-acre oil spacing and you've got a
8 142-barrel-oil-a-day depth bracket allowable --

9 A. Right, and a 284 --

10 Q. Pardon?

11 A. And a 284 MCF of gas.

12 Q. And that results because you're using a 2000-to-1
13 GOR?

14 A. Right.

15 Q. All right. If you use that allowable for your
16 well and try to choke it back so that the gas withdrawals
17 meet the gas allowable of 284, what happened to the well?

18 A. The well -- When we choked it back, we had to
19 choke it back to a 4/64-inch choke, which we did on June
20 the 15th, to get to that kind of a rate, and the GOR jumped
21 up significantly.

22 Q. What does that tell you?

23 A. It's not a very prudent way to produce the well.

24 Q. All right. This well does not like to produce --

25 A. Right.

1 Q. -- if the statewide rule, the 2000 to 1, is
2 applied to the pool?

3 A. Right.

4 Q. What, in your opinion as an engineer, is the
5 preferable choke setting that maximizes the recovery by
6 this well?

7 A. Right now, it appears to be responding pretty
8 well in the 16/64-inch choke. It seems to like that. It's
9 pretty well stabilized out at this point, I think, at that
10 choke size.

11 Q. Okay. And when we set it at that choke setting,
12 what type of oil rate and gas rate do you need in order to
13 give you the flexibility to produce at those rates?

14 A. On this particular well we're producing below the
15 oil allowable rate of either 80 acres or 40 acres, but for
16 the gas rate, we would have to get up to the 80-acre
17 allowable rates.

18 Q. Okay. Let's do the numbers so we have the
19 numbers. If we use 80-acre oil spacing, it's 222 barrels
20 of oil a day. Is that the right number?

21 A. That's right.

22 Q. And if we use your requested 8000-to-1 GOR, the
23 gas allowable is 1.7 million a day, thereabouts?

24 A. Right.

25 Q. Okay. And if those are the rules established,

1 then this well still has a small allowable cushion in which
2 to give you some operational flexibility to produce the
3 well?

4 A. That's correct, yes.

5 Q. Have you done any fluid analysis on the well to
6 see what kind of reservoir characteristics that you find?

7 A. Yes, we have. If you look at Exhibit 5, it is a
8 PVT study we had Core Laboratories do for us on the
9 reservoir fluid.

10 Q. Have you examined the PVT analysis?

11 A. Yes, I have.

12 Q. Are you satisfied that the samples taken from the
13 analysis were done with appropriate engineering protocol to
14 give you accurate samples?

15 A. Yes, I am.

16 Q. As a result of sampling the -- analyzing the
17 samples, the laboratory came up with certain reservoir
18 parameters for you?

19 A. Yes.

20 Q. Summarize for us what the report shows.

21 A. The main significance of the report shows that
22 the reservoir fluid behaves like a gas. It has a dew point
23 of 4847 p.s.i. Above that point the fluid is a gas; below
24 that point your oil starts dropping out.

25 Our current reservoir bottomhole pressure is

1 about 2200 pounds, which would indicate that we are below
2 dew point. And based on that, we feel certain that you
3 will have gas with an oil leg below.

4 And as Mr. Thoma mentioned earlier, these
5 parameters are just almost identical to what Chi found up
6 in the Old Millman Ranch, based on their PVT data.

7 Q. Let's complete that comparison. From a reservoir
8 engineering aspect, have you compared the reservoir
9 engineering data from Old Millman Ranch to what you now
10 have available to you in the Keystone Pool?

11 A. Yes, I have.

12 Q. With what conclusion?

13 A. The conclusion, we're looking at the same
14 reservoir fluids, as Mr. Thoma mentioned earlier, basically
15 same type of reservoir with the same reservoir parameters.

16 Q. As a reservoir engineer, what's your
17 recommendation to the Examiner concerning whether or not
18 you classify this pool as an associated pool or as an oil
19 pool or a gas pool?

20 A. I think it should be classified as an associated
21 pool, again, due to similarities with the Old Millman Ranch
22 and due to the reservoir fluid studies indicating that
23 there will be a gas cap on top of this oil leg. And our
24 current well is, again, somewhere in the transition zone
25 right now.

1 Q. Do you have a recommendation for the initial GOR
2 to establish for the pool?

3 A. Yes, I do.

4 Q. And what is that recommendation?

5 A. We recommend an 8000-to-1 GOR.

6 Q. Have you prepared any economic analysis to show
7 us what that would allow you to do?

8 A. I have prepared some economic analysis to
9 indicate that we do need a GOR exception.

10 Q. Okay. Do you have an economic analysis based
11 upon the current productivity of the Keystone well?

12 A. Yes, I do.

13 Q. Let's look at that.

14 A. Okay, Exhibit Number 6 is the economics generated
15 by drilling a new well.

16 Q. Describe for us the parameters, and then we'll
17 see the result.

18 A. Okay. A new well, assuming production similar to
19 what we're getting from the Keystone Number 1, with all of
20 our current conditions as far as net revenues and working
21 interests and our estimated cost to drill the well and what
22 we estimate the ultimate recovery to be -- The results from
23 that study show that a well producing this way would pay
24 out in about one and a quarter years and bring about a 2.8
25 return on investment.

1 Q. Your summary is found in the lower left portion
2 of the display?

3 A. Right, that's correct.

4 Q. And you get a rate of return of 94 percent?

5 A. That's right.

6 Q. Payout in years is 1.25?

7 A. Right.

8 Q. Have you run an economic analysis to show us what
9 would be the effect if we stayed on 80-acre oil spacing but
10 the Division should deny your request for 8000-to-1 GOR and
11 make you abide by the 2000-to-1 GOR?

12 A. Yes, I have. That would be Exhibit Number 7.

13 Q. Okay. What variable is changed in order to make
14 this economic analysis shown on Exhibit 7?

15 A. The only thing we did here was to decrease the
16 gas rate to 444 MCF a day, which would be the maximum
17 allowable, based on the 2000 GOR.

18 Based on the current producing GOR of about
19 16,000 to 1, our oil rate would correspondingly decrease
20 from -- what's current at 45 barrels a day, would decrease
21 down to about 28 barrels a day. All other parameters are
22 the same.

23 Q. What's the result when you have to run the
24 economics based upon a limiting GOR of 2000 to 1?

25 A. The result is that our rate of return drops to 44

1 percent, our payout increases to 2.14 years, and our return
2 on investment drops to 2.3.

3 Q. Can you drill further wells in this pool under
4 that economic standard?

5 A. Based on Maralo's parameters, we would not drill
6 a well for that.

7 Q. Do you see any opportunity as a reservoir
8 engineer to impair correlative rights if the Division
9 grants your requested special rules for this pool?

10 A. You need to --

11 Q. Yes, sir. In terms of adopting these rules, is
12 there any opportunity for the impairment of the correlative
13 rights of any owner? Is anybody adversely affected by
14 these rules?

15 A. I don't believe so, no.

16 Q. If the rules are adopted, would this give us an
17 opportunity to produce hydrocarbons that we might not
18 otherwise be able to produce?

19 A. Yes, I think so.

20 Q. We would prevent waste by doing that, would we
21 not?

22 A. Yes, sir.

23 MR. KELLAHIN: That concludes my examination of
24 Mr. Gill.

25 We move the introduction of his Exhibits 3

1 through 7.

2 EXAMINER MORROW: 3 through 7 are admitted.

3 EXAMINATION

4 BY EXAMINER MORROW:

5 Q. Mr. Gill, in the Core Lab study, I looked through
6 there a little bit, but would you point out to me where the
7 solution gas-oil ratio is reported, the original solution
8 gas-oil ratio of the fluids?

9 A. I think on page 6 of that study you have the
10 field-measured separator gas-liquid ratio of 11- --

11 Q. We're missing page 6.

12 MR. CARROLL: It's after page 7.

13 THE WITNESS: Oh, it's not in order? Yeah, I'm
14 sorry. It looks like they didn't staple it.

15 Q. (By Examiner Morrow) Go ahead, sir.

16 A. It has a field-measured gas-liquid ratio of
17 11,277 standard cubic feet per barrel, or a lab-corrected
18 of 9950 standard cubic feet per barrel.

19 Q. Is that at -- What pressure is that?

20 A. The sample of this that -- they actually took --
21 We have this high-pressure stack and a low-pressure
22 separator. They take gas off of both and recombine them,
23 but the bulk of it would be at 480 pounds.

24 Q. That's where they sample it, but I assume they
25 took it back to the reservoir conditions to get to --

1 A. Right, reservoir pressure was -- I believe, was a
2 little over 2200 pounds. I thought that number was in this
3 deal, and I didn't bring it, but I haven't found it in this
4 report.

5 We did run a bottomhole pressure in the well, and
6 the 72-hour shut-in pressure was -- I believe it was 2208,
7 if I'm not mistaken.

8 Q. Okay. Well, this is presented in a little
9 different form than I have seen them in the past. If you
10 would supply me with that information later, I would
11 appreciate it, if Tom hasn't found it already.

12 A. Okay. Mr. Kellahin found on page one, it shows
13 reservoir pressure of 2130, down at the bottom under the
14 Data Sample Collection.

15 Q. And you're saying the gas in solution with the
16 oil at that pressure is 9000 --

17 A. Right.

18 Q. -- or --

19 A. -- 10,000 or --

20 Q. -- close to 10,000?

21 A. Right.

22 Q. All right. Well, still that says -- On page 6,
23 that says, lab-corrected separator -- gas-separator/liquid
24 ratios, which would indicate to me that it would be at
25 separator pressure and might not --

1 A. Okay.

2 Q. -- indicate what it would be -- what the
3 bottomhole would be.

4 A. That's correct.

5 Q. Okay. Let me ask you about Exhibits 6 and 7.
6 The oil producing rate on 6 is your current oil producing
7 rate; is that what you --

8 A. That's right.

9 Q. You assumed -- You drilled a well --

10 A. We assumed a well --

11 Q. -- the same as what the current one --

12 A. Right.

13 Q. -- produces if this would be your payout, and
14 that would be economics enough for you to drill one?

15 A. Yes, sir, I think we could drill that.

16 Q. So you're starting off there at --

17 A. -- 45 barrels a day, 720 MCF gas.

18 Q. Okay. And you apply some sort of a decline
19 there?

20 A. Right, right.

21 Q. So actually that would -- You wouldn't be
22 producing, then, at the allowed rate?

23 A. That's right, that's right.

24 Q. Cut both of them back, both your gas and your oil
25 back?

1 A. That's right. We think -- Like Mr. Thoma
2 mentioned before, we had quite a bit of mechanical problems
3 in completing this well. We think subsequent wells will be
4 significantly better. Plus -- that you did mention. We're
5 also producing into a high-pressure line right now, so we
6 think the rates are probably artificially low.

7 We'll have to put it on compressor pretty soon.
8 Line pressure fluctuates between 500 and 600 pounds, and
9 our flowing tubing pressure, I believe, is about 650 pounds
10 right now, so this well may be significantly better, too,
11 on compression.

12 Old Millman Ranch, those wells are going to a
13 low-pressure line. So we think this well has a chance to
14 be better, and we certainly think subsequent wells will be.

15 EXAMINER MORROW: Okay, thank you.

16 Do you have anything?

17 MR. CARROLL: (Shakes head)

18 EXAMINER MORROW: Thank you, Mr. Gill.

19 MR. KELLAHIN: Mr. Examiner, Exhibit 8 is the
20 ownership map.

21 Exhibit 9 is my certificate of notice to all the
22 offsetting operators, which complies with your Rule 1207.

23 We would move the introduction of Exhibits 8 and
24 9.

25 EXAMINER MORROW: 8 and 9 are admitted.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KELLAHIN: And that concludes our presentation in this case.


EXAMINER MORROW: Thank you.

Case 11,040 will be taken under advisement.

(Thereupon, these proceedings were concluded at 11:03 a.m.)

* * *

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case 11040 heard by me on July 21, 1994

 By
Oil Conservation Division

