

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 11,070
)
APPLICATION OF SANTA FE ENERGY)
OPERATING PARTNERS, L.P.)
)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

August 18, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, August 18, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

August 18, 1994
Examiner Hearing
CASE NO. 11,070

PAGE
3

APPEARANCES

APPLICANT'S WITNESSES:

CURTIS D. SMITH

Direct Examination by Mr. Bruce 4
Examination by Examiner Catanach 11

LOUIS GOLDSTEIN

Direct Examination by Mr. Bruce 12
Examination by Examiner Catanach 19

REPORTER'S CERTIFICATE 23

* * *

E X H I B I T S

Identified Admitted

Exhibit 1 5 11
Exhibit 2 7 11
Exhibit 3 7 11

Exhibit 4 10 11
Exhibit 5 10 11

Exhibit 6A 13 19
Exhibit 6B 16 19

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

* * *

1 WHEREUPON, the following proceedings were had at
2 3:00 p.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,070, which is the Application of Santa Fe Energy
5 Operating Partners, L.P., for compulsory pooling, an
6 unorthodox gas well location, and a non-standard gas
7 proration unit, Eddy County, New Mexico.

8 Are there appearances in this case?

9 MR. BRUCE: Mr. Examiner, Jim Bruce from the
10 Hinkle law firm in Santa Fe, representing the Applicant. I
11 have two witnesses to be sworn.

12 EXAMINER CATANACH: Additional appearance?

13 Will the witnesses please stand and be sworn in?

14 (Thereupon, the witnesses were sworn.)

15 CURTIS D. SMITH,

16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BRUCE:

20 Q. Would you please state your name for the record?

21 A. My name is Curtis Smith.

22 Q. Who do you work for and in what capacity?

23 A. I work for Santa Fe Energy, and I'm a landman.

24 Q. Have you previously testified before the Division
25 as a landman?

1 A. Yes, I have.

2 Q. And were your credentials accepted as a matter of
3 record?

4 A. Yes, they were.

5 Q. And are you familiar with the land matters
6 involved in this case?

7 A. Yes, I am.

8 MR. BRUCE: Mr. Examiner, I'd tender Mr. Smith as
9 an expert landman.

10 EXAMINER CATANACH: Mr. Smith is so qualified.

11 Q. (By Mr. Bruce) Mr. Smith, briefly what does
12 Santa Fe seek in this case?

13 A. Santa Fe Energy seeks an order pooling all
14 mineral interests from the surface to the base of the Atoka
15 formation, underlying the west half of Section 19, Township
16 23 South, Range 29 East, Eddy County, New Mexico.

17 And we also seek an unorthodox location and
18 nonstandard proration unit.

19 Q. Would you please move to Exhibit 1 and identify
20 it for the Examiner and describe its contents?

21 A. Exhibit 1 is a land plat outlining the proration
22 unit for the well, the west half of Section 19. And the
23 well location is indicated by the red square on the plat,
24 and Santa Fe Energy's acreage is colored yellow.

25 Q. Is this a standard unit?

1 A. No, it's not. The unit consists of lots 1
2 through 4 in the east half of the west half of Section 19,
3 containing 313.66 acres, which is nonstandard. And like I
4 say, we request approval for a nonstandard proration unit.

5 Q. What is the exact footage location of the well?

6 A. The location of the well is 1316 feet from the
7 south line and 1320 feet from the west line of Section 19.

8 And our original location was staked at 1310 feet
9 from the south line and 1330 feet from the west line.
10 However, due to the size of lot 4 being an irregular
11 section and so forth, we had to move the location slightly
12 to stay ten feet away from the quarter-quarter section
13 line.

14 MR. BRUCE: Mr. Examiner, the location they're
15 seeking approval for is slightly different from what was
16 contained in the Application, but it's less unorthodox, so
17 I do not believe it needs to be readvertised.

18 EXAMINER CATANACH: Can you give me that amended
19 location again, Mr. Smith?

20 THE WITNESS: The location we're seeking approval
21 for is 1316 feet from the south line and 1320 feet from the
22 west line of Section 19.

23 And the original location was 1310 feet from the
24 south line and 1330 feet from the west line, and that's
25 what was advertised.

1 Q. (By Mr. Bruce) And Santa Fe's geologist will
2 further describe the reason for the unorthodox location?

3 A. Yes, he will.

4 Q. Who do you seek to pool?

5 A. As you can see on the land plat, Santa Fe Energy
6 owns the northwest quarter of Section 19, and Texaco, owns
7 the southwest quarter of Section 19, and we seek to pool
8 Texaco.

9 Q. Please describe your efforts to get Texaco to
10 join in this well. And I refer you to Exhibit 2.

11 A. Okay, Exhibit 2 is my letter dated June 20th,
12 1994. This letter proposed the Harroun Trust 19 Number 1
13 well.

14 And in the alternative of Texaco participating in
15 the well, we gave Texaco the opportunity to farm out to us,
16 delivering 80-percent net revenue interest with a quarter
17 back in after payout.

18 Q. The original letter included with it an AFE; is
19 that correct?

20 A. Yes, and that's Exhibit 3. That's --

21 Q. Okay, but --

22 A. Okay.

23 Q. -- after this letter, what contacts did you have
24 with Texaco?

25 A. Well, I called Texaco on about June 27th to make

1 sure they received the AFE and so forth. And since then
2 I've talked to them six or seven times, probably five of
3 those times in the last three weeks.

4 Q. Did you send Texaco anything else, other than the
5 proposal letter?

6 A. Yes, I sent them an operating agreement, along
7 with this June 20th letter and AFE.

8 Also, Texaco and Santa Fe Energy's land position
9 is fairly large in this area. It covers, oh, four sections
10 or so. I sent them an operating agreement covering the
11 four-section area, to try to form an AMI in the area with
12 Texaco, and I sent that the week of August 12th.

13 Q. And you have not yet heard from them one way or
14 the other?

15 A. Right. I do not have a signed AFE nor a signed
16 operating agreement from Texaco as of this date.

17 Q. In your opinion, has your effort to obtain
18 Texaco's joinder in this well been in good faith?

19 A. Yes, sir.

20 Q. What is the proposed cost of this well?

21 A. \$1.22 million to test the Atoka formation at a
22 depth of 12,200 feet. That's completed well cost.

23 Q. Okay. Does Santa Fe ask that it be designated as
24 operator of this well?

25 A. Yes.

1 Q. Now, the cost you just mentioned, the over \$1.2
2 million, is that in line with the costs for wells of
3 similar depths --

4 A. Yes.

5 Q. -- encountered in this area of Eddy County?

6 A. Yes, it is. And like I said, it's a 12,200-foot
7 Atoka test, and the dryhole and completed well cost are
8 outlined in Exhibit 3.

9 Q. Do you have a recommendation as to the charges
10 Santa Fe Energy should be paid for overhead?

11 A. Yes, we're requesting \$6000 per month drilling
12 overhead rate and \$600 per month for a producing well rate.

13 Q. Are these amounts in line with amounts normally
14 charged in operating agreements in this area of Eddy
15 County --

16 A. Yes, they are.

17 Q. -- for wells of this depth?

18 A. Yes, for this depth.

19 Q. What penalty do you recommend against the
20 nonconsenting interest owner?

21 A. Cost plus 200 percent. This figure is the
22 predominant nonconsent penalty and operating agreements we
23 use in southeast New Mexico.

24 Q. And will your geologist also discuss the risk
25 factors?

1 A. Yes, he will.

2 Q. Was Texaco notified of this hearing?

3 A. Yes, they were.

4 Q. As to the unorthodox-location aspect of this
5 case, who are the offset operators?

6 A. Exhibit 4, I have the offset operators listed.
7 East half of Section 24, Santa Fe Energy. North half of
8 Section 25 is Amoco. North half of Section 30 is Texaco
9 and Santa Fe.

10 Q. And were these operators also notified, other
11 than Santa Fe, of course, of this hearing?

12 A. Yes.

13 Q. Is Exhibit 5 your affidavit of notice?

14 A. Yes, it is.

15 Q. And does it contain copies of the notice letters
16 and certified return receipts?

17 A. Yes, it does.

18 Q. Were Exhibits 1 through 5 prepared by you or
19 under your direction?

20 A. Yes, they were.

21 Q. And in your opinion, will the granting of this
22 Application be in the interests of conservation, the
23 prevention of waste and the protection of correlative
24 rights?

25 A. Yes.

1 MR. BRUCE: Mr. Examiner, at this time I move the
2 admission of Santa Fe's Exhibits 1 through 5.

3 EXAMINER CATANACH: Exhibits 1 through 5 will be
4 admitted as evidence.

5 MR. BRUCE: I have nothing further of the witness
6 at this time.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Smith, in your letter of June 20th to Texaco,
10 in a farmout agreement that you would be willing to accept,
11 covered more area and more land than you needed for that
12 well. What's the reason for that?

13 A. Again, whenever I discussed this with Mr. Sleeper
14 at Texaco, I made it very clear to him that we would accept
15 a farmout in Section 19, in the proration unit only. And
16 that's when he and I discussed the possibility of forming
17 an AMI covering several sections, and I did send him an
18 operating agreement covering several sections.

19 And like I said, to this date I have not -- I do
20 not have an indication from them that they will either
21 participate in this initial well --

22 The original operating agreement I sent to him
23 covered all of Section 19 and had an August 1st spud date
24 in that provision for the initial well. And Texaco has
25 told me that they cannot commit to a date that they would

1 give us a decision because they're going through a
2 reorganization. And we're anxious to spud our well, and
3 that's why we're here today.

4 Q. Texaco did have the option of just farming out
5 the southeast --

6 A. Yes.

7 Q. -- southwest quarter of Section 19?

8 A. Yes, and that was in verbal -- you know,
9 telephone conversation, not in my letter.

10 Q. Okay. Has Santa Fe drilled Atoka gas wells in
11 this area recently?

12 A. Yes, we've drilled one -- Our geologist can
13 testify to that, but I think I'm correct in saying that we
14 drilled one in the south half of Section 30.

15 EXAMINER CATANACH: I have nothing further of the
16 witness.

17 THE WITNESS: Okay, thank you.

18 MR. BRUCE: Call Mr. Goldstein to the stand.

19 LOUIS GOLDSTEIN,

20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name for the record?

25 A. Yes, my name is Louis Goldstein.

1 Q. Who do you work for and in what capacity?

2 A. I work for Santa Fe Energy as a geologist in
3 Midland, Texas.

4 Q. Have you previously testified before the Division
5 as a geologist?

6 A. Yes, I have.

7 Q. And were your credentials as an expert geologist
8 accepted as a matter of record?

9 A. Yes, they were.

10 Q. And are you familiar with the geology in the area
11 of this prospect?

12 A. Yes, I am.

13 MR. BRUCE: Mr. Examiner, I tender Mr. Goldstein
14 as an expert geologist.

15 EXAMINER CATANACH: Mr. Goldstein is so
16 qualified.

17 Q. (By Mr. Bruce) Mr. Goldstein, would you refer to
18 Santa Fe's Exhibit 6A and discuss its contents for the
19 Examiner and discuss the reason for the formation of the
20 west-half spacing unit?

21 A. Okay. Exhibit 6A was prepared by myself. It is
22 a net isopach of the Atoka "AD" sandstone, density porosity
23 greater than or equal to 10 percent. It represents one of
24 the potential pays within the Atoka formation.

25 As I'm sure the Examiner is familiar, there's

1 what Santa Fe calls the Atoka "AA", "AB", "AC", "AD", "AE",
2 as well as the Atoka bank limestone. That represents six
3 potential pays that are all within the Atoka, all within
4 this particular area.

5 With respect to our Harroun 1-19 well, this is
6 the main target that we hope to encounter in our proposed
7 well. It is also the best producing Atoka zone within the
8 surrounding area.

9 As you can see on the channel system -- And this
10 is a fluvial channel sand. As you can see on the channel
11 system just to the west of our location, the Delta Culebra
12 Bluff unit in Section 23 has produced 15 BCF to date.

13 Just south of that in the same sandbar, the
14 Pardue well, the Maddox Pardue, has produced 6.5 BCF. This
15 is through the end of 1993. And further south of that you
16 see a 4.5-BCF well and a 1.5-BCF well.

17 So production can be extremely good from this
18 sand when you find it.

19 Q. And these figures you gave are solely for the
20 "AD" sand?

21 A. These are solely "AD" sand production numbers.

22 That makes us excited about trying to drill a
23 well for this horizon.

24 However, fluvial channel bar systems are also
25 inherently very risky, and as such, there's an awful lot

1 more tests that are drilled than actually happen to find
2 the thing. And that means that the project has
3 considerable geologic risk. And as such, we're proposing
4 to drill a location which hopefully will sit in the center
5 of the sandbar that we hope to encounter.

6 And as you see, the channel system that I
7 hypothesize to the east sort of mirrors what I've seen
8 going on in the channel just west of it, sort of an
9 analogous trend, if you will.

10 And we think, therefore, by staying within that
11 10-foot contour we hopefully maximize our chance of
12 encountering that zone in productive quantities.

13 Q. As to the unorthodox location, that's primarily
14 based on secondary zones, isn't it?

15 A. That's correct. In order to attempt to reduce
16 geological risk -- and even though this zone has the same
17 -- has more upside potential than any of the other zones,
18 it's also the riskiest -- we've moved the location further
19 south in order to help us reduce our risk in our bailout
20 horizons.

21 Q. However, even for this zone you'd like to remain
22 as close as you could to the center of this little -- this
23 pod right here?

24 A. That's correct, that's where I believe we'll
25 encounter the thickest sand.

1 Q. Okay. Why don't you move on to Exhibit 6B and
2 discuss the secondary zone?

3 A. Okay. Exhibit 6B, also prepared by myself, is a
4 gross clean Atoka bank limestone isopach.

5 The reason I have not prepared a net isopach is
6 because net porosities within the Atoka bank limestone
7 typically rarely exceed two percent, and therefore it is
8 extremely difficult to prepare an isopach, and it is very
9 questionable as to its validity for the net zone.

10 But this Atoka bank, we believe these are our
11 highest possibility of a secondary zone. This, we believe,
12 is our lowest-risk bailout that we should encounter at that
13 location.

14 Q. Is production as good in this zone as it is from
15 the "AD" zone?

16 A. Production isn't as good, and it's more widely
17 scattered. There are numbers of wells that have
18 encountered the zone in various thicknesses that do not
19 have the permeability to produce.

20 However, there are some generalizations we can
21 say about permeability in the Atoka bank, and that is,
22 generally speaking, within this area the thicker interval
23 you encounter, generally those contain better
24 permeabilities.

25 For instance, if the Examiner will look at

1 Sections 17 and 20, the Amoco Teledyne well in Section 17
2 has produced 5.42 BCF through the end of 1993 and had 21
3 feet of total interval.

4 Just south of it, the Amoco Teledyne 1-20 has
5 produced 1 BCF out of 18 feet of total interval.

6 And we believe there's just much better
7 permeability associated to the north with a little bit
8 thicker limestone, if you will.

9 And the attempt is, on our unorthodox location,
10 to move a little bit further south, try to reduce our risk
11 of having impermeable Atoka bank and hopefully move further
12 south into a little thicker limestone development, while
13 staying in the center of the proration unit on a north-
14 south basis, in order to remain in the middle of the Atoka
15 "AD" sandbar.

16 Q. Now, the direction you're moving, primarily to
17 the south of Section 30, as Mr. Smith testified, that is,
18 again, Texaco and Santa Fe Energy acreage; is that correct?

19 A. That's correct.

20 Q. Are there any other potentially productive zones?

21 A. Another -- I guess I would say my third most
22 prospective zone would be the Atoka "AC" sandstone.

23 While the unit isn't highly underlain with that
24 particular sand, geologically your chance of encountering
25 sand does also thicken as you move further south.

1 I would anticipate at the proposed location,
2 perhaps four or five feet of greater than ten-percent
3 density porosity might be encountered in that "AC" zone as
4 well, where it would be more on the order of one or two
5 feet at the orthodox location if I was to move due north
6 from that well spot.

7 Q. What about moving to the west? Would you also
8 lose the "AC" sand in that direction?

9 A. That's correct.

10 Q. Looking back at your Exhibit 6A, the reason for
11 the standup unit, you basically show that there's no "AD"
12 zone in the east half of the section; is that correct?

13 A. That is my interpretation. You must realize that
14 considerably further north of this exhibit and considerably
15 further south, these trends parallel each other for a great
16 distance, and I have no reason to think that that's going
17 to vary through what's happening in Section 19.

18 And therefore the thick part of the sand or the
19 presence of the sand should be oriented north-south,
20 primarily within the west half of Section 19.

21 Q. What penalty do you recommend against Texaco if
22 it gets -- if it goes nonconsent?

23 A. I would recommend a penalty of cost plus 200
24 percent.

25 The reason for that recommendation is, we're

1 dealing with a risky well, an expensive well, one in which
2 Santa Fe takes considerable risk in drilling, and would
3 like to hopefully, if we are successful, maximize our
4 discovery, our economics.

5 Q. And in a deep well like this, there's always the
6 chance of mechanical problems, isn't there?

7 A. Always as you go deeper.

8 Q. Were exhibits 6A and 6B prepared by you?

9 A. Yes, they were.

10 Q. And in your opinion, is the granting of this
11 Application in the interests of conservation, the
12 prevention of waste and the protection of correlative
13 rights?

14 A. Yes, it is.

15 MR. BRUCE: Mr. Examiner, I move the admission of
16 Santa Fe's Exhibits 6A and 6B.

17 EXAMINER CATANACH: Exhibit 6A and 6B will be
18 admitted into evidence.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Goldstein, how did you map the channel limits
22 of that sand?

23 A. Channel limits -- As you can see, this particular
24 map here represents a porosity map only.

25 What we do find in a number of wells is, before

1 it develops density porosity greater than or equal to ten
2 percent, you do again to get a little bit of gross interval
3 developed.

4 So for instance, if we look at Section 31,
5 there's two wells in that section. The Harroun Trust in
6 Section 31 had a little bit of silty gross interval
7 present, but of course no density porosity greater than or
8 equal to 10 percent, as opposed to, say, the Texaco Malaga
9 Harroun in the northeast quarter of Section 31, where there
10 was no remnant whatsoever.

11 So using little -- minor sand indications, I was
12 able to define an interval where I believe that the actual
13 stream traveled through, and that would be what that
14 channel limits would represent, where the actual water came
15 through with some minor amounts of sand deposition
16 occurred.

17 And then within that, of course, there will be
18 thick spots or sweet spots where sandbars accumulated, and
19 that's what I've attempted to depict in the west half of
20 Section 19.

21 Q. Within the actual "AD" sandbody that you've
22 mapped, did you have any well control at all to map that?

23 A. No, that's why I modeled my picture of what was
24 going on in the eastern system by what I saw happening in
25 the western system, because there is this striking

1 parallelism between the two trends, and I did that in order
2 to try to reduce my geologic risk as much as possible.

3 It's essentially -- There's no production within
4 a mile and a half to two miles surrounding that location,
5 so it's essentially an extremely wild test for that target,
6 and it's only the large reserve potential of that target
7 that makes you want to take that risk and drill for that
8 horizon.

9 Q. I assume -- Did you have much more information to
10 map the Atoka bank?

11 A. The Atoka bank, since it's a more widespread
12 horizon, I've shown a little -- I think one extra row of
13 sections, just to show the additional well control helping
14 to orient my trends.

15 The basic penetration numbers are the same
16 between the two horizons. There's no -- The bank actually
17 sits below the "AD".

18 Q. In a rank wildcat situation like this, do you
19 believe that the difference between a standard location and
20 your proposed location makes a whole lot of difference?

21 A. I believe that the amount of well control -- Let
22 me explain it this way: The "AD" interval is very narrow
23 in terms of it's just three or four miles wide, but a very
24 long system. The Atoka bank, as well as the "AC", are much
25 broader, more widespread horizons.

1 And therefore, there's more well control in a
2 larger area that can help you predict where those
3 particular intervals might be present.

4 And using that, I feel that you can more
5 comfortably predict where you might have bank developed or
6 "AC" developed than you can "AD".

7 So I would feel that while the unorthodox
8 location doesn't make a lot of difference to the AD, I do
9 believe regionally it does make a lot of difference in
10 reducing risk for the bailouts, which help improve your
11 economics and help justify drilling the well.

12 EXAMINER CATANACH: I see. I have nothing
13 further of the witness.

14 MR. BRUCE: I have nothing further in this case,
15 Mr. Examiner.

16 EXAMINER CATANACH: There being nothing further,
17 Case 11,070 will be taken under advisement.

18 (Thereupon, these proceedings were concluded at
19 3:26 p.m.)

20 * * *

21 I do hereby certify that the foregoing is
22 a complete record of the proceedings in
23 the examiner hearing of Case No. 11070,
24 heard by me on August 18 1998.

25 David R. Catanach, Examiner
 Oil Conservation Division

