

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: ) CASE NO. 11,141  
)  
APPLICATION OF MARATHON OIL )  
COMPANY )  
\_\_\_\_\_ )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

November 10th, 1994

Santa Fe, New Mexico

Handwritten initials and a stamp, possibly "11/10/94" and "C. BRENNER".

This matter came on for hearing before the Oil Conservation Division on Thursday, November 10th, 1994, at Morgan Hall, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

## I N D E X

November 10th, 1994  
 Examiner Hearing  
 CASE NO. 11,141

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>VALEN D. OTT</u>	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Catanach	19
<u>CRAIG KENT</u>	
Direct Examination by Mr. Kellahin	20
Examination by Examiner Catanach	31
<u>STEVEN POHLER</u>	
Direct Examination by Mr. Kellahin	32
Examination by Examiner Catanach	38
REPORTER'S CERTIFICATE	41

\* \* \*

## E X H I B I T S

	Identified	Admitted
Exhibit 1	7	19
Exhibit 2	10	19
Exhibit 3	13	19
Exhibit 4	14	19
Exhibit 5	22	31
Exhibit 6	23	31
Exhibit 7	24	31
Exhibit 8	25	31
Exhibit 9	28	31

(Continued...)

## E X H I B I T S (Continued)

	Identified	Admitted
Exhibit 10	29	31
Exhibit 11	29	31
Exhibit 12	30	31
Exhibit 13	33	38
Exhibit 14	34	38
Exhibit 15	34	38
Exhibit 16	35	38
Exhibit 17	37	38
Exhibit 18	37	38
Exhibit 19	38	38
Exhibit 20	39	39

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
 Attorney at Law  
 Legal Counsel to the Division  
 State Land Office Building  
 Santa Fe, New Mexico 87504

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
 117 N. Guadalupe  
 P.O. Box 2265  
 Santa Fe, New Mexico 87504-2265  
 By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2           9:15 a.m.:

3           EXAMINER CATANACH: At this time we'll call Case  
4           11,141.

5           MR. CARROLL: Application of Marathon Oil Company  
6           for two additional high-angle/horizontal wells and to amend  
7           Division Order No. R-10,082, Lea County, New Mexico.

8           EXAMINER CATANACH: Are there appearances in this  
9           case?

10          MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
11          the Santa Fe law firm of Kellahin and Kellahin, appearing  
12          on behalf of the Applicant, and I have three witnesses to  
13          be sworn.

14          EXAMINER CATANACH: Any additional appearances?  
15          Will the witnesses please stand to be sworn in?  
16          (Thereupon, the witnesses were sworn.)

17          MR. KELLAHIN: Mr. Examiner, I have provided you  
18          with a copy of the prior order issued by the Division.  
19          You, in fact, were the examiner in that case. It was  
20          presented back in March of 1994. It's Case Number 10,922.  
21          It's Order Number R-10,082.

22          The purposes of Marathon being back are to seek  
23          modification in that prior order.

24          The previous order had approved a project area  
25          for the horizontal well, and the initial well was to be

1 what we will tell you was the Denton Well Number 5.

2 Since then, the productivity of the Number 4 well  
3 has substantially reduced, and the Number 4 well has always  
4 been the better well to use to recomplete as the horizontal  
5 well.

6 We didn't choose it the first time because its  
7 producing rate was high enough to justify its continuing  
8 production.

9 So we're seeking to change from the Number 5 to  
10 the Number 4.

11 In addition, we're seeking approval of a second  
12 well, which we will show you is the Number 6 well. The  
13 testimony will be that it is fault-separated so that each  
14 of the two horizontal wells are accessing different  
15 portions of the same reservoir that are not in  
16 communication.

17 Those are most of the changes.

18 The last change is, because the Number 4 well is  
19 going to go horizontally into a 40-acre spacing unit for  
20 which there is still a vertical well producing, we need to  
21 combine the spacing units so that we have an allowable for  
22 the horizontal well that is the depth bracket on 40, times  
23 the two spacing units it's accessing, and to share that  
24 allowable with the vertical well, and that's what we're  
25 asking you to do.

1           The first witness this morning is Marathon's  
2 geologic witness, Mr. Val Ott. O-t-t is how he spells his  
3 name.

4                           VALEN D. OTT,

5 the witness herein, after having been first duly sworn upon  
6 his oath, was examined and testified as follows:

7                           DIRECT EXAMINATION

8 BY MR. KELLAHIN:

9           Q.    Mr. Ott, for the record would you please state  
10 your name and occupation?

11           A.    My name is Valen D. Ott. I'm a senior geologist  
12 with Marathon Oil in Midland, Texas.

13           Q.    Have you testified before the Division before as  
14 a geologist?

15           A.    No, I have not.

16           Q.    Summarize your education.

17           A.    I obtained a bachelor's and master's degree in  
18 geology from Brigham Young University in 1979.

19           Q.    Summarize for us your employment experience as a  
20 geologist.

21           A.    Subsequent to graduation I accepted a position  
22 with Marathon Oil in Casper, Wyoming. My duties there were  
23 exploration/development geology in various basins in the  
24 Rocky Mountains.

25                        I was there about five years, and then accepted a

1 transfer to Marathon's research center in Littleton,  
2 Colorado. My duties there involved exploration and  
3 development geology projects around the world for Marathon.

4 I was there about three years and then accepted a  
5 position in Houston, Texas, also with Marathon Oil. While  
6 there, my duties included exploration and development  
7 projects in the Gulf of Mexico, Cook Inlet of Alaska, and  
8 eastern Canada.

9 Subsequent to that, I accepted a transfer to  
10 Marathon's mid-continent region in Midland, Texas, and have  
11 been working on the Denton-Devonian Pool since that time.

12 Q. Have you made a sufficient geologic study of the  
13 Denton-Devonian Pool to reach geologic conclusions that  
14 apply to this particular Application?

15 A. Yes, I have.

16 MR. KELLAHIN: We tender Mr. Ott as an expert  
17 geologist.

18 EXAMINER CATANACH: Mr. Ott is so qualified.

19 Q. (By Mr. Kellahin) Let me have you turn to the  
20 montage, Exhibit 1, that has the two different displays on  
21 it. If you'll identify the display for us, let me ask you  
22 some questions.

23 All right, sir, when we look at the left side of  
24 the display, what are we seeing?

25 A. The left side of the display is a diagram of the

1 Denton-Devonian Pool. The green-shaded area is an outline  
2 of the oil-productive interval for the Denton-Devonian.

3 Q. When we look at the right side of the display,  
4 what are we seeing?

5 A. We're seeing an enlarged area of the south half  
6 of that Denton-Devonian Pool.

7 Q. Within Section 11, what's the significance of the  
8 area shaded in yellow?

9 A. The area shaded in yellow in Section 11 is the  
10 lease operated by Marathon Oil.

11 Q. And that is the project area for the horizontal  
12 high-angle/directional drilling pilot project that the  
13 Division has previously approved?

14 A. That is correct.

15 Q. All right. As part of that approval, refresh the  
16 Examiner's memory as to what the concept was at the time we  
17 presented this case last to him on March 3rd of 1994.

18 A. At that time Marathon was seeking approval to  
19 drill a horizontal well from the Denton Number 5, which  
20 you'll note on the display in Section 11 in the yellow-  
21 shaded area. There's a wellbore there labeled Number 5.  
22 That would be the well that Marathon was seeking to drill  
23 the directional well from.

24 Q. What was the concept?

25 A. The concept was to drill down -- or kick off,

1 excuse me, kick off with a horizontal wellbore from the top  
2 of the Devonian and drill horizontally away from the Number  
3 5 wellbore, which has severe water-coning, and encounter  
4 Devonian reservoir that did not have the severe water-  
5 coning problem that the Number 5 has.

6 Q. What was the planned direction for the horizontal  
7 portion of the wellbore?

8 A. At that time, I believe it was directed to the  
9 northeast.

10 Q. Why was that the purpose?

11 A. There were two objectives there. One was to  
12 encounter fractures within the horizontal segment of the  
13 proposed horizontal wellbore. The second objective was to  
14 stay within the 330-foot standoff around Marathon's  
15 operated leasehold.

16 Q. As part of the geologic study, did you also  
17 examine the transcript and exhibits from the prior case?

18 A. Yes, I did.

19 Q. Are any of your conclusions, geologic  
20 conclusions, different than the geologic conclusions we've  
21 already represented to the Division?

22 A. No, they are not.

23 Q. Let's go to Exhibit 2 for a moment and have you  
24 describe for us the geologic reasons that have caused you  
25 to recommend the horizontal well.

1           When -- Look at Exhibit 2 and show us what was  
2 trying to be achieved by using the Number 5 well.

3           A.    On Exhibit Number 2, there is a dashed line that  
4 shows the outline of the Marathon-operated leasehold.  
5 Again, the Number 5 well is labeled within that leasehold.

6           At that time -- Excuse me, Mr. Kellahin, would  
7 you repeat the question? Are you referring to wellbore  
8 Number 5 or --

9           Q.    Yes, sir, I want to start where we were in  
10 March --

11          A.    Okay.

12          Q.    -- have you describe what you were trying to  
13 achieve with the Number 5 well as depicted on this  
14 structure map.

15          A.    Okay, I understand now.

16                At the time we were proposing to drill the  
17 horizontal well from the Number 5, we were proposing that  
18 in a northeasterly direction, which would have been  
19 upstructure, as you can see from the structure map, in a  
20 northeasterly direction that would have encountered,  
21 hopefully, open fractures within the Denton-Devonian and  
22 also would have stayed within that 330-foot standoff for  
23 the leaseholds.

24          Q.    What do you propose to do by substituting the  
25 Number 4 well for the Number 5?

1           A.    By substituting the Number 4 wellbore, we hope to  
2 get higher on the Denton-Devonian structure.

3           As you can see from the structure map, the  
4 highest point on that structure is immediately east of the  
5 Number 4 wellbore.

6           The proposed horizontal well from the Number 4  
7 wellbore would be in an east southeast direction. It would  
8 be going upstructure and hopefully encountering the highest  
9 part of the Denton-Devonian structure. It would be  
10 approximately 168 feet higher on structure at the beginning  
11 of that horizontal leg than the previous approved  
12 horizontal well from the Number 5 wellbore.

13          Q.    In terms of reservoir position, has the Number 4  
14 well always been a better candidate for the horizontal  
15 technology than the Number 5 well?

16          A.    Yes, it has.

17          Q.    Why wasn't the Number 4 well originally selected,  
18 then?

19          A.    At that time the Number 4 well was still  
20 producing at economically attractive rates. Since that  
21 time, the amount of oil that the Number 4 is producing has  
22 dropped off to about eight barrels of oil a day, which is  
23 subeconomic, and the well is currently shut in at this  
24 time.

25          Q.    Let's go to the next topic. Part of our request

1 today is to also obtain approval to use the Number 6 well  
2 as a horizontal well.

3 Take this display and find the Number 6 well for  
4 us.

5 A. Okay, the Number 6 wellbore is in the eastern  
6 portion of the Marathon-operated leasehold. It would be in  
7 the southeast quarter of Section 11.

8 As you can see from the structure map, it's in a  
9 separate fault block from the Number 4 well.

10 Q. What's your plan for the Number 6 well?

11 A. The Number 6 well would be drilled in a  
12 northeasterly direction. The angle there would be north 20  
13 degrees east, towards the Number 7 wellbore, and it would  
14 maintain approximately the same structural level as it  
15 currently stands, going slightly downdip, but stay within  
16 the same fault block that the current vertical wellbore is  
17 within.

18 Q. Why -- What are you trying to achieve by taking  
19 the Number 6 well and using it for a horizontal well  
20 drilled in that direction?

21 A. We would drill the Number 6 horizontal wellbore  
22 only in the event that we were successful in the Number 4.

23 If we can achieve additional production from the  
24 Number 4 horizontal and it is successful, then we would  
25 like approval to move to the Number 6 and drill the same

1 type of a horizontal well using the same technology to  
2 hopefully improve the oil rates from the Number 6.

3 Q. What's the reason for proposing to utilize  
4 horizontal technology in this portion of the pool, as  
5 opposed to additional vertical wells in this area?

6 A. The problem with the vertical wellbores in the  
7 Denton field is that the Denton-Devonian is a tight  
8 carbonate that's highly fractured, and because of that  
9 fractured nature, in a vertical wellbore there's severe  
10 water-coning around that wellbore.

11 And because of that severe water-coning, the  
12 water production increases considerably, the oil production  
13 diminishes, and we're not able to effectively drain a lot  
14 of the reservoir away from the vertical wellbores.

15 Q. Have you prepared cross-sections that illustrate  
16 your concept of accessing the very top, the crown, if you  
17 will, of the producing interval within this area?

18 A. Yes, I have.

19 Q. Let's look first, Mr. Ott, at Exhibit Number 3  
20 and have you identify that for us.

21 A. Exhibit Number 3 is a cross-section oriented  
22 southwest to northeast through the Denton-Devonian Pool.  
23 It was submitted before the Conservation Division back in  
24 March, during our original request for authority to drill a  
25 horizontal well from the Number 5 wellbore.

1           Q.    When you look at that cross-section and you find  
2 the Denton 5 well, which was the project well then, look  
3 down on that display and find the horizontal line that's  
4 indicated in red.  What's the significance of that?

5           A.    The small index map located down in the right --  
6 or left-hand corner of the display, shows the Number 5  
7 wellbore with a red line oriented to the northeast.  That  
8 was the proposed pathway of the horizontal wellbore.

9           Q.    All right.  Now, while we keep that display out,  
10 let's go ahead and have you identify the cross-section  
11 that's marked Exhibit 4.

12          A.    Exhibit 4 is a cross-section, again, through the  
13 Denton-Devonian Pool, labeled B-B'.  It's oriented east-  
14 west, and on the small index map down in the lower left-  
15 hand corner, you can see from that index map that it goes  
16 through wells -- excuse me, Denton wells Number 9, Number  
17 4, Number 3 and Number 7.

18                   Also on that index map is a red line from Denton  
19 wellbore Number 4.  That continues in a southeasterly  
20 direction.  That would be the proposed direction for the  
21 horizontal leg of the Denton Number 4.

22                   And also from the Number 6 is a red line  
23 extending to the northeastward.  That would be the proposed  
24 pathway of the horizontal leg for the Denton Number 6  
25 horizontal well.

1 Q. When we compare the two displays, Exhibit 3 to  
2 Exhibit 4, and look at the relationship of the Number 5 and  
3 the Number 4, describe for us what you are attempting to  
4 achieve with this Number 4 well that you were probably not  
5 going to do with the Number 5.

6 A. Shown on the cross-section, B-B', is an orange  
7 band that represents a tight interval at the top of the  
8 Denton-Devonian. That tight interval has very low matrix  
9 porosity and permeabilities.

10 The better part of the reservoir, and where most  
11 of the production in the Denton field has come from, is in  
12 the interval immediately below that orange band, which  
13 would be the main part of the reservoir, and there's much  
14 more porosity and permeability within that interval.

15 Shown on the cross-section B-B' is also an  
16 interval updip from the vertical wellbore for the Denton  
17 Number 4. The red line that you see there is the proposed  
18 path of the Denton Number 4 horizontal wellbore.

19 That, in our opinion, would access parts of the  
20 Devonian reservoir updip from any vertical well that's  
21 previously been drilled, and hence would be able to produce  
22 oil in an updip position that would otherwise be left  
23 behind and not produced by any vertical wellbores.

24 The cross-section, A-A', that was previously  
25 submitted to the Division, shows the proposed path of the

1 horizontal leg of the Denton Number 5, which is also marked  
2 in red on cross-section A-A'.

3 You can see from that diagram that it would not  
4 access this higher portion of the reservoir, and would  
5 indeed leave behind some oil that could not be produced  
6 even with the horizontal wellbore from the Number 5.

7 Q. When we substitute the Number 4 for the Number 5,  
8 do you have an opinion as to whether, in order to  
9 appropriately access the entire upper portion of the  
10 reservoir, it's going to be necessary for this horizontal  
11 portion of the Number 4 well to cross out of its 40-acre  
12 spacing unit into the adjoining spacing unit that's now  
13 dedicated to the Number 3 well?

14 A. Yes, that is correct. As you can see on cross-  
15 section B-B', there is a vertical blue line through the  
16 center of that cross-section, labeled "Proration Unit  
17 Boundary". That would be the projection of where that 40-  
18 acre spacing unit would be intersected by this cross-  
19 section.

20 And the proposed horizontal leg from Number 4,  
21 the proposed horizontal wellbore from Number 4, would  
22 indeed cross that proration unit boundary.

23 Q. Let's go back to Exhibit Number 2 and have you  
24 describe for us what you're going to do with the Number 6  
25 well.

1           If the Number 4 well is successful -- and you  
2 judge success, I guess, by the only criteria and that would  
3 be productivity -- if it's successful at a certain  
4 producing rate, then you want to apply the same method to  
5 the Number 6 well; is that not true?

6           A.    That is true.

7           Q.    All right.  What do you obtain with the Number 6  
8 well that you don't achieve with a vertical well?

9           A.    Again, let me refer back to the issue of coning  
10 around vertical wellbores.

11           As I mentioned, the Denton-Devonian reservoir is  
12 a tight carbonate for the most part that is highly  
13 fractured.  We believe that those fractures are in  
14 communication vertically throughout the reservoir.

15           It is supported by an active water drive at the  
16 base of the reservoir, and therefore when you produce the  
17 oil from a vertical wellbore, you encounter water-coning  
18 from those vertical fractures.

19           The current water cut within the reservoir ranges  
20 anywhere from about four -- about 90 percent to about 98  
21 percent water cut within the reservoir.

22           With a horizontal well such as we propose from  
23 the Number 4 and the Number 6, we anticipate that that  
24 water cut in those wellbores will be diminished  
25 considerably, from about 95 to 98 percent, down to about 85

1 to 90 percent. There will still be water production, but  
2 we feel that the oil production will be increased, the  
3 total oil will be increased, by using a horizontal  
4 wellbore.

5 Again, that would be to get away from the  
6 vertical wellbore, get away from the water-cone fractures,  
7 encounter additional fractures that have not been -- that  
8 have not been previously produced and have not been filled  
9 with water.

10 Q. We've requested the authorization to extend the  
11 horizontal portion of the Number 6 well so that if we  
12 choose to do so, we may drill it into the spacing unit that  
13 is currently dedicated to the Number 7 well.

14 What's the reason to have that approval?

15 A. I'm not sure I understand your question.

16 Q. For the Number 4 well we have asked for approval  
17 to extend its horizontal portion into the spacing unit for  
18 the adjoining Well Number 3, and that was so that we could  
19 adequately expose the top portion of the reservoir in that  
20 entire lateral.

21 When we look at the Number 6 well, we want the  
22 chance to take that lateral not only up to the point of its  
23 spacing unit, but into the adjoining spacing unit for the  
24 Number 7 well.

25 What's the reason to do that?



1 capability of the Number 6 well is at the present time?

2 A. Let's see, the Number 6 is currently producing at  
3 30 barrels of oil per day.

4 EXAMINER CATANACH: I have nothing further.  
5 Mr. Kellahin?

6 MR. KELLAHIN: At this time, Mr. Examiner, we  
7 would call our reservoir engineer, Craig Kent.

8 CRAIG KENT,  
9 the witness herein, after having been first duly sworn upon  
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. KELLAHIN:

13 Q. Mr. Kent, would you please state your name and  
14 occupation?

15 A. My name is Craig Kent, and I'm a reservoir  
16 engineer with Marathon Oil Company in Midland, Texas.

17 Q. Mr. Kent, on prior occasions have you testified  
18 in that capacity before the Division and qualified as an  
19 expert witness?

20 A. Yes, I have.

21 Q. Pursuant to your employment in that field of  
22 expertise, have you made a study of the reservoir and  
23 production information available for this project?

24 A. Yes, I have.

25 Q. And based upon that study, do you now have

1 certain petroleum engineering conclusions and opinions?

2 A. Yes, I do.

3 MR. KELLAHIN: We tender Mr. Kent as an expert  
4 witness.

5 EXAMINER CATANACH: Mr. Kent is so qualified.

6 Q. (By Mr. Kellahin) From a reservoir perspective,  
7 Mr. Kent, is this project feasible and practicable?

8 A. Yes, it is. This is a -- almost a classic case  
9 for trying to recover additional oil through the use of  
10 horizontal wellbores.

11 We have both -- two of the things you want to  
12 look for in oil reservoirs or horizontal wells or good  
13 applications.

14 Q. What are those things?

15 A. Vertical fracturing and water-coning issues.

16 Q. What do you hope to obtain with either the first  
17 and/or the second well that you can't obtain with  
18 additional vertical wells?

19 A. What we're hoping to attain is the production of  
20 additional oil that will not be recovered through the  
21 existing vertical wellbores and would not be recovered  
22 through additional vertical wellbores.

23 Q. Applying conventional engineering methodology and  
24 calculations, have you been able to forecast or quantify  
25 the volumes involved here?

1           A.    Yes, I have.

2           Q.    Let's look at those results and your work  
3 product.  If you'll turn to Exhibit 5, let me have you  
4 identify that display.

5           A.    Exhibit 5 is a production plot on -- showing the  
6 logarithm of rate versus time for the J.M. Denton Well  
7 Number 3.

8           Q.    Why is this of any importance?

9           A.    What we looked at, first starting with the  
10 proposal for our Number 4 horizontal well, was a volumetric  
11 study on the 80 acres surrounding Wells 3 and 4.

12          Q.    What did you want to know?

13          A.    What I wanted to look at was what the oil in  
14 place in the uppermost portion of the Devonian was, how  
15 much oil had been produced, and then therefore, how much  
16 oil -- how much oil was left to be produced from the  
17 vertical wellbores, and then how much oil, recoverable oil,  
18 would be left in the reservoir.

19          Q.    All right.  As part of your analysis, then, show  
20 us what information on Exhibit 5 was utilized by you in  
21 making that study.

22          A.    Looking at the bottommost dark curve on the  
23 Exhibit 5, the J.M. Denton 3, that's a plot of daily  
24 average oil production from 1970 through 1974.

25                    Shown on the far right is a dotted line

1 representing our projected decline for that well.

2 To date the well has cum'd about 2.9 million  
3 barrels of oil and has remaining reserves of just over  
4 250,000 barrels of oil. Its current rate is roughly 130  
5 barrels a day.

6 Q. All right, sir. Let's contrast that now to the  
7 production information shown on Exhibit 6, which is the  
8 data for the Denton Number 4 well.

9 A. Again, Exhibit 6 is a production plot for the  
10 Denton 4 well. The bottommost curve, the darkest line on  
11 the plot, represents daily average oil production for the  
12 Denton 4 from 1970 through 1994.

13 To date, the well has cum'd about 1.6 million  
14 barrels of oil, and its last rate prior to being shut in  
15 was about eight barrels a day.

16 The economic limit for the Devonian wells in this  
17 area is roughly 15 barrels of oil.

18 Q. All right. So the 4 Well is now a good candidate  
19 to be utilized for the horizontal purpose?

20 A. That's correct.

21 Q. When you analyze that 80-acre spacing unit  
22 between the 3 and the 4, have you been able to quantify the  
23 original oil in place?

24 A. Yes, I have.

25 Q. Is there a -- Before we go to the actual summary

1 of that information, let's step through that and have you  
2 show us Exhibit 7 and describe for us how this -- these two  
3 wells have been produced historically.

4 A. Exhibit 7 is a -- kind of a cartoon cross-section  
5 of the J.M. Denton 3 and 4, showing the completion  
6 intervals in each well and the recoveries based on the  
7 production history from individual zones within the two  
8 wells.

9 Historically, these wells were completed near the  
10 bottom of the Devonian, because as you move from the bottom  
11 to the top we see more matrix porosity in the bottom of the  
12 reservoir, diminishing as you move to the top. As you get  
13 to the top, both the porosity and the productivity are  
14 controlled more by fractures than by the matrix system.

15 Looking at the two wells, prior to about 1990,  
16 our completions were limited to what -- the producing  
17 intervals below what I've labeled "Reference Line". You  
18 can see our recovery from the Denton 3, about 2.7 million  
19 barrels; the Denton 4, about 1.4 million barrels.

20 Contrasted with recoveries above that reference  
21 line, the Denton has totaled about 95,000 barrels; in  
22 Denton 4, about 218,000 barrels of oil.

23 Q. As part of your engineering work, you want to  
24 focus in on the remaining oil potential that can be  
25 recovered from the upper portion of the Devonian Pool?

1           A.    That's correct.

2           Q.    All right.  When we look at your calculations,  
3 what portion of the Upper Devonian Pool are you  
4 identifying?

5           A.    All I'm looking at is that portion of the  
6 Devonian Pool above what I've labeled the reference line on  
7 Exhibit Number 7, which is roughly about minus 8100 subsea.

8           Q.    All right, that represents the remaining  
9 potential, then, in those two spacing units in the Devonian  
10 Pool?

11          A.    That's correct.

12          Q.    All right.  Let's go to the calculations shown on  
13 Exhibit 8.  Take us through that and show us what you've  
14 done.

15          A.    Exhibit 8 is a summary of the volumetric  
16 calculations to determine the remaining recoverable oil in  
17 the 80 acres surrounding Denton Wells Number 3 and 4.

18                From the geologic mapping, we see a bulk volume  
19 of about 64,000 acre-feet.  We have an average porosity of  
20 about 2 1/2 percent, with water saturation around 46  
21 percent.  That gives us original oil in place in that upper  
22 portion of the Devonian of around 4 million barrels of oil.

23                Based on core analysis that we have on these  
24 wells, recoveries should range on the order of 40 to 50  
25 percent.  We used 40 percent for our analysis, which would

1 leave us recoverable oil in the upper portion of around 1.6  
2 million barrels.

3 Our projected ultimate recovery from Wells 3 and  
4 4 is about 660,000 barrels of oil, taking into account the  
5 historic production from the two wells, plus the remaining  
6 250,000 barrels of oil to be recovered from the Number 3.

7 Q. Now, this is not total production from these  
8 wells, is it?

9 A. No, that's not. That is only the production that  
10 has come from the upper portion of the Devonian.

11 Q. All right. So if you just blindly look at the  
12 production plot, it's not going to match these numbers --

13 A. No, that's correct.

14 Q. -- because you're selecting only a portion of  
15 that production?

16 A. That's correct.

17 Q. All right. When we look, then, about what's left  
18 available for a horizontal well in that 80-acre tract,  
19 what's the number?

20 A. The number that's left is about 937,000 barrels  
21 of oil, based on volumetrics.

22 We've done some conceptual modeling to look at  
23 horizontal wellbores. That has indicated that we should  
24 recover about 650,000 barrels of oil from a horizontal  
25 drilled in this location.

1           If we were to -- We did not model a vertical  
2 well, but it wouldn't be too far off to assume that a  
3 vertical well would recover roughly the average of the  
4 total recovery of 3 and 4 in the Upper Devonian, or about  
5 300,000 barrels of oil.

6           Looking at cost, a horizontal well out of the 4  
7 is going to run us about \$800,000 to \$900,000. A vertical  
8 well drilled to hit the peak of the structure is going to  
9 cost us somewhere in excess of \$1.5 million. So not only  
10 are we going to recover more oil, we're going to be able to  
11 do it at quite a bit less cost.

12           Q.   And that's simply because you can utilize an  
13 existing wellbore and then take it horizontal?

14           A.   That's correct.

15           Q.   All right. As far as the 3 and the 4 go, that  
16 looks to you to be a feasible engineering plan with good  
17 potential and that it should be an economic project?

18           A.   It should.

19           Q.   All right. Let's talk about how to do it.

20                   The depth bracket oil allowable on 40 allowable  
21 in the pool is what? 356 was it?

22           A.   365.

23           Q.   I can't keep it straight. 365 is 40-acre oil  
24 depth bracket?

25           A.   Correct.

1           Q.    How do you propose the Examiner allow you to  
2 produce that allowable when you're going to have this  
3 wellbore crossing over into the spacing unit for the Number  
4 3 well?

5           A.    What we would propose is that the depth bracket  
6 allowables for both 40-acre tracts be combined into one,  
7 and then that allowable be shared between Well Number 3 and  
8 Number 4, in order to produce both wells.

9           Q.    Okay.  Ownership in the project area is common,  
10 is it?

11          A.    That's correct.

12          Q.    So there's no inequities here involved in  
13 combining spacing units?

14          A.    That's correct.

15          Q.    All right.  Let's now turn your attention to the  
16 engineering conclusions.  When we look at the Number 6  
17 well, what did you do to analyze that?

18          A.    We went through the same methodology for the  
19 Number 6 proposal as we did for Number 4.

20                   Exhibit Number 9 is a production plot for Denton  
21 Number 6, showing the daily average production from 1970  
22 through 1994.

23                   The well currently is producing about 30 barrels  
24 of oil a day.  It's cum'd about 1.4 million barrels.  It  
25 has remaining reserves of roughly 15,000 barrels of oil.

1 Q. If the first well is a success, how do you judge  
2 whether it is or not?

3 A. What we'll look at is how the productivity  
4 matches up with what our original projections have been.

5 Q. And if that is a success, then, would you apply  
6 the same methods to the recompletion of the Number 6 well  
7 as a horizontal well?

8 A. Yes, we would.

9 Q. Now, the rate on the Number 6 is a little higher.  
10 It's about what? 28 to 30 a day?

11 A. That's correct.

12 Q. You said your economic threshold was 15 barrels a  
13 day?

14 A. That's correct.

15 Q. Are you sacrificing any remaining recoverable oil  
16 in the Number 6 well if you take it out of production and  
17 utilize it for the horizontal technology?

18 A. No, we won't, because we will be -- By drilling a  
19 horizontal well, we'll be connecting that wellbore to a  
20 reservoir that won't otherwise be drained by either the  
21 Number 6 or the Number 7 well.

22 Q. When you get through the -- You've shown the  
23 plots on those two wells, you've shown the comparison of  
24 the interval, showing what you're trying to forecast.

25 If you'll turn now to Exhibit 12, show me the

1 conclusions about the relationship between the 6 and the 7  
2 spacing units.

3 A. Exhibit Number 12 is again a volumetric analysis  
4 of the remaining oil to be recovered between the Wells 6  
5 and 7.

6 In this case, we have a bulk volume of about  
7 12,000 acre feet. Our porosity is a little higher at about  
8 3 percent, and again water saturation of 46 percent.

9 That left us with oil in place in the upper  
10 portion of the Devonian only of about 887,000 barrels of  
11 oil.

12 Using the recovery factor of 40 percent, that  
13 left us with recoverable oil in those two 80-acre tracts --  
14 or two 40-acre tracts, of about 355,000 barrels.

15 We're projecting ultimate recovery from the 6 and  
16 7 Wells of about 160,000 barrels of oil, leaving remaining  
17 recoverable oil of about 195,000 barrels.

18 Q. All right. Is it going to be economic to go and  
19 look for that remaining oil?

20 A. I believe it will. Using the horizontal  
21 technology which gives us dramatically reduced costs due to  
22 utilizing existing wellbores, I think this will be a very  
23 economic project.

24 Q. You couldn't possibly get the remaining  
25 recoverable oil by drilling a new vertical well?

1           A.    No, that's correct.

2           Q.    It just won't justify it, not even close?

3           A.    That's correct.

4           Q.    Okay.  So the only way to go about that in the  
5 separated fault block is, if the first well is successful,  
6 do the same thing with the Number 6?

7           A.    That's right.

8                   MR. KELLAHIN:  All right.  That concludes my  
9 examination of Mr. Kent.

10                   We move the introduction of his Exhibits 5  
11 through 12.

12                   EXAMINER CATANACH:  Exhibits 5 through 12 will be  
13 admitted as evidence.

14   EXAMINATION

15 BY EXAMINER CATANACH:

16           Q.    Mr. Kent, what are the plans for the Number 5  
17 well ultimately?

18           A.    Number 5, I would say, should the 4 and 6 be  
19 successful, I still think Number 5 would be a potential  
20 candidate for horizontal drilling.

21                   But again, as was stated earlier, from a  
22 geological standpoint Number 4 has always been a superior  
23 candidate.

24                   And now due to its productivity, we're able to go  
25 into that well and utilize it for a horizontal drain.

1                   EXAMINER CATANACH: I have nothing further of  
2 this witness.

3                   MR. KELLAHIN: All right, sir.

4                   Mr. Examiner, I call at this time Marathon's  
5 drilling engineer, Steve Pohler. He spells his last name  
6 P-o-h-l-e-r.

7                                   STEVEN POHLER,

8 the witness herein, after having been first duly sworn upon  
9 his oath, was examined and testified as follows:

10                                   DIRECT EXAMINATION

11 BY MR. KELLAHIN:

12                   Q.    Would you please state your name and occupation?

13                   A.    Steven Pohler, senior production engineer,  
14 Marathon Oil Company.

15                   Q.    On prior occasions, Mr. Pohler, have you  
16 testified before the Division?

17                   A.    No, I have not.

18                   Q.    Give us a quick summary of your education and  
19 employment experience.

20                   A.    I have a BS in petroleum engineering from Texas  
21 Tech University, and I've worked with Marathon Oil Company  
22 for the past 13 years in varying responsibilities, and the  
23 last two and a half years have been with the drilling  
24 completion department.

25                   Q.    You're going to have to speak up. That

1 microphone doesn't do a thing for you.

2 A. Okay.

3 Q. It helps the court reporter; it doesn't amplify  
4 your voice.

5 A. Okay.

6 Q. Let's cut to the summary.

7 For this project, have you examined the  
8 presentation made by Marathon to the Examiner back in the  
9 spring of this year?

10 A. Yes, sir.

11 Q. Is the plan for the Number 5 Well, as it was  
12 forecast, the same plan you intend to utilize if they  
13 approve the substitution of the Number 4?

14 A. Yes, sir.

15 Q. And if that well is successful, then it's the  
16 same plan for the Number 6?

17 A. Yes, sir.

18 Q. Let's go through the displays rather quickly,  
19 then, and have you give us the highlights.

20 First of all, when we look at Exhibit 13, what do  
21 we see?

22 A. It's just a plan view of the horizontal proposals  
23 and the directions that they will be going, and the dashed  
24 lines on that are showing the 330 setbacks for the acreage.

25 Q. All right. This is a forecast of the direction

1 and the anticipated length?

2 A. Yes, sir.

3 Q. In terms of operational flexibility, you're  
4 seeking authority to make field changes --

5 A. Yes, sir.

6 Q. -- so long as the producing interval stays within  
7 the 330 setback from the outer boundary of the project  
8 area?

9 A. Yes, sir.

10 Q. And that's the significance, then, of the dashed  
11 line within the shaded yellow area?

12 A. Yes, sir.

13 Q. All right, let's look at the schematic for the  
14 Number 4 well, which is Exhibit 4 [sic].

15 A. This is a present completion diagram of the  
16 Number 4 well, showing the interval that it's producing at  
17 right now is 11,226 to 11,600, and a cast-iron bridge plug  
18 is presently set at 11,640.

19 Q. Any mechanical reason not to utilize this  
20 wellbore?

21 A. No, sir.

22 Q. Looks like a good candidate?

23 A. Yes, sir.

24 Q. Let's go to the planned concept on 15, and show  
25 us what you forecast to be the direction and length.

1           A.    We plan to enter the wellbore and go at a  
2           direction of -- After we build our 90-degree-radius curve,  
3           a 45-foot radius, we plan to go in a south direction of 70  
4           degrees east at a 900-foot lateral and stay within our 330  
5           setback.

6           Q.    All right.  Let's go to Exhibit 6, and I think --  
7           16, and I think that's a good exhibit to have you tell us  
8           the procedure, starting with determining the kickoff point,  
9           and taking us through drilling and completing the well.

10          A.    The well will -- The present perforations will be  
11          squeezed off, drilled out, and then tested to assure that  
12          there's no leakage in the present producing interval.

13                    A section will then be cut from approximately  
14          11,210 to 11,250, and than a kickoff point will be made at  
15          11,240.

16                    Prior to kickoff point, a gyro will be run in the  
17          well to orient us on our downhole location and orient us in  
18          the direction of -- so we can plan our kickoff to the south  
19          70 degrees east.

20                    We will kick off at 11,240, approximately, and  
21          drill a 90-degree, 45-foot-radius curve towards the south  
22          70 degrees east.

23                    At that point, we will drill a 900-foot  
24          horizontal lateral on a 100-degree inclination until we've  
25          reached our final end point, staying in the south 70

1 degrees east.

2 Q. At the kickoff depth, are we in the Devonian  
3 Pool?

4 A. Yes, sir.

5 Q. So everything will be isolated in the interval  
6 between the vertical well and the horizontal well?

7 A. Yes, sir.

8 Q. How do you achieve that isolation?

9 A. By -- Our section will be cut in the Devonian,  
10 and we will stay in that tight cap, and we'll have the  
11 cast-iron bridge plug and the perforation squeezed and  
12 casing isolation above us.

13 Q. You'll have the ability to steer and know where  
14 you are, subsurface?

15 A. Yes, sir, we'll use the technology MWD, which is  
16 a continuous motor readout, measurement-while-drilling  
17 technology. It will give us azimuth, inclination and  
18 direction we're going, continuously at the surface.

19 Q. You'll have the ability, then, to make changes in  
20 the field, if it's determined appropriate, so that you can  
21 change the azimuth or the distance drilled?

22 A. Yes, sir. Yes, sir.

23 Q. How will you set it up for production?

24 A. Production -- After the drilling is done, we will  
25 circulate the mud out of the hole with fresh water and go

1 in the hole with a completion tubing and a packer.

2 And the completion tubing will be run just around  
3 where -- the carved section into the horizontal.

4 And a packer will be isolated in the vertical  
5 section.

6 Q. Anything unusual about the application of this  
7 technology in this particular area?

8 A. No, sir.

9 Q. All right. When we go to the Number 6 well as a  
10 potential candidate, that's done in substantially the same  
11 method?

12 A. Yes, sir.

13 Q. All right. Let's look at those exhibits quickly.  
14 If you'll look at 17, identify that for me.

15 A. It's a wellbore schematic of the present  
16 operation of the well, showing production from perforations  
17 11,826 to 11,958, and a cast-iron plug is presently set at  
18 9068.

19 Q. All right. Then Exhibit 18, show us where you're  
20 headed.

21 A. This is a plan view that we will be drilling.  
22 The horizontal will be done in a north 20-degree east  
23 direction at 1000 foot.

24 Q. All right. Again, you want the operational  
25 flexibility to modify this forecast, provided you stay no

1 closer than 330 to the outer boundary of the project area?

2 A. Yes, sir.

3 Q. All right, show us the lateral plan.

4 A. The lateral plan will be the same.

5 Our kickoff point will be at approximately 11,840  
6 feet, a 90-degree, 45-foot-radius curve will be drilled,  
7 and then a 1000-foot-long horizontal will be drilled at  
8 approximately a 100-degree inclination.

9 Q. Again, the well will be completed in the same  
10 fashion?

11 A. Yes, sir.

12 Q. All right, sir. Were Exhibits 13 through 19  
13 prepared by you or under your direction and supervision?

14 A. Under our direction and supervision, sir.

15 MR. KELLAHIN: We move the introduction of  
16 Exhibits 13 through 19.

17 EXAMINER CATANACH: Exhibits 13 through 19 will  
18 be admitted as evidence.

19 MR. KELLAHIN: And that concludes my examination  
20 of Mr. Pohler.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Mr. Pohler, the Well Number 4, the perforations  
24 that will be squeezed in that well are 11,226 to 11,600?

25 A. Yes, sir.

1 Q. Okay. Do you know what the cut section is in the  
2 Number 6 well?

3 A. In the Number 6 well?

4 Q. Yes, sir.

5 A. The section will be approximately the same type  
6 deal, a 50-foot window approximately -- approximately, it  
7 will be at 11,810 to 11,850, give or take -- or -860, I'm  
8 sorry, 50 foot.

9 Q. These will be drilled essentially the same way  
10 that you had originally intended to drill the Number 5  
11 well?

12 A. Yes, sir.

13 Q. And the lateral section in the Number 6 is going  
14 to be again, approximately, 900 feet?

15 A. Number 6 will be 1000 feet.

16 EXAMINER CATANACH: Okay, that's all I have of  
17 the witness.

18 Do you have anything further?

19 MR. KELLAHIN: Mr. Examiner, Exhibit 20 is my  
20 certificate of notification of the interest owners in this  
21 case.

22 Request the admission of Exhibit 20.

23 EXAMINER CATANACH: Exhibit 20 will be admitted  
24 as evidence in this case.

25 MR. KELLAHIN: And that concludes my

1 presentation, Mr. Examiner.

2 EXAMINER CATANACH: There being nothing further  
3 in this case, Case 11,141 will be taken under advisement.

4 (Thereupon, these proceedings were concluded at  
5 10:08 a.m.)

6 \* \* \*

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
 COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 12th, 1994.

  
 STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a correct and true transcript of the proceedings in the and of No. 1141, heard by November 10 1994.

  
 \_\_\_\_\_, Examiner  
 Oil Conservation Division