

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:) CASE NO. 11,169
)
APPLICATION OF CONOCO, INC.)
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

December 15th, 1994

JAN

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, December 15th, 1994, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

December 15th, 1994
Examiner Hearing
CASE NO. 11,169

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>DAVID E. NELSON</u>	
Direct Examination by Mr. Kellahin	4
Examination by Examiner Stogner	20
<u>DAMIAN G. BARRETT</u>	
Direct Examination by Mr. Kellahin	23
Examination by Examiner Stogner	41
REPORTER'S CERTIFICATE	44

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	6	20
Exhibit 2	9	20
Exhibit 3	10	20
Exhibit 4	10	20
Exhibit 5	12	20
Exhibit 6	14	20
Exhibit 7	25	41
Exhibit 8	27	41
Exhibit 9	28	41
Exhibit 10	29	41
Exhibit 11	30	41
Exhibit 12	31	41

(Continued...)

E X H I B I T S (Continued)

	Identified	Admitted
Exhibit 13	32	41
Exhibit 14	34	41
Exhibit 15	37	41
Exhibit 16	38	41
Exhibit 17	38	41
Exhibit 18	39	41
Exhibit 19	40	41
Exhibit 20	40	41

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
 Attorney at Law
 Legal Counsel to the Division
 State Land Office Building
 Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 3:55 p.m.:

3 EXAMINER STOGNER: Call next case, Number 11,169,
4 which is the Application of Conoco, Inc., for pool
5 creation, special pool rules, and the assignment of a
6 discovery allowable, Lea County, New Mexico.

7 At this time I'll call for appearances.

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 on behalf of the Applicant, and I have two witnesses to be
11 sworn.

12 EXAMINER STOGNER: Are there any other
13 appearances?

14 Will the two witnesses please stand to be sworn
15 at this time?

16 (Thereupon, the witnesses were sworn.)

17 EXAMINER STOGNER: Mr. Kellahin?

18 MR. KELLAHIN: Call at this time David Nelson.
19 Mr. Nelson is a petroleum geologist.

20 DAVID E. NELSON,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Nelson, would you please state your name and

1 occupation?

2 A. My name is David Nelson. I'm a geological
3 advisor with Conoco, Incorporated.

4 Q. Where do you reside, sir?

5 A. I live in Midland, Texas.

6 Q. On prior occasions have you qualified as a
7 geologic expert before this Division?

8 A. Yes, I have.

9 Q. Summarize for us, Mr. Nelson, what has been your
10 involvement with the area that we have identified for
11 purposes of this hearing as the North Hardy Tubb-Drinkard
12 Pool.

13 That's at least our request for a name, and
14 that's the way I've learned this area, so what has been
15 your involvement in this area?

16 A. Well I've been the geologist involved with the
17 drilling of an exploratory prospect on the Hardy 36 State
18 lease, have been involved in geological studies of that
19 lease since the drilling of the discovery well.

20 Q. What additional technical experts with your
21 company have worked with you in evaluating the
22 opportunities available to you in the Hardy 36 State Number
23 3 well?

24 A. Damian Barrett, reservoir engineer, has worked
25 with me on this project since its beginning.

1 Q. Collectively, have the two of you now reached
2 certain conclusions and recommendations for the Division
3 concerning how best to establish a pool, including the
4 horizontal and vertical limits, and within that pool
5 interval, what special rules, if any, to apply to this
6 production?

7 A. Well, we have -- We would like to combine the
8 Tubb and Drinkard formations into one pool. We'd like to
9 apply the special pool rule of the limiting GOR of 10,000
10 standard cubic feet per barrel to the new pool and to
11 obtain a discovery allowable of 186 barrels of oil per day
12 for the Hardy 36 State Number 3 well.

13 Q. What kind of acreage-size spacing do you propose
14 for the spacing and proration units for the well?

15 A. We propose 40-acre spacing.

16 Q. All right. Anything else within that proposal in
17 terms of the kinds of rules you're suggesting?

18 A. No.

19 MR. KELLAHIN: All right. We tender Mr. Nelson
20 at this time, Mr. Examiner, as an expert geologist.

21 EXAMINER STOGNER: Mr. Nelson is so qualified.

22 Q. (By Mr. Kellahin) Let me have you turn to the
23 first display, and let's look at that portion of the log of
24 the Hardy 36 State Number 1 well that you have as your
25 potential discovery well in the Tubb-Drinkard Pool.

1 A. Okay.

2 Q. All right? You can either start at the bottom
3 and work up, or start at the top and work down. You
4 choose.

5 A. Okay, this is a type log. It's a composite of
6 several intervals within the Hardy 36 State Number 1 well.
7 This well is a new-field wildcat. It has resulted in a
8 multiple zone discovery.

9 Q. How many potential zones do you have that may be
10 productive in this wellbore?

11 A. Well, we have as many as 10 potentially
12 productive zones in this well.

13 Q. What -- To fill in some of the details that are a
14 corollary, if you will, to our particular Application,
15 refresh the Examiner's memory as to what has been
16 accomplished with regards to the Simpson portion of the
17 productivity in the well.

18 A. Well, to date there are four formations which
19 have been proven productive. The Simpson formation is one,
20 and it is presently producing in this well.

21 The Ellenburger has also been tested in the well
22 but found to be too thin and the rates not sufficient for
23 commercial production.

24 The Tubb and Drinkard have been tested on the
25 lease. The Drinkard has been shown to be productive from

1 this wellbore and an offsetting well, the Hardy 36 State
2 Number 3.

3 Q. All right, the offset Hardy 36 State Number 3 is
4 the discovery well in the Simpson portion -- No?
5 Backwards.

6 A. This well, the Hardy 36 State Number 1, is the
7 discovery well for the Simpson.

8 Q. Okay. What is to be the discovery well for the
9 Tubb-Drinkard?

10 A. The discovery well for the Tubb is the Hardy 36
11 State Number 3, and we have not designated a discovery well
12 for the Drinkard.

13 Q. All right. So it would be the State 3 well that
14 would be the beneficiary of any discovery oil allowable
15 attributed to the Tubb?

16 A. That's correct.

17 Q. Okay. So the Examiner can have a sense of where
18 you're going with your presentation, Mr. Nelson, let's have
19 you identify on the log what you propose as the top portion
20 of the Tubb-Drinkard Pool, as defined on the log of this
21 well.

22 A. Okay, as defined on this log, the top of the Tubb
23 occurs at a depth of 6308 feet, and we propose that the
24 Tubb-Drinkard Pool include the Tubb and Drinkard formations
25 from 6308 in this well to a depth of 6886, which is the top

1 of the Abo and base of Drinkard.

2 Q. Okay. Having identified the proposed vertical
3 limits, let's have you turn and identify for the Examiner
4 how the Division has handled this kind of production within
5 this area. If you'll look at Exhibit Number 2, identify
6 that for me.

7 A. Exhibit Number 2 is a map of the Drinkard
8 formation showing all the wells which have produced from
9 the Drinkard in the area.

10 I've shown the Hardy 36 State new wells, three of
11 them, in Section 36, and the offsetting pools by name,
12 which include the Hardy Tubb-Drinkard Pool to the south,
13 the Weir Drinkard Pool to the north, the Skaggs Drinkard
14 Pool also to the north, and the Warren Drinkard Pool to the
15 east, and the Drinkard Pool proper lies to the southeast.

16 Each of these pools has a GOR of 10,000 standard
17 cubic feet per barrel or 6000 standard cubic feet per
18 barrel. The Warren has a limiting GOR of 8000 standard
19 cubic feet per barrel.

20 Q. As a geologist, do you have an opinion whether or
21 not the Drinkard portion that is shown to be productive
22 within the wells in Section 36 constitutes a separate
23 source of supply that is separated from any of these other
24 Drinkard pools?

25 A. Yes, sir, I have conducted geological studies and

1 determined that the Drinkard Pool and the Hardy 36 State
2 discovery is isolated from the offsetting pools.

3 Q. And you've got some geologic displays that
4 illustrate that later in your testimony?

5 A. Yes, I do.

6 Q. All right, let's turn to the Tubb. Show the
7 Examiner what your investigation shows with regards to the
8 relationship of Section 36 to any other Tubb formation that
9 may be declared as a pool in this area.

10 Q. Well, surrounding the Hardy 36 State discoveries
11 are Tubb producers, as shown on this map. All known
12 producers from the Tubb formation are shown here.

13 The pools that are included on the map are the
14 Monument Tubb Pool to the north, the Hardy Tubb-Drinkard to
15 the south, and the Tubb Oil and Gas Pool to the southeast.
16 The Warren presently includes Blinebry and Tubb as the
17 Warren Blinebry-Tubb Pool.

18 Q. All right. Let's turn to some of your geologic
19 displays. Let's look at the Drinkard first. If you'll
20 unfold that Drinkard structure map, it's marked as Exhibit
21 Number 4.

22 Pretty snazzy colors, Mr. Nelson. What's the
23 color code?

24 A. Well, this map of the Drinkard shows the
25 geological structure on top of the Drinkard formation.

1 It's a color contour map, and the contour interval is 25
2 feet.

3 Q. All right. What's the color code mean?

4 A. Well, each contour of 25 foot has a change of
5 color value. Structural highs are accentuated this way,
6 graphically, and it shows the structural highs and lows
7 that surround the Hardy 36 State lease.

8 Q. All right. Without yet looking at the cross-
9 sections, identify for us the marker wells, if you will,
10 that helped you conclude that the Hardy wells in 36 were
11 discovering a separate Drinkard source of supply that is
12 distinguishable from any other existing pool.

13 A. The Hardy 36 State lease is a four-way closed
14 structure. It's surrounded by wells which have been
15 drilled in structural lows, which define those lows. Those
16 are shown in the -- The lows are shown as blue colors on
17 the map.

18 These include wells, the HH-2 which is to the
19 southwest of the lease, the Alexander 1 which is to the
20 southeast, and to the north the Semu 82 Well.

21 These are well-defined structural lows and are
22 well-defined structural highs on which the Drinkard
23 production is localized.

24 Those structural highs to the north include the
25 Weir Drinkard, the Warren Drinkard over to the east, the

1 Drinkard Pool proper to the south, and the Hardy Tubb-
2 Drinkard to the southwest.

3 Q. Geologically, are there differences that you
4 perceive between this Hardy 36 State Drinkard and any of
5 the other Drinkard reservoirs in this area?

6 A. Well, there are actually a lot of geologic
7 similarities of these pools, but in terms of structure they
8 are indeed isolated from one another.

9 Q. All right. It's the structure that has isolated
10 the Drinkard?

11 A. That's correct.

12 Q. But once you get within a structure, the Drinkard
13 in one Drinkard reservoir is very much like it in the other
14 Drinkard reservoirs in the area?

15 A. That's correct.

16 Q. All right. Let's turn to see what the Tubb looks
17 like. If you have a Tubb structure map --

18 A. Yes, I have a Tubb structure map, which is
19 Exhibit 5.

20 Q. All right. For purposes of the Tubb, show us
21 what has caused you to believe that the Tubb is a separate
22 and distinct supply from any other Tubb pool.

23 A. This map on the top of the Tubb again shows the
24 structural highs that occur in the Warren area and the Weir
25 area to the north, and the Hardy Tubb-Drinkard to the

1 southwest, and the Tubb Pool proper, which is to the
2 southeast.

3 Each of these are isolated highs. Geologically,
4 these pools are -- these maps look the same because there's
5 no stratigraphic changes that occur between the top of the
6 Tubb and the top of the Drinkard. So the isolation that we
7 see in the Tubb is very similar to that which we see in the
8 Drinkard.

9 There are well-defined structural lows that flank
10 the Hardy 36 State lease in the closure that is mapped
11 there.

12 Q. Is there any reasonable geologic probability that
13 your Hardy State area is simply a southeastern extension of
14 what is known as the Monument Tubb Pool?

15 A. Well, we think there is indeed, a four-way
16 closure on the Hardy 36 State lease.

17 Q. Okay. So that's not an issue in doubt?

18 A. No.

19 Q. You're satisfied you have enough detail that
20 supports your conclusion that you're separating the Hardy
21 State Tubb from the Monument Tubb to the north?

22 A. Yes, that's right. From a geological
23 perspective, these structures are all isolated from one
24 another.

25 Q. All right. Having reached the conclusion that

1 these are each separated horizontally from other similar
2 formations, describe for us your geologic argument for
3 combining these two into one pool.

4 A. Okay. May I turn to the cross-section to do
5 that?

6 Q. Sure, let's do that.

7 A. My cross-section will go from the southwest to
8 the northeast, and it's marked on this -- on the maps as
9 cross-section A-A'.

10 Q. All right. A-A' is going to be Exhibit Number 6?

11 A. Yes, sir.

12 Q. All right. Let's take a minute and unfold these
13 things. They rattle a little bit.

14 A. Okay, for orientation, this cross-section A-A'
15 has -- on the left is the southwest, and on the right is
16 the northeast.

17 Q. All right.

18 A. In the northeast area, I'm showing wells from the
19 Warren Blinebry-Tubb and Warren Drinkard Pools.

20 Q. All right. Let's find those now. On one of the
21 structure maps we can find those off to the east of the
22 Hardy State area, can we not?

23 A. Yes, it goes right across the structure, the
24 closed structure in Section 28.

25 Q. All right. Let's start with the Warren Blinebry-

1 Tubb area. That includes the Drinkard over here on the far
2 right?

3 A. Yes.

4 Q. Help us read the color code so we know where the
5 Tubb is and where the Drinkard is.

6 A. Okay, I've used the color on the map to identify
7 the vertical thickness of the formations so that the Tubb
8 shown here is between the Tubb marker and the top of the
9 Drinkard, and its color is purple, or blue, depending on
10 how you see that color.

11 Q. All right, I see it as a purple. So what I see
12 as purple is the Tubb portion?

13 A. It is Tubb formation.

14 Q. Now, how do I find the Drinkard formation?

15 A. The Drinkard immediately underlies the Tubb.
16 It's in sort of a gray stipple pattern.

17 And within the Warren Drinkard I've identified
18 what is the vertical extent of the Drinkard reservoir.
19 It's in green.

20 Q. All right. Now what's the relationship between
21 the gray stippled area and the green?

22 A. Yeah, that -- The green area is the area of
23 Drinkard pay development.

24 Q. Within the Drinkard formation?

25 A. Within the Drinkard formation.

1 Q. So you have Drinkard formation above and below
2 the green area?

3 A. That's correct.

4 Q. But the green area is the pay interval of the --

5 A. Is the pay interval.

6 Q. Describe for us the relationship, then, of those
7 two pay portions, the Tubb and the Drinkard, in this Warren
8 area.

9 A. Okay. Within the Warren area I will address the
10 Drinkard first.

11 We have identified an oil-water contact which
12 occurs at a depth of minus 3250 subsea, and the top of the
13 pay interval occurs at the top of the Drinkard porosity,
14 which is -- that porosity interval is in the lower part of
15 that Drinkard formation.

16 Q. In the Warren area are the Drinkard and Tubb
17 formations being produced as one pool?

18 A. In the Warren area, the Drinkard and Tubb are not
19 one pool; they are two different pools.

20 Q. Okay.

21 A. We have the Warren Drinkard Pool and the Warren
22 Blinebry-Tubb Pool in that area.

23 Q. Okay, let's take ourselves to the left on the
24 cross-section, to that portion of the display that shows
25 Simpson discovery, Tubb discovery, that portion.

1 A. Okay.

2 Q. Okay, let's look at the logs of the Hardy 36-1,
3 -7 and -3.

4 A. Yes, there are three wells shown here, the Hardy
5 36-1, which is the type log shown earlier, the Hardy 36
6 Number 7, and the Hardy 36 Number 3.

7 The Hardy 36 Number 3 is the discovery in the
8 Tubb as it was drilled as an offset to test the Drinkard
9 and the Tubb intervals, and we have proven production from
10 those two formations.

11 Q. From a geologic perspective, what do you see to
12 be the benefit for combining the Drinkard and the Tubb into
13 a single pool for this Hardy area?

14 A. Our studies and testing of the Drinkard reservoir
15 within the Hardy lease have shown also an oil-water contact
16 there, which occurs at a depth of minus 3295, compared to
17 that 3250 subsea vertical depth that occurs in the Warren
18 Drinkard.

19 Q. You're what? 35 --

20 A. We are 45 foot --

21 Q. -- 45 feet higher than in the Hardy with the
22 water-oil contact?

23 A. That's correct.

24 Q. So why does that matter?

25 A. Well, that helps us establish that these pools

1 are isolated, they have different oil-water contacts.

2 Further, the top of the porosity in the Hardy
3 area is at lower structural elevation, and that makes the
4 interval of pay development within the Drinkard and the
5 Hardy area much thinner.

6 Q. Mr. Barrett's going to testify and tell us that
7 he anticipates that the Drinkard portion in the Hardy area
8 is really going to be a marginal producing formation.

9 Geologically, do you find geologic evidence that
10 supports his engineering conclusions about the fact that
11 this Drinkard is going to be marginal in the Hardy area?

12 A. Yes.

13 Q. What do you see that supports that?

14 A. As you can see on this cross-section, that the
15 thickness of that pay interval is much thinner than it is
16 in the Warren area, and we have perforations that are in
17 the Drinkard formation below that oil-water contact, and we
18 have produced a large quantity of water when we are beneath
19 that oil-water contact.

20 Q. From a geologic perspective, do you see any
21 reason to keep the Tubb and the Drinkard separated if the
22 Division creates a new Hardy pool?

23 A. Geologically, these formations are similar in
24 terms of their structure and their -- and the stratigraphy,
25 the thickness of the formations, does not change across the

1 area. The -- Both pools are isolated structurally, and
2 this is true as well in all the offset fields which we've
3 studied.

4 I would note that while we see an oil-water
5 contact in the Drinkard formation, there is not one that we
6 know of in the Tubb formation.

7 Q. All right. So we're not at risk of combining an
8 upper oil zone that's got a water component to it with a
9 lower oil zone?

10 A. That's right.

11 Q. All right.

12 A. We see only one oil-water contact.

13 Q. And that is in the lowest of the two formations?

14 A. That's correct.

15 Q. All right. Let's take a quick peek at the B-B'
16 cross-section, which is -- Oh, you don't have it? All
17 right. We do have that available if the Examiner desires
18 to see it, there's an additional cross-section.

19 But you're satisfied that based upon your
20 geologic studies, that the separation of both the Tubb and
21 the Drinkard in this Hardy area is geologically valid from
22 any other current pool?

23 A. Yes.

24 Q. And you see no geologic reason not to combine
25 those two formations into a single pool?

1 A. That's correct.

2 MR. KELLAHIN: All right. That concludes my
3 examination, then, of Mr. Nelson.

4 We move the introduction of his Exhibits 1
5 through 6.

6 EXAMINER STOGNER: Exhibits 1 through 6 will be
7 admitted into evidence at this time.

8 EXAMINATION

9 BY EXAMINER STOGNER:

10 Q. Where did you get that lower water-oil contact on
11 that Hardy 36 Number 1 well?

12 A. Yeah, the Hardy 36 Number 1 is mapped at 3295
13 subsea vertical depth.

14 Q. Okay, so that lower portion of the green?

15 A. Yeah, the base of the green is the oil-water
16 contact.

17 Q. Now, you didn't have the Tubb tested -- The Tubb
18 was tested in the Number 3 well, but not the 6 -- I mean
19 not the 7 or 1; is that correct?

20 A. That's correct. We have not opened the Tubb in
21 either of those other two wellbores.

22 Q. Now, which test came first? The Number 1 or
23 Number 3 well in the Drinkard?

24 A. In the Drinkard, the Number 3.

25 Q. And how much longer was it that the Drinkard in

1 the Number 1 was tested?

2 A. How long was it after?

3 Q. Right.

4 A. It was a matter of a few months. We tested the
5 Drinkard in Number 3 first in -- I would say around mid of
6 1994, and we've tested the Drinkard in the Hardy 36 Number
7 1 after that time. I don't have exact dates.

8 Q. Okay. Were those perforations squeezed at that
9 point in the Number 1?

10 A. No, the Drinkard perforations are open presently
11 for production in Number 1.

12 Q. I thought you said it was presently producing on
13 the Simpson.

14 A. Well, it is. It's a dual completion.

15 Q. Oh, dual, okay.

16 Have you been in contact with our geologist in
17 the Hobbs District Office, Mr. Paul Kautz, concerning this
18 matter?

19 A. Yes, I have.

20 Q. And I was curious why you didn't go through the
21 regular nomenclature procedure, other than just getting the
22 10,000-to-1 GOR.

23 A. Well, that -- I guess the purpose of coming to
24 hearing was primarily to get the special pool rule.

25 Q. For the 10,000 to 1?

1 MR. KELLAHIN: That's right, Mr. Examiner. We
2 could have gone either way, and it was our choice, I guess,
3 to ask that you consider not only the GOR but the creation
4 of a pool.

5 However, we do have a letter approved by Mr.
6 Sexton as to the District's position with regards to this
7 combination --

8 EXAMINER STOGNER: Have you got that included?

9 MR. KELLAHIN: Yes, sir, it's coming up.

10 EXAMINER STOGNER: Okay, I'll wait till that,
11 then.

12 Q. (By Examiner Stogner) When Conoco drilled those
13 Hardy wells, what was its primary objective?

14 A. The primary objective in the Number 1 was to test
15 the Ellenburger and Simpson prospects. We had recognized
16 that all along potential for multiple producing horizons on
17 the lease.

18 Q. So that well was essentially -- well, in mind to
19 check all the formations --

20 A. That's correct.

21 Q. -- that you suggested in your Exhibit Number 1?

22 A. That's right.

23 EXAMINER STOGNER: I have no other questions for
24 the geologist at this time. I may later on after I hear --

25 MR. KELLAHIN: All right, sir.

1 EXAMINER STOGNER: -- the testimony of the other
2 witness.

3 MR. KELLAHIN: All right. Then at this time, Mr.
4 Examiner, we'll call Mr. Barrett.

5 (Off the record)

6 MR. KELLAHIN: We would call, Mr. Examiner,
7 Damian Barrett. Mr. Barrett is a petroleum engineer.

8 DAMIAN G. BARRETT,
9 the witness herein, after having been first duly sworn upon
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. KELLAHIN:

13 Q. For the record, sir, please state your name and
14 occupation.

15 A. Damian Barrett. I'm a reservoir engineer for
16 Conoco.

17 Q. Mr. Barrett, you've testified before the Division
18 in a prior hearing. It had to do with the Warren
19 properties to the east of this particular location, did it
20 not?

21 A. Yes.

22 Q. In addition, you are continuing your engineering
23 responsibilities for your company and you have made an
24 engineering study of the performance of these Hardy State
25 wells?

1 A. Yes, I have.

2 Q. And based upon that study, you now have
3 engineering conclusions about establishing some regulatory
4 rules for the management of that resource?

5 A. Yes, I do.

6 MR. KELLAHIN: We tender Mr. Barrett as an expert
7 petroleum engineer.

8 EXAMINER STOGNER: Mr. Barrett is so qualified.

9 Q. (By Mr. Kellahin) Let's talk about how you and
10 Mr. Nelson have decided you would like to go about
11 developing the Hardy State properties.

12 You've got the log of the Hardy State 1 well that
13 shows potentially 10 different zones that can be produced
14 in this immediate area. You've already set in motion
15 combining the Ellenburger and Simpson as one pool.

16 Have you met with the District Office, Mr.
17 Sexton's geologist, Mr. Kautz, and the combination of the
18 Ellenburger and the Simpson is a combination that's
19 acceptable to the District?

20 A. Yes, we have.

21 Q. All right. When we come back up to the Tubb and
22 the Drinkard what choice have you made about that resource?

23 A. The same in combining the Tubb and the Drinkard.

24 Q. What do you see to be the benefit of doing so?

25 A. The benefit of combining the Tubb and the

1 Drinkard is, the Drinkard looks to be marginal and
2 uneconomic to produce by itself, and we need to produce it
3 with the Tubb.

4 Q. All right. You've run various economic scenarios
5 which we'll see in a moment. It goes through the process
6 of looking at single completions, dual completions and what
7 amounts to the equivalent of downhole commingling of the
8 Drinkard and the Tubb?

9 A. Yes, I have.

10 Q. And the only viable economic one is the
11 combination of those two pools -- or formations into one
12 pool?

13 A. Correct.

14 Q. All right. Let's look at Exhibit 7, then, and
15 show us what your plan of development is going to be.

16 A. Okay, in Exhibit 7, this is the development plan
17 for each 40-acre unit.

18 What we have seen so far in the Number 1, the
19 type log that you've seen already, is that the Ellenburger,
20 we have tested that, and it has good potential for some
21 production. The Simpson, we are producing it currently.

22 We right now are testing the Strawn in our Number
23 7 well. We will test the Abo next in our Number 7 well.
24 And that's one potential development scenario that we have,
25 is a dual that we would combine all four of those

1 formations. So that's number one in this exhibit.

2 Then number two, we have already -- we are
3 producing the Drinkard and we are also producing the Tubb.
4 We have yet to test the Blinebry and the Glorieta. We have
5 -- It was mentioned, I worked the Warren unit also. We
6 have a commercial discovery on the Warren unit and the
7 Glorieta, and it looks equally as commercial here. So that
8 would be -- number two would be our next development
9 scenario for another wellbore, and that would be a dual
10 wellbore.

11 The third would be a San Andres test, again, on
12 the Warren unit; we're testing that right now. And then
13 there's also the Grayburg, so that would be another
14 wellbore.

15 Then we already have existing Lynx wellbores
16 there in the Eumont.

17 Q. Well, the challenge for you as an engineer, then,
18 is to figure out how you can maximize recovery of
19 hydrocarbons from all these multiple zones with the fewest
20 number of wellbores?

21 A. Correct.

22 Q. All right. The plan, then, insofar as the
23 Drinkard-Tubb goes, is to see if they will be combined into
24 one pool?

25 A. Correct.

1 Q. What is your engineering conclusion about
2 combining those two as one pool? Any problem?

3 A. No.

4 Q. Do you see any opportunity for waste?

5 A. If we don't combine the Tubb and the Drinkard, I
6 see opportunity for waste.

7 Q. All right. Let's see what's happened in some of
8 the other similar type reservoirs in this area when it
9 comes to the Tubb production.

10 If you'll look at Exhibit 8, first of all tell us
11 how to read the display, and then show us the conclusions.

12 A. Do you have Number 8 as the Tubb or the Drinkard?

13 Q. I have -- Okay, 8 is Drinkard?

14 A. Okay.

15 Q. All right, I'm the only one that's got it
16 different. I'm sorry, 8 is the Drinkard. Let's look at
17 that.

18 A. Okay, what we have here is a probability plot
19 that has the different pools that Mr. Nelson talked about
20 earlier on his structure maps. And what this is showing is
21 each of those pools, their cumulative GORs and how they
22 trend for the different wellbores that are in those pools.

23 And you can see on the 50-percent probability
24 line, that is what a typical well would be in these pools.
25 And there's a vertical line on the plot as well at the

1 10,000 GOR point, and those two would intersect, showing
2 that a typical well is typically producing at a 10,000-to-1
3 GOR.

4 Q. So what's the issue? Statewide rule start you
5 off at 2000 to 1?

6 A. Correct?

7 Q. Why is that a problem?

8 A. We're just showing that most of them are
9 producing at a 10,000-to-1 GOR and that a 2000-to-1 GOR is
10 too low.

11 Q. So when we see data subsequently that the
12 performance in the Hardy State area shows gas-oil ratios
13 higher than 2000 to 1, it's no surprise --

14 A. Correct.

15 Q. -- that we're seeing Drinkard production in this
16 area that on average is in this 10,000-to-1 rate?

17 A. That's right.

18 Q. All right. What do we look at when we see the
19 Tubb production in terms of analogous GORs, Exhibit 9?

20 A. On Exhibit 9, showing the Tubb production, you
21 have basically the same kind of results, again, showing the
22 similarity of these two pools on these different leases, or
23 in these different pools, and how again their GORs for a
24 typical well is in the 10,000-to-1 GOR range.

25 Q. What kind of reservoir are we dealing with in

1 terms of drive mechanism?

2 A. These are solution gas drive reservoirs.

3 Q. As to both the Drinkard and the Tubb?

4 A. Correct.

5 Q. Okay. You've said the Tubb Oil Gas Pool is a gas
6 reservoir. What do you mean?

7 A. That is the data that is on there that is in the
8 red, and with that you see that typically those GORs are a
9 little bit higher, and that is because it is a gas
10 reservoir, more of a gas reservoir.

11 Q. All right. One of the things I think you as an
12 engineer look at is to see if there's a relationship
13 between high GOR and structural position in the reservoir.
14 Have you examined that?

15 A. Yes, I have.

16 Q. What's your conclusion?

17 A. If I can refer you to Exhibit Number 10, I have
18 several of those instances listed here, and I find that the
19 reservoirs are highly variable with regards to structure
20 and GOR.

21 You can find a well high on structure that has
22 either a high GOR or a low GOR in either situation.

23 Q. So what does that tell you as an engineer?

24 A. That you can't always be certain that all of your
25 wells are going to have the same GOR, depending on where

1 they're located structurally.

2 Q. Okay. It also tells you, does it not, that you
3 don't have a classic gas cap in your reservoir where you
4 need to manage, if you will, the gas withdrawals, because
5 that high gas production is at the top of the structure?

6 A. That's correct.

7 Q. Okay. You don't see that kind of creature here
8 then?

9 A. That's right.

10 Q. All right. Exhibit 11, what is this?

11 A. Exhibit 11 is the economics that I've run on
12 these different scenarios for the Hardy 36 State lease. I
13 have used the actual results that we've received from these
14 wells that we've opened up in these different zones and
15 have run economics on those rates showing for a Tubb single
16 \$913,000 net present value to drill and complete that well;
17 for a Drinkard single it has a negative \$156,000 net
18 present value.

19 Dualing the two zones, you have \$872,000 net
20 present value.

21 When you combine both the Tubb and the Drinkard
22 into a single wellbore, you have the highest net present
23 value, \$1.2-million net present value.

24 Q. The Drinkard by itself is not a good idea?

25 A. Correct.

1 Q. It's a negative number. And to combine the two
2 as a single completion, then, provides the best economic
3 incentive?

4 A. That's correct.

5 Q. Apart from the economics, do you see any
6 reservoir condition that should preclude the commingling or
7 the combination of the two intervals into one pool?

8 A. No, I don't.

9 Q. All right. Let's look at Exhibit 12. What are
10 you displaying here?

11 A. On Exhibit 12 I have PVT analysis and
12 comparisons. What I've done here -- This is primarily to
13 show that all of these reservoirs, as well as offsetting
14 reservoirs in these pools, are a solution gas drive.

15 Their original pressures are all similar, within
16 a range from 2600 pounds to 2700 pounds, roughly. Bubble-
17 point pressures are in a range of 2300 to 2600 pounds.
18 Initial GORs are all similar, within a range of 900 to
19 1100. And gravities are also within a similar range of 38
20 to 40 degrees.

21 Q. Okay, what's the point?

22 A. Well, the point -- There's a couple points here.
23 On the Hardy we have taken these pressures, they are
24 showing original reservoir pressure, which we know the
25 offsetting pools are not at original reservoir pressure, so

1 again showing isolation.

2 The other point is that solution gas drive --
3 with a solution gas drive reservoir, you can go ahead and
4 produce them at a higher GOR, and you're not going to waste
5 any of your reservoir fluids.

6 And again, this is to show that there are similar
7 reservoirs, that we're all looking at similar reservoirs.

8 Q. In order to forecast what your Hardy State wells
9 are going to do, how they're going to perform, have you
10 looked for an analogy in this area to find what you would
11 characterize to be a typical Drinkard-Tubb well so you
12 could see what that well does over the life at least of
13 enough performance so you can forecast something?

14 A. Yes, I have.

15 Q. All right, let's look at Exhibit 13. It's
16 identified as the Britt B 10 Tubb?

17 A. Correct.

18 Q. What does that mean?

19 A. This is primarily looking at the Tubb formation,
20 and this well was drilled in the middle of 1960, and this
21 is the analogy well. It was drilled right after the
22 discovery Britt well.

23 Q. And where is this well going to be located?

24 A. This well is located -- you can -- in the
25 Monument Tubb Pool. It's also evident on the structure map

1 that was shown earlier. I also have the PVT analysis on
2 the previous slide.

3 Q. All right. So when we look at the Britt 10 well,
4 that's Tubb production, and you want to see what that well
5 has done so you can have some idea of at least how the Tubb
6 would perform on the Hardy State wells?

7 A. That's correct.

8 Q. All right. Let's look at 13 and have you tell us
9 what's happened with the Britt 10.

10 A. Okay, with the Britt 10, again, this was right in
11 conjunction with the discovery well. It was brought on as
12 an allowable oil well of 61 barrels a day, and you can see
13 that production was steady. That is in the top part of the
14 chart.

15 The middle part of the chart is the gas-oil
16 ratio, and you can see that increasing about 22 months
17 after it was first brought on line to roughly a 5000-to-1
18 GOR.

19 And then in the bottom part of the chart you can
20 see the bottomhole pressures. At the same point in time
21 that the GOR increased to about 5000 to 1, the bubble-point
22 pressure was reached in the reservoir. So we had dropped
23 below the bubble-point pressure, which that's an indication
24 that you again have a solution gas drive reservoir and that
25 your GOR is going to increase.

1 Q. Okay. With this analogy in mind let's look at
2 the test information on Exhibit 14 for the Hardy State
3 wells.

4 A. All right.

5 Q. Turn to that display, and let's talk about the
6 Number 3 well first.

7 A. Okay. On the Number 3 well, we have the Drinkard
8 formation that we tested earlier on. More marginal rates.
9 We made a lot of water on that well because we perforated
10 it below the oil-water contact there. We had a reasonably
11 high GOR, 4700 GOR, on that well.

12 The Tubb, we then came up and tested the Tubb and
13 have -- This is where we're asking for our discovery
14 allowable. It's currently making 184 barrels of oil per
15 day, 208 MCF, with an 1100 GOR. And again, the bottomhole
16 pressure is showing that that's original reservoir
17 pressure, or virgin reservoir pressure.

18 Q. Okay, and then drop down and look at the Number 1
19 well. That's your Drinkard test?

20 A. Correct.

21 Q. And what did it do?

22 A. It made 6 barrels of oil per day, 336 MCF, 4 of
23 water, with a GOR of 56,000, which is quite high. Again,
24 virgin reservoir pressure on the bottomhole pressure.

25 Q. All right. If you'll pull out Exhibit 12 again,

1 and let's make some comparisons between Exhibit 12 and
2 Exhibit 14. First of all, on Exhibit 14 when you look at
3 both the 3 and the 1 well as to the Drinkard production,
4 that really is marginal, if you will?

5 A. Correct.

6 Q. That's not going to be your primary zone of
7 recovery?

8 A. That's right.

9 Q. When you look at the Tubb production, you're
10 already looking at producing gas-oil ratios that are
11 significantly higher than 2000 to 1, right? On the
12 Drinkard?

13 A. Yes, on the Drinkard.

14 Q. All right. When you look on Exhibit 12 and find
15 the original pressure plus the bubble-point pressure, where
16 are we in the Drinkard in terms of approaching the bubble
17 point of the reservoir?

18 A. We're very close to that.

19 Q. All right. As soon as the Drinkard production in
20 either or both of these wells hits that bubble point, what
21 happens to the GOR?

22 A. The GOR increases.

23 Q. It's going to take off, isn't it? It's going up?

24 A. That's right.

25 Q. All right. So you've got that problem to deal

1 with?

2 A. That's right.

3 Q. Now let's take a look at the Tubb. Where were
4 you in the Tubb? You are still producing above the bubble
5 point at this time?

6 A. That's correct.

7 Q. And that producing GOR is what? 1000, 1100 to 1?

8 A. Correct.

9 Q. All right. The original pressure in the Tubb, in
10 the Hardy State Number 3, is 2652, and the bubble point is
11 2530. So how long is it going to take you before you hit
12 bubble point in the Number 3 well and the gas-oil ratio
13 climbs for the Tubb production?

14 A. From my estimates, we've got about four more
15 months before that happens.

16 Q. All right. Once that happens, what do you
17 forecast to be the appropriate gas-oil ratio at which to
18 produce the pool?

19 A. At that point in time, from our Exhibit Number
20 13, they were showing a 5000-to-1 GOR for just the Tubb
21 alone at that point in time.

22 If you combine the Drinkard, which has a high GOR
23 also, you could be approaching close to 10,000-to-1 GOR,
24 even at that point in time.

25 Q. At this point in time, for the Hardy State wells,

1 if we combine the Tubb and the Drinkard, what's your
2 expectation of the gas-oil ratio now?

3 A. Right now, it's at about 4000 to 1.

4 Q. All right. And then in another four to six,
5 maybe eight months, you're going to be up to 10,000 to 1?

6 A. That's right.

7 Q. And that's why you're asking for 10,000 to 1 now?

8 A. That's correct.

9 Q. Does the increased GOR have anything to do with
10 increasing the oil recovery?

11 A. Yes, it does.

12 Q. Describe for us how that might happen.

13 Q. Well, what we've seen so far is that typically
14 whenever we have to pinch back on a well to keep it below
15 its limiting GOR, that we drop oil production in that
16 process.

17 Q. Okay. Let's turn to the calculation of the
18 discovery allowable for the Number 3 well. If you'll look
19 at Exhibit 15, let's have you quickly go through that
20 calculation.

21 A. Okay, that calculation is 5 barrels of oil per
22 day for every foot of depth, times the depth to the top
23 perforation, divided by 730 days. That quantity is in
24 addition to the depth allowable.

25 We've got a top perf of 6423, a depth allowable

1 of 142 barrels a day, and that calculation gives us 186
2 barrels of oil per day.

3 Q. Does the Hardy State 3 well have the capacity to
4 produce in excess of the top 40-acre allowable of 142
5 barrels a day?

6 A. Yes, it does.

7 Q. All right, so it could enjoy or benefit from the
8 discovery allowable?

9 A. Yes, it could.

10 Q. All right, let's go on to Exhibit 16. What's the
11 purpose of this exhibit?

12 A. The purpose of this exhibit is -- To obtain the
13 discovery allowable, you need to make sure that the mixing
14 of the different gravity oils does not cause a deduct. So
15 I've run through those calculations and have found that
16 there is no deduct when we combine these two oils.

17 Q. All right, sir, let's look at Exhibit 17.
18 Identify and describe what you're showing here.

19 A. This is a water analysis compatibility, taking
20 water analysis on both the Tubb water and the Drinkard
21 water, and checked them for a scaling tendency in different
22 ratios of waters, and have found that there is basically no
23 scaling tendency with these waters.

24 Q. You've gone out, investigated and looked for
25 possible problems as an engineer that would preclude the

1 combination, and you simply don't find any reason to
2 preclude the combination of the two formations?

3 A. That's correct.

4 Q. Let's turn now to the subject we've touched on
5 several times, and that is the position of the District
6 Office of the Oil Conservation Division under the direction
7 of the supervisor, Mr. Sexton.

8 Without reading the letter, tell us what the
9 letter purports to say, and then the second page is Mr.
10 Sexton's signature underneath Mr. Hoover's signature.

11 A. Okay. In November, Mr. Nelson and myself and Mr.
12 Hoover went to talk to Mr. Sexton and Mr. Kautz to ask them
13 about the creation of a new pool combining the Tubb-
14 Drinkard on the Hardy lease, as well as the possibility of
15 obtaining the discovery allowable, and also to create a new
16 pool, which combines the Simpson and the Ellenburger
17 formations.

18 Q. All right. The combination of the Simpson and
19 the Ellenburger is taking a different regulatory-processing
20 route, but there is approval from the District to let that
21 happen, I believe, through their nomenclature proceedings?

22 A. Correct.

23 Q. And the starting date for the discovery oil
24 allowable credits for the Hardy State 3 well is to be what
25 date, Mr. Nelson -- I mean, Mr. Barrett?

1 A. August 19th, 1994.

2 Q. All right. And you and Mr. Nelson described the
3 combination of the Tubb and Drinkard for Mr. Kautz and Mr.
4 Sexton, and we have their agreement as to that?

5 A. Yes, we do.

6 Q. Did they express any objection to establishing a
7 gas-oil ratio of 10,000 to 1?

8 A. No, they didn't.

9 Q. All right. Let's look at the parties that
10 received notification of this proceeding. If you'll turn
11 to 19, describe for us what that shows.

12 A. This is a map showing the Hardy 36 State lease in
13 the middle, with the stippled area showing where we propose
14 this pool to include, and it also shows the offsetting
15 operators within the mile radius of that area.

16 Q. Based upon that information, was notification of
17 this Application sent to all those interest owners?

18 A. Yes, it was.

19 Q. And on Exhibit 20, do we have a list of the names
20 and addresses of those companies, stapled to that, then,
21 the copies of the green return receipt cards?

22 A. Yes, we do.

23 Q. Are you aware of any opposition to having the
24 Division approve this Application?

25 A. No, I do not.

1 MR. KELLAHIN: That concludes my examination of
2 Mr. Barrett.

3 We move the introduction of his Exhibits 7
4 through 20.

5 EXAMINER STOGNER: Exhibits 7 through 20 will be
6 admitted into evidence.

7 EXAMINATION

8 BY EXAMINER STOGNER:

9 Q. Mr. Barrett, looking at Exhibit Number 15, top
10 perforation of 6423, I hate to be nit-picky but is that
11 from the Kelly bushing, or is that from ground level?

12 A. That is from ground level.

13 Q. And what is significant about the August 19th
14 date?

15 A. That's the date of first production from the Tubb
16 formation.

17 Q. In the -- In which well?

18 A. In the Number 3 well.

19 Q. In the Number 3 well.

20 This is a lot of information to assimilate
21 through here in such a short time. Bear with me.

22 A. Sure.

23 Q. And it could be assumed what you're showing me on
24 that Exhibit Number 9 and your Exhibit Number 8, cumulative
25 GOR, and also there was a couple of maps presented earlier,

1 Exhibit 2 and 3, kind of a similarity of what other pools'
2 GOR limit is at 10,000 to 1 in this particular area in
3 either the Tubb and/or Drinkard, with a typical well having
4 a 10,000-to-1 GOR; is that correct?

5 A. That's correct.

6 Q. And that has been the set GOR in, essentially, a
7 bunch of the surrounding pools?

8 A. That's correct.

9 Q. And how about the special pool rules for the GOR?
10 What would be the established date for that?

11 A. The same, August 19th.

12 Q. August 19th. So you want the whole special rules
13 retroactive back to August 19th?

14 A. That's correct.

15 Q. And if that wasn't done, what would be the --
16 what would be the outcome?

17 A. If it weren't done we would basically discontinue
18 development of the Drinkard at this time, and there would
19 be waste.

20 Q. If you wouldn't get retroactive --

21 A. Oh, I'm sorry, different question.

22 Q. That's pretty --

23 A. Yeah, I'm sorry.

24 MR. KELLAHIN: You're going to be subject to
25 shut-in --

1 THE WITNESS: Yeah --

2 MR. KELLAHIN: -- or curtailment, aren't you?

3 THE WITNESS: -- right, we will be, we will be
4 curtailing.

5 Q. (By Examiner Stogner) Just the Number 3 well?

6 A. Also the Number 1 well.

7 Q. Okay. Now, the Number 7 has not been perforated
8 in the Tubb-Drinkard interval, has it?

9 A. Not yet.

10 Q. Okay.

11 A. We're just now working on the Strawn in that
12 wellbore.

13 EXAMINER STOGNER: I have no other questions of
14 the other witness at this time.

15 MR. KELLAHIN: All right, sir.

16 EXAMINER STOGNER: Mr. Kellahin, I will -- Let me
17 see, I have my plate kind of full. Could you provide me a
18 rough draft order?

19 MR. KELLAHIN: I'd be happy to, Mr. Examiner,
20 certainly.

21 EXAMINER STOGNER: And with that, I'll take Case
22 Number 11,169 under advisement.

23 (Thereupon, these proceedings were concluded at
24 4:52 p.m.)

25 * * *

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
 COUNTY OF SANTA FE)


I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 28th, 1994.


 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 11169, heard by me on 15 December, 1994.

 _____, Examiner
 Oil Conservation Division