

## NEW MEXICO OIL CONSERVATION COMMISSION

## EXAMINER HEARING


SANTA FE, NEW MEXICOHearing Date MAY 4, 1995 Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Maurice Trimmer	R.W. Bysam	SF
Shane Lough	Maralo	Midland, TX
SCOTT ELKINGTON	TEXACO	MIDLAND, TX
Charles Sadler	Texaco	Midland, TX
Joe Clement	Great Western Oil Co.	Lovington, NM
Russell Richards	Great Western Drilling	Midland, TX
SCOTT HALL	MILLER LAW FIRM	SF
William F. Sam	Sampbell, Sam & Sons	Santa Fe
James Bruce	Hickley Law Firm	SF
John Kellerman	Kellerman & Kellerman	Santa Fe
Bill Duncan	Exxon	Midland
George Vaughn	DALEN	Dallas
JOE B THOMAS	Exxon Company USA	Midland
James Anderson	Dalen Co.	Dallas, TX
Lon Maynew	Exxon	Midland

## STATE OF NEW MEXICO

## ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

## OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING )  
 CALLED BY THE OIL CONSERVATION )  
 DIVISION FOR THE PURPOSE OF )  
 CONSIDERING: )

CASE NO. 11,191

APPLICATION OF GREAT WESTERN )  
 DRILLING COMPANY )

**ORIGINAL**

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

May 4th, 1995

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, May 4th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
 (505) 989-9317

## I N D E X

May 4th, 1995  
 Examiner Hearing  
 CASE NO. 11,191

	PAGE
APPLICANT'S WITNESSES:	
<u>RUSSELL RICHARDS</u> (Geologist)	
Direct Examination by Mr. Kellahin	4
Examination by Examiner Catanach	13
<u>JOE CLEMENT</u> (Engineer)	
Direct Examination by Mr. Kellahin	16
REPORTER'S CERTIFICATE	20

\* \* \*

## E X H I B I T S

	Identified	Admitted
Exhibit 1	5	13
Exhibit 2	5	13
Exhibit 3	9	13
Exhibit 4	9	13
Exhibit 5	5	-

\* \* \*

## A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
 117 N. Guadalupe  
 P.O. Box 2265  
 Santa Fe, New Mexico 87504-2265  
 By: W. THOMAS KELLAHIN

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 8:15 a.m.:

3 EXAMINER CATANACH: Call the hearing to order  
4 this morning for Docket Number 13-95.

5 (Off the record)

6 EXAMINER CATANACH: At this time I'll call Case  
7 11,191, which is the Application of Great Western Drilling  
8 Company for an unorthodox gas well location, Lea County,  
9 New Mexico.

10 Are there appearances in this case?

11 MR. KELLAHIN: Good morning, Mr. Examiner. I'm  
12 Tom Kellahin of the Santa Fe law firm of Kellahin and  
13 Kellahin, appearing today on behalf of the Applicant, and I  
14 have two witnesses to be sworn.

15 EXAMINER CATANACH: Any additional appearances?

16 Will the two witnesses stand and be sworn in at  
17 this time?

18 (Thereupon, the witnesses were sworn.)

19 MR. KELLAHIN: Mr. Examiner, the purpose of our  
20 Application this morning is to seek approval to produce the  
21 Morrow formation in an existing wellbore.

22 This well was drilled in 1982 to test another  
23 formation. Subsequently it was deepened, and the operator  
24 now wants to go back into the Morrow zone where they have  
25 some initial production tests and complete it for

1 production out of the Morrow formation.

2 And we intend to present to you some geologic  
3 information and some reservoir production information to  
4 justify the location.

5 My first witness is Mr. Russell Richards. Mr.  
6 Richards is a petroleum geologist.

7 RUSSELL RICHARDS,  
8 the witness herein, after having been first duly sworn upon  
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. KELLAHIN:

12 Q. For the record, sir, would you please state your  
13 name and occupation?

14 A. Yes, my name is Russell Richards. I'm division  
15 geologist for Great Western Drilling Company.

16 Q. On prior occasions, sir, have you testified  
17 before the Division as a petroleum geologist and had those  
18 qualifications accepted and made a matter of record?

19 A. Yes, I have.

20 Q. As part of your duties for your company as a  
21 petroleum geologist, have you made a geologic investigation  
22 of the geology involved in this particular well?

23 A. Yes, I have.

24 MR. KELLAHIN: We tender Mr. Richards as an  
25 expert petroleum geologist.

1 EXAMINER CATANACH: Mr. Richards is so qualified.

2 Q. (By Mr. Kellahin) Mr. Richards, if you'll turn,  
3 sir, to the first plat that we've marked as Exhibit 1,  
4 let's identify for the benefit of the Examiner the spacing  
5 unit that's proposed to be dedicated to the well and  
6 identify for him where you have spotted the well.

7 A. Okay, the proposed spacing unit for the Glenn  
8 Cleveland Number 1 is the east half of Section 7, 15 South,  
9 35 East.

10 The well is located 1980 feet from the east line  
11 and 660 feet from the south line of that section. That's  
12 unit letter O.

13 Q. Mr. Richards, you'll find in your package of  
14 exhibits that the last item appended in the exhibit package  
15 as Exhibit 5 is a certificate of mailing of notification of  
16 hearing.

17 If you'll take that certificate and compare it to  
18 the details shown on Exhibit 1, please determine for us if  
19 we have notified all the offset operators towards which  
20 this well is unorthodox.

21 A. Yes, we have.

22 Q. Give us a short summary, if you will, Mr.  
23 Richards, of when this well was originally drilled, and at  
24 that point what was the intent of the well?

25 A. If I can call your attention to Exhibit 2, this

1 exhibit is a Wolfcamp production map. Cumulative  
2 production through 12 of 1993 is shown in thousands of  
3 barrels.

4 Prior to Great Western drilling the Glenn  
5 Cleveland Number 1, Great Western was operator of the Town  
6 Number 1, a Wolfcamp oil well. That well is located in  
7 unit letter C of Section 18, 15 South, 35 East. That's a  
8 diagonal southwest offset from the Glenn Cleveland Number  
9 1.

10 That well, at the time the Glenn Cleveland 1 was  
11 to be drilled, had made in excess of 200,000 barrels from  
12 the Wolfcamp. And as you see, to date it has made over  
13 240,000 barrels of oil.

14 The zone in that well was one of the primary  
15 objectives for the drilling of the Glenn Cleveland Number  
16 1. The well was permitted also as a 12,500-foot Strawn  
17 test.

18 Upon reaching that -- Excuse me. The basis of  
19 the Strawn prospect was a seismic anomaly that was shown to  
20 exist under this acreage. There's also tests in a nearby  
21 well in the Strawn to indicate it is a viable objective.

22 Upon reaching the permitted depth of 12,500 feet,  
23 drilling was continued, and the well was subsequently TD'd  
24 at 13,036 feet.

25 Q. Is that a depth sufficient enough to penetrate

1 into the Morrow formation?

2 A. Yes, it does.

3 Q. All right, what then happened?

4 A. At that time an amended C-103 form was filed with  
5 the Commission and was approved, indicating the new  
6 formation TD as well as the drilling data.

7 Q. All right, sir, then what happened?

8 A. The well was -- An attempt to complete the well  
9 was made in the Strawn. It was unsuccessful. The well was  
10 subsequently plugged back to the -- or was subsequently  
11 completed in the Morton Wolfcamp zone, and it had a  
12 cumulative -- that well IP'd for 396 barrels of oil per  
13 day.

14 Great Western subsequently offset it in two  
15 directions, however the cumulative production from that  
16 well ended up being only 29,000 barrels.

17 Q. The cumulative production number of 29,000  
18 barrels of oil was achieved as of what date?

19 A. That well was temporarily abandoned -- excuse me,  
20 let me -- in July of 1991.

21 Q. After 1991, then, what happened to the wellbore?

22 A. The well -- Great Western filed with the  
23 Commission to leave -- for Rule 203 temporary abandonment,  
24 because we knew that there was potential for the Morrow gas  
25 production.



1           However, at that time it was determined that gas  
2     pricing did not justify the recompletion at that time.

3           Q.    At this point, have you re-entered the Morrow  
4     zone to determine if it is productive of Morrow gas?

5           A.    Yes, we have.

6           Q.    And what do you now seek to do?

7           A.    We seek to produce the Morrow in the intervals  
8     that are presently perforated.

9           Q.    And this well would then be at an unorthodox gas  
10    location --

11          A.    That is correct.

12          Q.    -- for a Morrow gas well?

13                As part of your investigation, Mr. Richards, have  
14    you determined what is the closest identifiable pool listed  
15    by the Oil Conservation Division for production out of the  
16    Morrow formation?

17          A.    That pool is the Morton-Morrow Pool.  There's one  
18    well producing from that.  It's located in Section 14 of  
19    Township 15 South, 34 East, approximately two miles from  
20    the Glenn Cleveland Number 1.

21          Q.    To minimize the administrative processing, then,  
22    of this case, do you recommend to the Division that this  
23    well be added to that pool?

24          A.    Yes, I do.

25          Q.    Have you made a study of the geology within the

1 Morrow formation?

2 A. Yes, I have.

3 Q. And as part of that study, have you reduced your  
4 information to a cross-section and a structural map?

5 A. Yes, I have.

6 Q. Let's turn to both those. If you'll unfold your  
7 cross-section, which is Exhibit 4 -- and let's use Exhibit  
8 3, which is the structure map, as a locator -- if you'll  
9 take the line of cross-section shown on Exhibit 3 and then  
10 look at Exhibit 4, which is your A-A' cross-section, start  
11 at A and give us a quick summary of left-to-right on the  
12 cross-section, what you see.

13 A. Okay. Just in summary overall, these are all the  
14 -- seven of the eight wells within the mapped area that  
15 penetrated the Morrow. These are the only -- There are  
16 only eight wells in the mapped area that penetrated the  
17 Morrow.

18 Q. For each of those eight wells, have you located  
19 on the log where existing reported perforations exist in  
20 those wells?

21 A. Yes, I have.

22 Q. And what's the purpose of the red shading on the  
23 porosity side of the log?

24 A. That just directs your attention to porosity  
25 within the Morrow greater than five percent.

1 Q. And when we look at the left side of the log,  
2 there's a color code?

3 A. Yes, I've used three colors -- blue, light blue  
4 and green -- just to indicate how I correlate the  
5 individual units within the Lower Morrow section.

6 Q. Let's go to the log of the subject well, which is  
7 the second from the right.

8 A. That's correct.

9 Q. Describe for us what you see, as a geologist, as  
10 the potential for Morrow gas production within that  
11 wellbore?

12 A. When the well was originally drilled, the DST was  
13 performed across the Morrow. It flowed at a rate of 200  
14 MCF per day, with some slight amount of condensate.  
15 Pressures -- Flowing pressures were 474 pounds on the  
16 initial flow, and increased up to 579 pounds on the final  
17 flow pressure.

18 Shut-in pressures, both initial and final, were  
19 6300-plus pounds. It's -- Indications are that it is  
20 productive, though right at this point in time we think  
21 that it has the potential to produce approximately 300 MCF  
22 per day.

23 Q. Have you investigated to determine whether you  
24 can find horizontal continuity --

25 A. Yes, I have.

1 Q. -- in the pay intervals in your well in relation  
2 to the other wells shown on the cross-section?

3 A. Yes, I have.

4 Q. And what is your conclusion?

5 A. That horizontal continuity is very limited, at  
6 best. As indicated, the porosity develops in several  
7 different sections within the Morrow, and unless you look  
8 at a very gross interval, the porosity basically -- it  
9 develops differently in every well.

10 Q. Let's look at the well immediately to the left,  
11 the J.M. Huber Cabot "Q" State 1, which is in the west half  
12 of the same section.

13 A. Yes.

14 Q. Describe for us what you see in that wellbore  
15 that you don't see in your wellbore.

16 A. I've indicated, based on a microlog show, a five-  
17 foot interval there at approximately 12,790 feet that I  
18 assume has porosity and permeability. That interval  
19 grossly correlates with our interval in -- the interval in  
20 the subject well, from 12,950 to 12,980.

21 However, the porosity develops in a different  
22 part of the section.

23 I don't see that there's continuity between that  
24 wellbore and the subject wellbore.

25 Q. Was the operator of the Cabot "Q" State Number 1

1 well able to achieve commercial gas production out of that  
2 zone?

3 A. There were no tests or attempts at production in  
4 the Morrow from that well.

5 Q. How far do we have to go from your wellbore to  
6 find the first successful completion of gas produced out of  
7 the Morrow?

8 A. That's approximately two miles to the west.

9 That well is the second from the left on the  
10 cross-section. The current operator is K.O. Butler.

11 That well was completed in the Morrow in 1978.  
12 It subsequently made 388 million cubic feet and has a  
13 current daily rate of 49 MCF.

14 Q. What is your conclusion geologically about the  
15 lateral extent of the Morrow interval that you're producing  
16 from?

17 A. My conclusion is that it's very limited, just  
18 based on the indications from the other -- from the other  
19 wells.

20 As I said before, porosity develops  
21 inconsistently within the section and shows very little  
22 continuity from well to well.

23 Q. If you're allowed to produce your well without a  
24 penalty at its proposed unorthodox location, do you see  
25 that you will achieve an unfair advantage over the

1 offsetting correlative rights of other interest owners?

2 A. No, I do not.

3 MR. KELLAHIN: That concludes my examination of  
4 Mr. Richards.

5 We move the introduction of his Exhibits 1  
6 through 4.

7 EXAMINER CATANACH: Exhibits 1 through 4 will be  
8 admitted as evidence.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Richards, in looking at your Exhibit Number  
12 1, can we discuss briefly the offset operator situation?

13 In the west half of Section 7, who operates that?

14 A. That's J.M. Huber.

15 Q. How about in Section 18?

16 A. The north half of 18 is three different owners  
17 relative to the Morrow.

18 In the northwest quarter of Section 18, it's  
19 Texaco.

20 In the northeast of the northeast of Section 18,  
21 that's in -- the 40 acres that's shown as Gulf HBP, that is  
22 currently Chevron.

23 And the balance of the northeast quarter of  
24 Section 18 is Yates Petroleum.

25 Q. Have you had any kind of communication with any

1 of these offset operators?

2 A. They did not respond to our notification  
3 whatsoever.

4 Q. Okay. Did you say that this well was initially  
5 tested in the Morrow, or was it just recently tested?

6 A. It was initially DST'd in the Morrow, yes, when  
7 it was originally drilled.

8 Q. And that's the test shown on your -- the cross-  
9 section?

10 A. That's correct.

11 Q. Okay. Has it been recently tested?

12 A. Yes, it has. It has been production-tested  
13 through the perforations indicated there in the depth  
14 column and below.

15 Q. Is that where you arrived at your 300 MCF a day?

16 A. That's correct.

17 Q. Does it appear that the Morrow is not producible  
18 in the west half of your section, Section 7?

19 A. Yes, based on the one penetration that's located  
20 in the northwest of the southwest of Section 7, that  
21 small -- even if that is valid porosity with permeability,  
22 a five-foot interval would not be productive in any  
23 commercial quantities.

24 I might point also to one other well, the third  
25 well from the left side of the cross-section, the Adobe Oil

1 and Gas Scott 1-Y.

2 That well has indicated porosity, you know, some  
3 of it in excess of, you know, eight to ten percent.  
4 However, both of those zones were DST'd, and they DST'd  
5 basically tight, nonproductive.

6 So porosity, apparent log porosity, is not always  
7 productive.

8 Q. Based on the well control that you have in this  
9 area, is it possible to make a judgment on, say, Section 18  
10 to the south?

11 A. The -- As to the existence of porosity there or  
12 not?

13 Q. Uh-huh.

14 A. Not one that I'm comfortable with, except, you  
15 know, what I see from the well control, that all the  
16 porosity appears to be basically limited in lateral extent.  
17 In other words, I can't correlate it very well from well to  
18 well.

19 So I don't see any indications that they will be  
20 adversely affected.

21 EXAMINER CATANACH: I have nothing further of  
22 this witness.

23 MR. KELLAHIN: All right, sir.

24 Mr. Examiner, at this time we would like to call  
25 our petroleum engineer, Joe Clement.



1                                    JOE CLEMENT,

2       the witness herein, after having been first duly sworn upon  
3       his oath was examined and testified as follows:

4                                    DIRECT EXAMINATION

5       BY MR. KIELLAHIN:

6                Q.     Mr. Clement, for the record would you please  
7       state your name and occupation?

8                A.     Joe Clement, I'm division engineer for Great  
9       Western Drilling Company.

10              Q.     And where do you reside, sir?

11              A.     I reside in Hobbs, New Mexico.

12              Q.     On prior occasions have you testified before the  
13       Oil Conservation Division and had your qualifications as a  
14       petroleum engineer accepted and made a matter of record?

15              A.     No, I have not.

16              Q.     Summarize for us your education.

17              A.     I have a mechanical engineering degree from Texas  
18       Tech University in Lubbock, Texas.

19              Q.     In what year, sir?

20              A.     1980.

21              Q.     And subsequent to that, summarize your employment  
22       experience within the oil and gas industry.

23              A.     Following graduation, I was a remedial engineer  
24       and an equipment engineer for Gulf Oil Corporation, for  
25       approximately three years.

1           Following that, I ran a saltwater disposal system  
2   for a company called Araho, out of Lovington, New Mexico.

3           And since July of 1984 I have been division  
4   engineer for Great Western Drilling. I've been involved in  
5   all aspects of production and drilling operations.

6           Q.   Does this wellbore come within your area of  
7   expertise and responsibility for your company?

8           A.   Yes, it does.

9           MR. KELLAHIN: We tender Mr. Clement as an expert  
10   engineer.

11          EXAMINER CATANACH: Mr. Clement is so qualified.

12          Q.   (By Mr. Kellahin) As part of your duties, have  
13   you examined the well file available at the Hobbs office of  
14   the Oil Conservation Division for this well?

15          A.   Yes, sir, I have.

16          Q.   In addition, have you compared your own company's  
17   information concerning this wellbore?

18          A.   Yes, I have.

19          Q.   And are you currently testing this well for  
20   production out of the Morrow formation?

21          A.   Yes, we are.

22          Q.   Summarize for us what in your opinion is the  
23   likely productivity rates for this well if you're permitted  
24   to produce it out of the Morrow formation.

25          A.   Based on the well testing we've done so far, we

1 did a 24-hour flow test, calculated an absolute open flow,  
2 which was 303 MCF a day.

3 I would expect it to go on line in -- between 200  
4 and 250.

5 Q. Do you have pressure buildup information to give  
6 you an indication of the pressure in the reservoir at this  
7 interval?

8 A. Yes, sir, we do. We did a pressure buildup for  
9 574 hours, and the final bottomhole pressure was 6254  
10 pounds.

11 Q. As a petroleum engineer, what does that pressure  
12 level at depth in the Morrow formation indicate to you?

13 A. That's normal pressure for a Morrow zone.

14 Q. Would that be a pressure reasonably expected in a  
15 Morrow zone that had not been completed?

16 A. Yes, sir.

17 Q. How do you compare that pressure to the low  
18 productivity rate and come up with any engineering  
19 explanation?

20 A. Well, using the pressure buildup data, we  
21 calculated permeability for this zone, and we came up with  
22 a permeability of .04 millidarcies, which is extremely low  
23 permeability.

24 Q. What does that information, plus all the other  
25 information you have examined about this wellbore, indicate

1 to you about the probability that this wellbore would  
2 adversely affect any of the offset operators?

3 A. It would indicate that this seems to be a limited  
4 reservoir and high-pressure, low-volume, due to the limited  
5 permeability.

6 Q. In your opinion, would approval of this  
7 Application without a penalty impair the correlative rights  
8 of any of the offset interest owners?

9 A. No, it would not.

10 MR. KELLAHIN: That concludes my examination of  
11 Mr. Clement.

12 EXAMINER CATANACH: I have no questions of this  
13 witness.

14 MR. KELLAHIN: Mr. Examiner, that concludes our  
15 presentation in this case.

16 EXAMINER CATANACH: Okay, there being nothing  
17 further in this case, Case 11,191 will be taken under  
18 advisement.

19 (Thereupon, these proceedings were concluded at  
20 8:39 a.m.)

21 \* \* \*

22 I do hereby certify that the foregoing is  
23 a correct and true copy of the proceedings in  
24 the examiner hearing of Case No. 11191,  
25 heard by me on May 4 1995.

David R. Catanach, Examiner  
Oil Conservation Division

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  ) ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL, May 12th, 1995.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998