

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARING

SANTA FE, NEW MEXICO

Hearing Date JANUARY 18, 1996 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
Mark McClelland	Conoco	Midland
W. Kellihin	Kellihin - Kellihin	Santa Fe
Jerry Hoover	Conoco	Midland
Tom Staley	Amoco	DENVER
RANDALL CATE	ENRON A+G	MIDLAND
FRANK TOWER	'	'
Tanya Trujillo	Campbell, Carr + Berg	S.F.
Frank Gray	Texaco E & P INC	Midland
James Buer	Humblewin Firm	ST
SCOTT B. DINES	MESA HILL OIL & GAS INMOGA	FARMINGTON

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:)
HEARING CALLED BY THE OIL CONSERVATION)
DIVISION TO AMEND RULE 303.C OF ITS)
GENERAL RULES AND REGULATIONS PERTAINING)
TO DOWNHOLE COMMINGLING)


CASE NO. 11,353

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER
JAMI BAILEY, COMMISSIONER



January 18th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission on Thursday, January 18th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 18th, 1996
 Commission Hearing
 CASE NO. 11,353

	PAGE
EXHIBITS	4
APPEARANCES	5
OPENING STATEMENT	
By Mr. Kellahin	9
NMOGA-CONOCO-MERIDIAN-AMOCO WITNESSES:	
<u>SCOTT B. DAVES</u> (Engineer)	
Direct Examination by Mr. Kellahin	19
Examination by Commissioner Weiss	68
Examination by Commissioner Bailey	85
Examination by Chairman LeMay	91
Further Examination by Commissioner Weiss	97
Examination by Mr. Carroll	100
<u>PAMELA W. STALEY</u> (Engineer)	
Direct Examination by Mr. Kellahin	102
Examination by Commissioner Weiss	127
Examination by Commissioner Bailey	128
Examination by Chairman LeMay	130
Further Examination by Commissioner Weiss	135
<u>MARK McCLELLAND</u> (Engineer)	
Direct Examination by Mr. Kellahin	138
Examination by Commissioner Weiss	150
Examination by Commissioner Bailey	152
Examination by Chairman LeMay	153
Further Examination by Commissioner Weiss	155
Further Examination by Chairman LeMay	155
Examination by Examiner Catanach	156
Further Examination by Commissioner Weiss	157
Further Examination by Chairman LeMay	158

(Continued...)

I N D E X (Continued)

ENRON WITNESS:

RANDALL S. CATE (Engineer)

Direct Examination by Ms. Trujillo	161
Examination by Mr. Kellahin	192
Examination by Commissioner Weiss	197
Examination by Commissioner Bailey	202
Examination by Chairman LeMay	203
REPORTER'S CERTIFICATE	217

* * *

E X H I B I T S

NMOGA-Conoco-Meridian-Amoco

	Identified	Admitted
Exhibit A	13	-

* * *

Meridian	Identified	Admitted
----------	------------	----------

Exhibit 1	21	67
-----------	----	----

* * *

Amoco	Identified	Admitted
-------	------------	----------

Exhibit	104	126
---------	-----	-----

* * *

Conoco	Identified	Admitted
--------	------------	----------

Exhibit	139	150
---------	-----	-----

* * *

Enron	Identified	Admitted
-------	------------	----------

Exhibit 1	164	192
-----------	-----	-----

Exhibit 2	170	192
-----------	-----	-----

Exhibit 3	172	192
-----------	-----	-----

Exhibit 4	175	192
-----------	-----	-----

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

MARGARET CORDOVANO
Assistant General Counsel
Energy, Minerals and Natural Resources Department
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE OIL CONSERVATION DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR NEW MEXICO OIL AND GAS ASSOCIATION; CONOCO, INC.;
MERIDIAN OIL, INC.; AND AMOCO PRODUCTION COMPANY:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR ENRON OIL AND GAS COMPANY:

CAMPBELL, CARR & BERGE, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: TANYA M. TRUJILLO
and
PAUL R. OWEN

(Continued...)

A P P E A R A N C E S (Continued)

FOR POGO PRODUCING COMPANY AND
SANTA FE ENERGY RESOURCE, INC.:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

ALSO PRESENT:

DAVID R. CATANACH
Hearing Examiner
New Mexico Oil Conservation Division
Energy, Minerals and Natural Resources Department
2040 South Pacheco
Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 9:50 a.m.:

3 CHAIRMAN LEMAY: Okay, we shall resume.

4 One small bit of unfinished business here.

5 Fellow Commissioners, you've read the minutes for December
6 14th and 15th, 1995. Do you have any corrections, or do
7 you approve?

8 COMMISSIONER WEISS: I have none.

9 COMMISSIONER BAILEY: I move for approval.

10 CHAIRMAN LEMAY: Thank you. It's been moved. Do
11 you second?

12 COMMISSIONER WEISS: Yes.

13 CHAIRMAN LEMAY: The approval of the minutes as
14 presented, that's been moved and seconded and approved
15 unanimously.

16 We shall now call Case Number 11,353, which is
17 the matter called by the Oil Conservation Division to amend
18 Rule 303.C of its General Rules and Regulations.

19 Appearances in Case 11,353?

20 MR. KELLAHIN: Mr. Chairman, I'm Tom Kellahin of
21 the Santa Fe law firm of Kellahin and Kellahin, appearing
22 on behalf of the New Mexico Oil and Gas Association;
23 Conoco, Inc.; Meridian Oil, Inc.; and Amoco Production
24 Company.

25 MS. TRUJILLO: Mr. Chairman I am Tanya Trujillo

1 from the Santa Fe law firm Campbell, Carr and Berge. I'm
2 appearing today on behalf of Enron Oil and Gas Company.

3 We will have one witness today.

4 CHAIRMAN LEMAY: And how many witnesses, Mr.
5 Kellahin?

6 MR. KELLAHIN: I have three witnesses, Mr.
7 Chairman.

8 CHAIRMAN LEMAY: Okay.

9 MR. CARROLL: Mr. Chairman, Rand Carroll
10 appearing on behalf of the New Mexico Oil Conservation
11 Division.

12 CHAIRMAN LEMAY: How many witnesses, Mr. Carroll?

13 MR. CARROLL: No witnesses.

14 CHAIRMAN LEMAY: No witnesses.

15 MR. BRUCE: Mr. Examiner, Jim Bruce from the
16 Hinkle law firm in Santa Fe, representing Pogo Producing
17 Company and Santa Fe Energy Resources, Inc.

18 I do not have any witnesses.

19 CHAIRMAN LEMAY: Okay. Any other appearances in
20 the case?

21 Those witnesses who will be giving testimony,
22 would you please stand and raise your right hand?

23 (Thereupon, the witnesses were sworn.)

24 CHAIRMAN LEMAY: Mr. Kellahin, you may begin.

25 MR. KELLAHIN: Thank you, Mr. Chairman.

1 Mr. Chairman, this case was placed on the
2 Commission's docket in August 3rd of 1995 for consideration
3 of changes to what we know as Rule 303. It is the
4 statewide downhole commingling rules.

5 As part of that hearing process, members of the
6 industry gathered together, and certain of those industry
7 members formed what I will call an industry committee.
8 That industry committee presented to you some specific
9 requests and then some general ideas for rule changes back
10 then.

11 The initial specific request was to relax the
12 administrative rules by which downhole commingling was
13 processed so that in those spacing units where there was a
14 difference of ownership you would not be compelled to take
15 those to a hearing in the absence of objection.

16 In response to that request the Commission
17 entered an interim order, which I have handed to you, in
18 September of last year, which accomplished just that. The
19 industry appreciates that. It was a meaningful, important
20 change to us. It allowed us to avoid the expense and time
21 of a hearing so that we could continue to process
22 administratively those commingling cases that in fact had
23 differences of ownership in the absence of objection.

24 In addition, it added formally into the rule
25 notification to the State Land Office of commingling. That

1 was a process that had been going on informally, but now it
2 was attached in the rule.

3 As part of that preview back in August, then, we
4 asked the Commission to give us an opportunity to examine
5 and consider other rule changes. As part of that process,
6 the industry committee has examined a number of major
7 issues or items.

8 To help you understand our presentation today, I
9 have organized a prehearing statement that has some length
10 to it. The reason for the length is to give you a
11 checklist of the issues, so that you understand what the
12 industry's request was as to that issue.

13 In addition, as to each item, within the context
14 of that item there's a header that refers to the Division.
15 That is the Division's response to our committee's request
16 for action on a rule change.

17 And so you have before you for policy decision
18 and for deciding on changes for the rule what the industry
19 has suggested, how the Division and the Division staff have
20 responded, and then ultimately, then, you'll be able to
21 decide how this rule is modified.

22 The composition of this technical group is:

23 Mr. Alan Alexander and Scott Daves of Meridian in
24 Farmington. Mr. Daves is going to make the first
25 presentation to you today, and he's going to be focusing on

1 the San Juan Basin.

2 Jerry Hoover and Mark McClelland, with Conoco in
3 Midland. Jerry helped us not only with the San Juan Basin
4 issue, he and Mark have got a specific commingling example
5 for you to see what happens in southeastern New Mexico as
6 to the shallow oil pools.

7 Bill Hawkins and Pam Staley of Amoco in Denver
8 have participated with us, and Ms. Staley has got a
9 presentation with regards to the San Juan Basin.

10 Finally, in January, Randy Cate of Enron joined
11 our technical group, and he's going to present through Ms.
12 Trujillo his presentation with regards to certain
13 additional pools in southeastern New Mexico, which will
14 involve the Delaware, the Bone Springs and the Wolfcamp.

15 To give you a taste of how the committee has gone
16 through the process, we have numbered each of the
17 paragraphs in the prehearing statement, and the first major
18 theme was that in addressing Rule 303 there is a unanimous
19 consensus among the industry that Rule 303 may be broadened
20 in terms of scope.

21 You may remember our earlier discussions that 303
22 was adopted originally by the Commission some almost 30
23 years ago to solve a very basic problem. That basic
24 problem was that there were dually completed wells in
25 southeastern New Mexico which had fallen off, they were

1 getting to the point where they were having to be abandoned
2 unless commingling was allowed, and they went through a
3 special procedure to develop Rule 303, focused on that
4 alone, as a salvage operation for dual wells that now were
5 reaching the end of their productive life.

6 We have found within the last five or six years,
7 particularly in the San Juan Basin, commingling in these
8 older reservoirs becomes a very important decision-making
9 basis for the industry, and we are about to see a great
10 many of commingling applications, not only to replace a
11 dual well, but in terms of an initially new drilled well,
12 which would not be drilled in any other way but as a
13 commingled well.

14 There will be evidence for you to consider that
15 particularly in the San Juan Basin, the Pictured Cliffs,
16 the Mesaverde and the Dakota are all marginal pools and
17 that when you come to that point in the life of the
18 reservoir, operators like Amoco, Meridian and Conoco and
19 others are making choices about further development, based
20 upon whether they can package multiple layers together in a
21 single wellbore and drill it initially.

22 We've had the Division consider these on an
23 areawide basis, and they have done and they have acted
24 accordingly to approve those. We are asking for an
25 administrative procedure within this rule to let the

1 Division, should they chose to do so, process those kinds
2 of cases on an areawide basis. That would be very helpful
3 to the industry.

4 In addition, we're going to hit a number of these
5 numerical standards. One of the numerical standards in 303
6 has to do with a pressure differential. Mr. Daves is going
7 to talk to you about what in his mind is the important
8 regulatory trigger or flag to worry about when you deal
9 with commingling two reservoirs, and he'll have some
10 suggestions to you on that topic, and I would invite you to
11 ask him questions with regards to crossflow, pressure
12 differentials and that component of the rule. So the
13 pressure differential numerical component is one we're
14 asking you to examine.

15 Another part of 303 that has been an incredible
16 impediment to development and to effective production of
17 hydrocarbons is the oil allowable under 303.

18 If you'll look at the order that you issued,
19 attached to the order is a copy of 303 the way it's
20 currently modified, and it's a convenient Exhibit A to look
21 at, it's the first page of Exhibit A.

22 When you look at the tabulation, you will find
23 one of the serious problems the industry has with the rule,
24 and that is, the combined total daily oil production from
25 the commingled zones can't exceed a certain daily rate.

1 And if you'll look down between 6000 and 7000 feet you'll
2 see it's 40 barrels a day.

3 We are consistently finding, and Mr. McClelland
4 will testify, that that rule has been a serious problem for
5 Conoco in certain of their operations. And in fact I think
6 we universally find in the industry that this table is much
7 too restrictive. We're going to ask you to modify this
8 table. There's several choices on how to make that
9 modification.

10 One suggestion will be from Mr. Cate, I believe,
11 as well as others, is that it may be reasonable to
12 substitute for this table a rule that allows the oil
13 production to be equivalent to the depth bracket oil
14 allowable for the shallowest pool being commingled, and
15 that would put the commingled well, then, on a level
16 playing field with single wells in that reservoir. That's
17 one solution.

18 The Division staff has suggested to us, and we
19 certainly endorse their solution, to increase this table.
20 And if you choose to do so, the Division staff has
21 recommended that the table at least be tripled. Tripling
22 the table is substantial relief. That is a serious problem
23 for us with this table, is, it's much too restrictive, it's
24 causing operators to abandon or postpone doing this work
25 because the table is too restrictive.

1 We're going to talk about the new drills. We're
2 going to talk about the economic criteria. This is another
3 policy issue for you in the rule. The rule as it currently
4 exists is based upon this old example, where the Division
5 was looking to allow commingling when there was one zone
6 that was uneconomic.

7 We suggest to you that it is not necessary to
8 have a commingling rule that has an economic criteria to
9 it. If you examine the components of your jurisdiction,
10 which are waste and correlative rights, if you are
11 satisfied in commingling situations that cross-flowed
12 production can be recovered and you can do so without
13 damaging the reservoir and the fluids are compatible, then
14 no waste occurs. If you can properly allocate so that all
15 interest owners in each pool get their fair share of that
16 recovery, then that's what you do to protect correlative
17 rights.

18 There's nothing that we can find in examining
19 this issue that causes us to believe that the regulators
20 should have an economic standard in the rule. And so we
21 ask you to examine that as a policy decision.

22 If you choose to keep it in the rule, we would
23 recommend to you that you modify the language and give us
24 the opportunity to at least demonstrate that only one zone
25 is marginal, and we can discuss marginal versus uneconomic.

1 But we would like some flexibility in the rule so
2 that an operator does not choose to avoid commingling
3 because he sees an economic standard in here. We think
4 there's a way for us to satisfy your concerns if economics
5 is an issue and to substitute a different word. And we'll
6 present solutions for you that Mr. Daves has done on a
7 case-by-case basis before an examiner in the San Juan
8 Basin. And it's nicely presented, and we'll show that to
9 you soon.

10 The other thing that has arisen out of
11 discussions with the Division is the concept of a reference
12 case. And so when the witnesses talk about a reference
13 case, I want to take a moment to explain to you what we are
14 saying.

15 One choice for you is to create a commingling
16 rule that is useful in the San Juan Basin, as well as a
17 separate commingling rule for southeastern New Mexico.

18 You will find that there is a consistent
19 consensus for the operators in the San Juan Basin that
20 downhole commingling is timely at this point for them to
21 continue their operations. You may find that there are
22 selective reservoirs in southeastern New Mexico for which
23 it's also suitable. But you also may find that there are
24 newer pools down there for which you have some concern
25 about letting them have a different set of numerical

1 standards, for example.

2 The Division has suggested a solution which is
3 different than having two sets of rules, which would be to
4 address the commingling rules, such that they are modified
5 on a statewide basis, but to adopt a process where the
6 Division and/or an operator could ask for, in a particular
7 reservoir, or an area, for a reference case, and they will
8 come in like Mr. Daves is about to show you with a
9 reference case. He's going to show you a reference case.

10 His reference case is going to be one where, if
11 he's convincing, you can delete the pressure-
12 differential rule for the pools for which there's a
13 reference case. His example he's going to show you is in
14 the Pictured Cliff, the Dakota and the Mesaverde. He's
15 going to ask you to have findings today that will qualify
16 those three reservoirs in the San Juan Basin as a reference
17 case by which the operator need no longer provide
18 information on pressure differentials and crossflows.

19 All the applicant needs to do to commingle in the
20 San Juan Basin will be to file the application and put the
21 order number for the reference case as to that exception.
22 He will continue to have to satisfy other criteria about
23 the allocation, anything else that the reference case did
24 not address. So that's what we're going to be talking
25 about when you see a reference case, and Mr. Daves has got

1 one for you.

2 The other thing that we have done, and
3 particularly this group, is, they have visited with the
4 Bureau of Land Management, they have gone to all the OCD
5 District Offices, and they have a consensus among the BLM
6 and the OCD people with regards to the adoption of a form.
7 You do not yet have a standardized form for commingling.

8 Mr. Jerry Hoover with Conoco initiated with our
9 input a form. We have a form for you to consider. The
10 form is attached to the prehearing statement. In all
11 instances, we still have to visit with the Land Office
12 about any suggestions they have with regards to the form.
13 But at this point everyone else, we believe, with the
14 exception of the Land Office, has seen and has liked the
15 form. It would standardize the process, it would minimize
16 the paperwork, and everybody would see the form and begin
17 to understand these all with a common vocabulary.

18 You'll have testimony from Mr. Daves about what
19 he thinks are the important regulatory triggers. Fluid
20 compatibility, in his opinion as reservoir engineer, is the
21 key element that requires attention, and he will talk to
22 you about what he means when he talks about fluid
23 compatibilities and commingling examples.

24 I believe that summarizes, Mr. Chairman, what we
25 propose to show you this morning.

1 If there are not questions for clarification, I'm
2 prepared to call Mr. Daves, and we'll start looking at the
3 San Juan Basin.

4 CHAIRMAN LEMAY: Okay, do either of my fellow
5 Commissioners want to ask any question at this point?

6 Okay, well, let's start with the San Juan, Mr.
7 Kellahin.

8 SCOTT B. DAVES,
9 the witness herein, after having been first duly sworn upon
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. KELLAHIN:

13 Q. All right, sir, would you please state your name
14 and occupation?

15 A. My name is Scott Daves. I'm a senior engineer
16 with Meridian Oil in Farmington, New Mexico. I'm a 1987
17 graduate of Colorado School of Mines, and I've been
18 employed with Meridian Oil since I graduated.

19 Q. Mr. Daves, on prior occasions have you qualified
20 before the Division as an expert petroleum engineer?

21 A. Yes, I have.

22 Q. And on prior occasions have you repeatedly
23 testified before the Division on downhole commingling cases
24 in the San Juan Basin?

25 A. Yes, I have.

1 Q. And through your testimony we have developed, on
2 a case-by-case basis, orders that have addressed the
3 commingling of Fruitland Coal gas with Pictured Cliffs gas
4 and other combinations of conventional gas, one with the
5 other?

6 A. Yes, I have.

7 Q. As part of your involvement in this process, have
8 you continued to work with these others in examining all
9 the issues which I described to the Commission just moments
10 ago?

11 A. Yes, I have.

12 MR. KELLAHIN: We tender Mr. Daves as an expert
13 witness.

14 CHAIRMAN LEMAY: His qualifications are
15 acceptable.

16 Q. (By Mr. Kellahin) Let me have you help us set
17 the technical stage, Mr. Daves, with regards to the general
18 issue of commingling and have you take a moment and
19 describe for us what is the opportunity for commingling in
20 the foreseeable future in the San Juan Basin.

21 If you choose to do so, I know you have an
22 exhibit that illustrates that opportunity, and it's found
23 in the summary section of your exhibit book?

24 A. That's correct.

25 Q. All right, let's start there, if you don't mind.

1 A. Sure.

2 Q. If you'll turn to the green book -- We've marked
3 this for the record as Meridian Exhibit 1, and then we'll
4 simply talk of it as Exhibit 1 and look at the various tab
5 sections.

6 Two-thirds of the way back through the book is an
7 orange tab that says "Summary". If you'll turn to this and
8 describe for us what you have concluded to be the
9 opportunity for commingling in the San Juan Basin.

10 A. Okay, I'll do that. First off, in terms of
11 commingling in the San Juan Basin, the map across the room
12 here shows the various types of commingles that have been
13 approved and are currently in production within the San
14 Juan Basin. There are well over 300 now in the San Juan
15 Basin, so there are a fair amount of commingled completions
16 already in the basin.

17 Q. That map is reproduced as the first map behind
18 the "Introduction" tab, is it not?

19 A. Correct.

20 Q. All right.

21 A. Okay, what the numbers on this page represent --
22 I'll back up here.

23 The 319, "number of completions", what that is
24 are single completions in the San Juan Basin from 1990 to
25 1995. While this number may not be exact, the magnitude of

1 it is reflected there. There have been approximately 319
2 completions, single-well completions, in the San Juan
3 Basin, in the Mesaverde, the Pictured Cliffs and the
4 Dakota.

5 There are approximately 6200 undeveloped drill
6 blocks in the San Juan Basin. The San Juan is fairly large
7 in areal extent. There are 6200 undeveloped drill blocks
8 within the San Juan Basin, in the Pictured Cliffs, the
9 Mesaverde and the Dakota.

10 At current rates of development, industry is
11 developing less than one percent per year. So in other
12 words, it's going to take a considerable amount of time to
13 develop the asset that is there, approximately 117 years.

14 Total capital required, I'm going to switch gears
15 here slightly. If we were to be able to commingle these
16 different horizons as we see fit and as the standards
17 apply, it would cost approximately \$1.75 billion in order
18 to complete all of these wells.

19 The reserves developed are significant, almost
20 5 TCF.

21 The royalties at a 12.5 percent rate, that's over
22 \$1 billion in royalties that would be brought in by
23 developing in a commingled nature these reservoirs.

24 The ad valorem and severance taxes, almost a
25 billion dollars there at an 8-percent rate.

1 Operating expenses. And why I put operating
2 expenses in here is, this is the money that would go back
3 into the economy, to the people that operate the wells,
4 people that service the wells, the people that supply parts
5 and equipment to operate the wells.

6 And the income tax amount at a 38 percent is
7 approximately \$1.2 billion dollars in revenues.

8 So it is significant. There is a lot of resource
9 left in the San Juan Basin. The big question is, how can
10 we economically develop that resource and turn it into
11 reserves?

12 Q. How do you foresee that the operators, including
13 Meridian, will go after these additional reserves in the
14 future?

15 A. In a commingled-type situation.

16 Q. Why is that becoming the operators' first choice
17 for new drills?

18 A. Simply a matter of economics in that the various
19 reservoirs themselves are not economic, and I think the
20 numbers in terms of number of completions relative to the
21 number of open drill blocks reflects that. It is not
22 economic to go out and drill stand-alone wells in the San
23 Juan Basin any longer, with few exceptions.

24 Q. Is that economic conclusion applicable to the
25 Pictured Cliff, the Dakota and the Mesaverde?

1 A. Yes, it is.

2 Q. And is that true on a Basinwide area basis?

3 A. I think it is. There are -- There will be rare
4 exceptions. The Mesaverde is -- And the data in that will
5 reflect that, in that section.

6 The Mesaverde is the one formation that probably
7 is economic at this point in time, and I think the activity
8 level within the Mesaverde reflects that economic status.

9 Q. As to the other two reservoirs, though, there is
10 simply no doubt among all of you that those are now
11 marginal reservoirs?

12 A. That's correct.

13 Q. In what particular way is the current Rule 303 a
14 restriction or an unnecessary limitation with regards to
15 encouraging this commingling activity?

16 A. In what ways -- Can you --

17 Q. Yes, sir. In what way does the current Rule 303,
18 in your opinion, need to be modified in order to encourage
19 or provide an incentive by which operators such as Meridian
20 will go forward with these commingling wells?

21 A. Probably the single most important thing is a
22 standard way to go about how we apply for commingles.
23 Typically, in order for a company to drill a well, there's
24 a set of procedures very clearly defined. You fill out a
25 form, you go through that process. What we're asking --

1 and we will present a form that will basically allow us to
2 do that on a one-form basis. That's the first part.

3 The second part is, we have an economic standard
4 out there. Basically a lot of these reservoirs could go
5 past that standard, but there are those exceptions to where
6 you may be pleasantly surprised and find that a zone you
7 thought would be uneconomic is not quite uneconomic. It's
8 still going to be at a marginal level, but it would be
9 economic in and of itself. And that's a rare occasion, but
10 it can happen.

11 A third thing, and probably the most important
12 part, is the pressure standard. The pressure standard --
13 The various reservoirs have differences in pressures that
14 right now with this 50-percent rule, the way that it's
15 stated, you couldn't commingle these wells for a certain
16 period of time. So in other words, you would be delaying a
17 process that probably could go on from the beginning, from
18 this point on.

19 Q. There are two ways to approach the pressure
20 differential, that numerical standard?

21 A. Uh-huh.

22 Q. One is to, in Rule 303, either modify or
23 eliminate it, or otherwise change it?

24 A. Right.

25 Q. Or -- and/or, in a reference case for the San

1 Juan Basin, determine that it's not necessary and can be
2 deleted as to those reservoirs in that area.

3 A. Correct.

4 Q. All right. Describe for us, for the San Juan
5 Basin, why you think the current 50-percent differential is
6 not an appropriate regulatory control to reach any
7 conservation objective?

8 A. Okay, the several pieces that I have that can do
9 that -- the pressure crossflow section in here, in this
10 map, will help me considerably, and these maps over here.

11 Q. Let's talk about the concept. What should we, if
12 we're developing regulatory rules, be worried about in a
13 reservoir with regards to crossflow?

14 A. There's several pieces to that.

15 One is the ability of the gas to flow in and out
16 of the reservoir. That's a key piece to it, and I'll talk
17 about the mathematics here shortly.

18 And also the reservoir also itself, maintaining
19 the integrity of the reservoir. In other words, not
20 creating an unnatural situation in which you allow gas to
21 escape out of the reservoir, either originally or through a
22 crossflow process. In other words, putting more gas into
23 the tank than the tank could possibly hold. It's a simple
24 analogy that would hold in this case.

25 Q. Am I hearing you correctly that if you were the

1 regulator, the issue of crossflow is not the issue for you,
2 is it?

3 A. No.

4 Q. The issue for you is, will the commingling result
5 in formation or reservoir damage?

6 A. Correct.

7 Q. Will the crossflow production ultimately be
8 produced?

9 A. Yes.

10 Q. Without waste?

11 A. Yes.

12 Q. Will you be able to account to the interest
13 owners for their share of that production, even if it's
14 crossflowed?

15 A. Yes.

16 Q. And are the fluids compatible?

17 A. That's the key question in terms of, in the San
18 Juan Basin there are likely exceptions where that is not --
19 where the fluids are not compatible. That needs to be
20 studied on an areawide basis.

21 That is an issue that is probably the single most
22 important issue within crossflow and commingling.

23 Q. All right. Let's set aside the fluid
24 compatibility issue, then, and have you address for us as a
25 reservoir engineer how we satisfy the other concerns with

1 regards to the avoidance of formation damage or the loss of
2 recoverable reserves.

3 A. Okay.

4 Q. How do we do that?

5 A. Essentially -- Can I walk through this exhibit --

6 Q. Well, give me the concept first.

7 A. Okay. Essentially, there are two aspects that
8 define gas flow. One is the resistance of flow through the
9 reservoir and the reservoir parameters, and also the
10 differential of pressure that will go across that
11 resistance. Okay.

12 In other words, you have a tank where the gas is
13 stored and a valve and a choke system which the gas will go
14 across. The ability for that gas to flow is a function of
15 the pressure differential from the tank to the valve, and
16 through the valve, and also the mechanical ability of the
17 valve to allow gas to flow through.

18 And the things you worry about are damaging the
19 valve or damaging the tank, in this case a reservoir and
20 the sand face.

21 Q. Does this 50-percent-pressure-differential rule
22 do anything to address those concerns?

23 A. No, no. It really and truly -- It's too vague a
24 standard, that it doesn't address that. And I can walk
25 through the mathematics and show why that's true.

1 Q. Let's do that.

2 A. Okay.

3 Q. It's under the tab, the blue tab, that says
4 "Pressure/Crossflow"?

5 A. Yes.

6 Q. Is that where you are?

7 A. Right.

8 Q. And you want us to look at the first display
9 behind that tab?

10 A. Right.

11 Q. All right, please continue.

12 A. What we have here is a derivation of Darcy's law
13 that reflects gas flow from a natural gas reservoir. And
14 what it is, is the deliverability equation. And there are
15 numerous variations of this, but this is probably the most
16 applicable for San Juan Basin applications.

17 And what I have done is, I have broken into
18 colors. The orange color is the part of this that -- I'm
19 going to define that term as the constant C. It's exactly
20 the way it's described in that "Slip" slider reference that
21 I have. But what the orange terms are, that is in a sense
22 the choke mechanism or the valve mechanism that controls
23 flow out of the gas reservoir. Okay, this is the piece --
24 and I'll talk about it and how the rules affect that part.

25 Also, the P_r raised to the 2 minus the P_{wf} raised

1 to the 2, raised to the n power, what that is, is that is
2 the mathematical derivation of how gas flows in a reservoir
3 into a wellbore. Okay, it's a standard equation. There
4 are some variations to it, but this is primarily the one
5 that we use to calculate deliverability and estimate
6 production out of a gas reservoir.

7 So talking about the first term, C, what these
8 terms are, the first part, the 0.703, that's just a
9 constant to convert all these units into a term, MCF per
10 day.

11 The h, that's the reservoir thickness. For
12 example, in this case here, the Pictured Cliffs, that h may
13 be 30 feet. Okay. For the Mesaverde, there are several
14 pieces to that reservoir, but it would be the combined
15 thickness of the sands that are flowing gas out of the
16 reservoir and for the Dakota, so this applies to each of
17 those.

18 The k here is the key piece. It's the
19 permeability of -- the average permeability of each of the
20 various reservoirs. Its units are typically in
21 millidarcies in the San Juan Basin.

22 The u on the bottom part here, that's just gas
23 viscosity. The gases within the San Juan Basin are all
24 fairly close, so that u would be basically the same for
25 each of them.

1 The reservoir temperatures are a function of
2 depth, they're not -- they're fairly close.

3 The z , all that is -- These are non-ideal gases,
4 so this adjusts for that fact.

5 And then the natural log times $0.606 r_e$, all that
6 is is the drainage radius of the reservoir, divided by the
7 wellbore radius. It's a simple mathematic term. What that
8 is, that is in a sense mathematically describing the choke
9 function of a reservoir, or the resistance of the reservoir
10 to flow gas, or the ability of a reservoir to flow gas.

11 What I've termed here in green the dP squared,
12 this is the pressure drop through the reservoir to the
13 wellbore, and the way that it's mathematically defined in
14 terms of P_r is the reservoir pressure, and P_{wf} is the
15 wellbore flowing pressure.

16 The n constant, that's the slope of the
17 deliverability curve. It's also typically referred to as a
18 turbulence constant. In the San Juan Basin that number
19 runs anywhere from about .5 to 1.25. For mathematical ease
20 here, we can say that it's one, and that piece will go
21 away.

22 So what you have here, the ability of gas to flow
23 out of the reservoir is equal to the C term, in other
24 words, the resistance of the gas or the ability of the gas
25 to flow out of the reservoir, times the pressure

1 differential within the reservoir to the wellbore.

2 So if you were to put that in terms of a tank of
3 gas --

4 Q. You're ready to turn to the next page?

5 A. Right.

6 Q. All right.

7 A. Turn to the next page. In other words, if you
8 have a tank of gas -- it could be oxygen, it could be
9 natural gas. The tank of gas and the pressure within the
10 tank is the pressure term.

11 And then the C_{PC} here, that is the resistance of
12 flow. You can -- Again, you can analogize to a valve choke
13 mechanism to allow the gas to flow out of the reservoir.

14 So for the San Juan Basin case what I've said is,
15 there's a C_{PC} , a C_{MV} and a C_{DK} . What those are is, that's
16 that term for each of these various reservoirs. In other
17 words, that's the resistance to flow through the various
18 reservoirs.

19 What I have here, a P_{irPC} , that is the original
20 reservoir pressure of the Pictured Cliffs in average. The
21 P_{irMV} , that is the original reservoir pressure of the
22 Mesaverde. The P_{irDK} is the original reservoir pressure of
23 the Dakota. That's the three formations that we show here.

24 Okay, what I have here, the P_{rPC} is equal to 297
25 p.s.i. That's the current average reservoir pressure of

1 the Pictured Cliffs. Same thing for the Mesaverde, the
2 P_{rMV} , that current reservoir pressure is 536 p.s.i. And
3 the P_{rDK} , that is the current reservoir pressure of the
4 Dakota.

5 You can look through here and see that we have
6 drained a considerable amount of gas out of these
7 reservoirs. In other words, we're down to the last part of
8 what's left within these reservoirs in terms of the
9 magnitude of how much gas was there to begin with.

10 Why these original reservoir pressures are
11 important is, that is the ability of that reservoir to
12 store gas that Mother Nature gave it. In other words,
13 that's the standard rating of that tank that Mother Nature
14 allowed it to have. In other words, if it would have been
15 able to hold more gas than that, it would have leaked off.
16 In other words, that's why it got to where it is -- or was,
17 I would say.

18 The reason it is where it is now is because we
19 have been able to flow gas constantly across that choking
20 mechanism so that we've been able to deplete that reservoir
21 and capture those reserves in each of the cases.

22 So in other words, what I'm trying to say here is
23 that Mother Nature has provided us with these standards, we
24 have measured these standards for a considerable period of
25 time, well over 40 years. We know what these numbers are

1 in any -- Can you turn that map over, and we'll look at an
2 example of that?

3 Q. Is this next display, Mr. Daves, also in the
4 exhibit book?

5 A. Yes, it is. It's under the Pictured Cliffs
6 section. It's very -- fairly difficult to really see any
7 detail, but the coloring I'm going to talk about -- and
8 you'll see that in one case -- In this case here, what this
9 is, what this map depicts is, in aggregate, we pulled all
10 the data that we could find within the San Juan Basin to
11 find the boundaries and then evaluated what the reservoir
12 pressures were initially in the San Juan Basin for the
13 reservoir or the tank, the Pictured Cliffs, and that is the
14 tank that we're looking at there.

15 The average reservoir pressure of that was 900
16 p.s.i. As you can see, the blue shading shows a lower
17 pressure, and then the brighter the red or pink, the higher
18 the pressure. So with depth that pressure has increased or
19 was -- you know, proportionally it is higher with depth.

20 But what's important to note here is that we do
21 have a database that's significant enough that we can go
22 into almost any place within the San Juan Basin where
23 productive Pictured Cliff gas is, and we know that what
24 that original reservoir pressure is. We know what Mother
25 Nature provided as a standard for us. It's there, it's

1 mappable and it's observable. You can pick any location
2 within that and go in there and see what that standard is
3 for that reservoir.

4 We also -- if you want to turn the page, Alan --
5 we know what the current status of that tank is now, and
6 you can see that we have a fairly good feel for what the
7 reservoir pressure is for it now.

8 And one of the beautiful mechanisms that over the
9 years that we've developed to track these pressures is our
10 deliverability process, our proration process. We force
11 ourselves to do this. In Colorado they never force
12 themselves to do that, so they never have done it, so it's
13 a guess when you cross the state line. But this state has
14 been wise enough to know how to manage a gas reservoir and
15 we've done that. So now we have the standards as to what
16 it was and now what it is.

17 Okay, we have the same types of maps for both the
18 Mesaverde and the Dakota, so now we have a good feel for
19 what those measurable standards are in terms of what the
20 reservoirs are capable of.

21 Q. Let's take a quick look at the other maps, then.
22 What's the next one you have there, Alan? Is it the
23 Mesaverde?

24 A. Mesaverde.

25 Q. All of these are in the book, they're a little

1 hard to see because the scale is so small. If you'll turn

2 to the Mesaverde, you're going to look at the original
3 reservoir pressures --

4 A. Uh-huh.

5 Q. -- followed by a map that shows current reservoir
6 pressures?

7 A. Current reservoir pressures, right.

8 And the way that you deplete gas out of a gas
9 reservoir is to deplete the pressure. So we have done a
10 fairly reasonable job of depleting these reservoirs,
11 because the Mesaverde is approximately 40 percent of what
12 it was originally. The Pictured Cliffs is approximately 30
13 percent of what it was originally.

14 So in other words, we've pulled these tanks down
15 through a process such that we're in the very tail end of
16 the life of all of these reservoirs.

17 And then -- Go ahead and move on through the
18 Dakota. So now we have a feel for standards with which
19 these tanks should be measured.

20 Okay, and this is the Dakota. In other words, we
21 have a good feel for what the Dakota is and was, and then
22 that's the final -- and what all the dots represent are
23 where there have been commingles. So we have a -- you
24 know, throughout these reservoirs we have indeed commingled
25 them where appropriate.

1 So in other words, now we have some standards and
2 some data that we've defined that define what those maximum
3 parameters probably should be. And in my opinion that is a
4 good minimum standard, and I'll talk about that and give
5 you an example here, refer back to this cartoon.

6 Q. All right, we're going to go back to the blue tab
7 that says "Pressure/Crossflow". We're going to look at the
8 next display.

9 Let me ask you a question here. When we made
10 this presentation to the Division staff in October --

11 A. Uh-huh.

12 Q. -- did you have the conclusion you're now
13 presenting to the Commission available for Division
14 staff --

15 A. No.

16 Q. -- with regards to a solution?

17 A. Not as developed, as I've worked. I've had
18 several more months to work on it.

19 Q. All right. So what we're presenting now is not
20 something the Division saw back in October?

21 A. We presented the maps and the first part of the
22 data within this book, but not this part here.

23 Q. All right.

24 A. Okay.

25 Q. Have you determined whether or not there is any

1 scientific basis for the 50-percent pressure differential
2 rule in the existing 303 rule?

3 A. No, we couldn't find any technical merit for that
4 basis.

5 Q. Let's go to the tanks now.

6 A. Okay.

7 Q. Show us what happens under the current 50-percent
8 rule if you decided hypothetically that you wanted to
9 commingle, let's say, the Dakota with the PC.

10 A. Okay. Under current standards -- You'll notice
11 that the Dakota pressure is 746 and the pressure for the
12 Pictured Cliffs is 290 p.s.i. Under current standards this
13 would not be allowed, you could not commingle these two
14 reservoirs.

15 But now if you look at what the original
16 reservoir pressure of the Pictured Cliffs was, say 900
17 p.s.i., the 746 p.s.i. that the Dakota pressure has -- and
18 understand, these are tight reservoirs -- even if you
19 allowed over a fairly large period of time gas to flow from
20 the Dakota to the Pictured Cliffs, the Pictured Cliffs
21 reservoir itself, or tank in this case, is never going to
22 see that 900 p.s.i.

23 In other words, you would have to fill that tank
24 for a considerable amount of time. Understand, it took
25 almost 50 years to take it from 900 p.s.i. to 297 p.s.i.,

1 and a significant amount of gas was taken out of that
2 reservoir. You would have to allow crossflow to go on for
3 a long period of time before you would ever exceed that
4 900-p.s.i. cap. In other words, you could fill that tank
5 for a long period of time and never break the caprock or
6 break the bottom rock that is associated with these
7 reservoirs.

8 Also what is important is, the 746-p.s.i.-minus-
9 297-p.s.i. pressure drop that you would see across your
10 sand face choke system is not as great as the original 900
11 p.s.i. flowing into the P_{wf} .

12 In other words, when we first started draining
13 this reservoir, the pressure drop across that choke system
14 was never as high -- or was higher than it will ever see
15 again through commingling these reservoirs.

16 Is that clear? Am I making that point where I'm
17 not losing anybody?

18 Q. Let me ask you an example. If the regulatory
19 trigger --

20 A. Uh-huh.

21 Q. -- is that commingling cannot result in a
22 pressure that would exceed the original reservoir pressure
23 in the lowest-pressured reservoir --

24 A. Right.

25 Q. -- that's the way to construct the rule, is it

1 not?

2 A. Right, we have the data, we have the standards
3 that would allow us to do that.

4 Q. The concern, is if you break the lowest-pressure
5 container, then you're going to cause gas to go somewhere
6 else, you might not get it back and you might damage the
7 reservoir?

8 A. Correct.

9 Q. Doing the 50-percent limit accomplishes nothing?

10 A. Right, right, correct.

11 Q. And if it's there to control crossflow, that's
12 not precluding crossflow?

13 A. Right, you could and you would -- If, say, the
14 Pictured Cliffs was within the standards, and you were
15 flowing gas and you shut the well, crossflow would still
16 occur, and it would still be recovered. But you still have
17 a much more efficient standard out there that you could use
18 that is less arbitrary. We know what Mother Nature has
19 provided us.

20 Q. Is this analysis applicable not only to the San
21 Juan Basin but to other reservoirs in the state?

22 A. It would be applicable to typically any two gas
23 reservoirs.

24 Q. So you don't see anything unique about the San
25 Juan Basin that would require this rule to be limited only

1 to the San Juan Basin?

2 A. No, I do not.

3 Q. Okay. Let's skip to another topic now. If the
4 Division deletes the 50-percent differential and uses this
5 original reservoir-pressure limit --

6 A. Right.

7 Q. -- as the control, there will be gas reservoirs
8 with crossflow.

9 Give us an example of how you correctly allocate
10 for that so that all interest owners get their share from
11 the proper reservoir.

12 A. Okay, a good example of how we have approached
13 this in the past is with the Pictured Cliffs-Fruitland Coal
14 commingles. What we've done with those is, we've gone back
15 to the technical standards of the Pictured Cliffs
16 reservoir.

17 In the case of a new drill what we're able to do
18 is drill the well, log the sand, figure out what the
19 porosity parameters are, what the thickness porosity
20 parameters are, what the water-saturation porosity
21 parameters are, measure the reservoir pressure, calculate
22 out a volumetric reserve base, look at offset data, confirm
23 that volumetric data with material balance data.

24 We've been able to get these two numbers to
25 converge to within ten percent to five percent. I mean,

1 the data is fairly accurate and able to calculate out that
2 Pictured Cliff production.

3 What we've been able to do at that point in time
4 is test the Pictured Cliffs in terms of its producibility
5 and also test the Fruitland Coal in terms of its
6 producibility and ratio so that we have a starting point,
7 an initial production rate, calculate the reserves, and
8 then back-calculate a decline. We've done this several
9 different times for the Pictured Cliffs. In fact, Meridian
10 has pretty much used that as its -- where we can, used that
11 as our standard. It's fairly accurate, and I have an
12 example of one of those in the book, the Huerfano 549.

13 Q. We've done this repeatedly --

14 A. Yes.

15 Q. -- before the Division --

16 A. Right.

17 Q. -- and obtained through the hearing process --

18 A. Right.

19 Q. -- approval to do commingling using that
20 allocation system?

21 A. Correct.

22 Q. And it's used by other operators?

23 A. Right, right.

24 And -- You know, and another way to calculate
25 that is, in the case of a Mesaverde-Dakota dual, that you

1 would want to convert to a Mesaverde-Dakota commingle.
2 You've flowed both reservoirs, you have gathered both
3 initial pressure data and deliverability, second-, third-,
4 fourth-, fifth-point data, so now you have a material
5 balance relationship and you have a production
6 relationship, so you can allocate those reserves either
7 based off production ratios or more rigorous material
8 balance method.

9 So we have the methodologies out there at our
10 disposal now and the data to do that.

11 Q. Let's complete the crossflow issue by going to
12 the next display behind --

13 A. Okay.

14 Q. -- the blue tab, and let's talk about your
15 proposed rule change that would give us a numerical
16 standard that's got this scientific basis to it where
17 you're tagging it to the lowest original reservoir
18 pressure.

19 A. Right.

20 Q. Describe for us what you're doing.

21 A. What I have here is, what I'm saying is, the
22 pressure drop through the reservoir is a function of the
23 reservoir pressure, the flowing well pressure, and
24 initially it was a function of the initial reservoir
25 pressure.

1 So when you look at the bottomhole pressure --
2 The way the rule is stated now, the bottomhole pressure of
3 the lower zone is not less than 50 percent of the
4 bottomhole pressure of the higher-pressure zone, adjusted
5 to a common datum.

6 That's -- I mean, there's no technical standard.
7 I understand where the idea of the rule came from, but what
8 I'm proposing here is what a more rigorous approach should
9 be with some standards there to form our basis for this
10 technical recommendation.

11 And what I've put in here in quotes, "The
12 pressure of the **HIGHER** pressure zone **DOES NOT EXCEED** the
13 **ORIGINAL PRESSURE** of the **LOWER** pressure zone adjusted to a
14 common datum."

15 So it's just a change of wording, but it's a more
16 rigorous application of the standards as we would need
17 them.

18 Q. Let's see how this fits with the other controls
19 within the numerical standards. If you'll start at the top
20 of the page --

21 A. Okay.

22 Q. -- there's an existing 303 C b (iii).

23 A. Right, and --

24 Q. You're not going to change that one, right?

25 A. No, the first two rules here, the 303 C b (iii)

1 and (iv), these are wonderful rules. I mean, these are the
2 two rules that probably govern this most, and what I have
3 said is that the ability for gas to flow out of a
4 reservoir, or in and out of a reservoir in the case of a
5 commingle and some crossflow, is a function of these two
6 rules.

7 In other words, these are the rules that really
8 need to be rigorously adhered to through the process of
9 commingling, and they are protecting the reservoir and the
10 ability of the reservoir to move gas in and out of them.

11 Q. When you go down to existing (vi), which is
12 repeated as the third --

13 A. Uh-huh.

14 Q. -- text on this page, that adds nothing to the
15 regulatory control over this issue?

16 A. Right, right.

17 Q. And you would suggest, then, the last setup here
18 where it says "REVISED" --

19 A. Uh-huh.

20 Q. -- that's the last text, and you would suggest
21 that as a substitute for the 50-percent differential rule?

22 A. Right, right, correct. In full gas reservoirs
23 only.

24 Q. All right. Does that complete your discussion on
25 that topic?

1 A. Yes, it does.

2 Q. Let's turn to the economic --

3 A. Okay.

4 Q. -- issue so the Commission can understand the
5 kind of presentation that you have made before the Division
6 within the context of a hearing --

7 A. Right.

8 Q. -- to see how we're addressing decisions with
9 regards to whether a well is marginal or economic with
10 regards to commingling.

11 A. Okay.

12 Q. Where do we look in the book to find that?

13 A. We can start with the Pictured Cliffs tab. Here
14 again, I'm going to walk through a method of determining on
15 a drillblock basis how much gas we can expect in that drill
16 block, in that reservoir, in that tank, and why -- why the
17 process -- and as I go through this, it should become clear
18 why this process of commingling is becoming more and more
19 important to prolong the economic lives and continue
20 economic development of these resources.

21 In the Pictured Cliffs, original shut-in
22 bottomhole pressures, the average pressure was 914 p.s.i.,
23 and through a -- as a function of the gas itself, the Z_i
24 was 0.878. So you get a P/Z relationship of 1041. And
25 I'll walk through what that means here in just a minute.

1 The shut-in bottomhole pressure currently is 285
2 p.s.i., and the P/Z for that is 297 p.s.i. In other words,
3 we only have approximately 31 percent of the original
4 reservoir pressure left in these reservoirs. In other
5 words, we're down to the very end of it.

6 We have cum'd through this process of pulling
7 down to this point approximately 947 million cubic feet per
8 drill block. Okay, you can use -- It's a fairly
9 straightforward approach. Plot the cumulative production
10 of the reservoir versus -- and you would plot cumulative
11 production on the X axis and the pressure drop over time,
12 or actually the reservoir pressure over time, on the Y
13 axis, to create a curve.

14 And I do have an example of one of these I'll
15 refer you to in the "Examples" section. It's the very
16 first color curve. So you see a visual plot of that
17 process and how a reservoir engineer would calculate
18 reserves.

19 Q. All right, let's make sure we're with you. You
20 went to the tail end of the book, you've got the "Examples"
21 tab --

22 A. Right.

23 Q. -- and where --

24 A. It's the "Example" tab, it's the first colored
25 curve in -- That one right there.

1 Q. All right.

2 A. Does everybody see that? Okay.

3 So what you would be doing is plotting your
4 cumulative production on the X axis and the pressure over
5 time on the Y axis, so you can forecast out what the final
6 pressure would be -- or actually what the cumulative
7 production would be at the final abandonment pressure. In
8 other words, the pressure with which you could economically
9 no longer get gas out of the ground. Okay, so that's the
10 methodology here.

11 So what we have determined is that the average
12 Pictured Cliff wellbore or drill block has approximately
13 314 million cubic feet left. So if you were to go out to
14 any drill block within the area, that's approximately what
15 you should be able to expect, is that amount of gas.

16 Current average production out of the Pictured
17 Cliff reservoir is approximately 45 MCF a day.

18 So now we have a reserve number and we also have
19 a rate number. So we can guess -- We know approximately
20 what we would return our -- as a return on investment, if
21 we were to decide to go out and drill one of these drill
22 blocks.

23 And what the next two maps show is the same maps
24 that we showed up here, an initial and now a current
25 reservoir pressure.

1 And the next page shows some numbers here that
2 would describe drilling costs. And while there's a lot of
3 numbers here with some fairly reasonable detail, there's
4 only three numbers here that we really need to think about
5 at this point in time. And the first one of those is, for
6 a single completion, the total cost to drill one of these
7 types wells, approximately \$298,000 to drill a stand-alone
8 Pictured Cliff drill block and develop that drill block as
9 a stand-alone project.

10 As a dual completion would cost us approximately
11 \$250,000, so as a dual it is obviously a little bit cheaper
12 to do that.

13 And as a commingle, the last -- very bottom
14 number on the bottom right-hand corner, approximately
15 \$200,000 to drill a commingle well. In other words, to
16 drill a well through to some point and commingle two of the
17 horizons that we would be looking at. In other words, we
18 could do the Pictured Cliffs and the Mesaverde, we could do
19 the Pictured Cliffs and the Fruitland Coal.

20 Q. How has this issue been presented to the Hearing
21 Examiners for a decision when the current rule has this
22 requirement in it that at least one zone must be
23 uneconomic?

24 A. In this manner right here, this is exactly how we
25 have presented it.

1 Q. All right. When you have the cost components,
2 how do you plot that against rate and EUR?

3 A. Rate and reserves, right.

4 So what we have here on the X axis, we have an
5 initial rate.

6 On the Y axis we have the EUR. In other words,
7 the amount of gas we can expect out -- In the case of the
8 Pictured Cliffs, we could go in and say that our reserve
9 number would be 314 million cubic feet and our initial
10 production would be 45 MCF a day.

11 Well, you can see here in terms of an economic
12 standard -- And what these three colored curves represent,
13 for the blue curve what that is, is the threshold level
14 that this project would be funded, for example, it's a
15 15-percent AFIT rate of return for a single completion.

16 We also have an orange curve here for a dual
17 completion. We also have a green curve here for a
18 commingled completion.

19 So in other words, the way to look at this would
20 be -- and you can see the scale kind of depicts that you're
21 going to need approximately, for a commingled well, for
22 that reserve number of 314 million cubic feet, you're going
23 to need an initial rate of 200 MCF a day for this well to
24 be classified as economic, even as a commingle. Okay?

25 So in other words, the parameters that any of my

1 industry counterparts would be looking at -- We have
2 Pictured Cliffs drill blocks. We could use this curve and
3 say basically, certainly I couldn't go drill a new well.
4 Really, economically speaking, I couldn't go commingle a
5 new well or dual a new well. In other words, the reserves
6 that are left in the Pictured Cliffs are so small and the
7 rates are so small we really can't do a whole lot with that
8 asset as it is right now.

9 And the next curve here kind of bears out that
10 statistic and that assumption and conclusion. What we have
11 here, the blue curve or the blue bars represent how many
12 wells that were singly drilled and completed in the
13 Pictured Cliffs in 1990 through 1995. That's the blue
14 bars.

15 In other words, in one year, the first year in
16 1990, we drilled less than ten. Now, understand there's
17 several thousand drill blocks out there that we could go
18 develop.

19 We attempted a few drill wells where we dualled.
20 In 1991 you'll see the big spike there. That was the tail
21 end of the Fruitland Coal drilling programs.

22 So the next obvious choice was to look at the
23 Pictured Cliffs again. Well, you can see that people did
24 and they discovered it really wasn't paying out the way
25 they wanted, so the activity level has continued to drop

1 off over time.

2 But you also notice that commingles since 1992
3 are beginning to come on. In other words, we're seeing an
4 economic way to go at these resources and turn them into
5 reserves.

6 What I have on the last slide for this section,
7 in the last six years, approximately 81 stand-alone
8 Pictured Cliff drill wells have been drilled.

9 Now, if you look at the number of undeveloped
10 drill blocks, there's a huge amount of undeveloped drill
11 blocks, almost 2400 drill blocks. In other words, we're
12 developing approximately .6 percent of those drill blocks
13 per year, and it's going to take us, in order to develop
14 that entire resource, 175 years with the current standards
15 as they are right now.

16 What that means -- And to turn that around, if we
17 were to be able to commingle these -- We know we can't
18 drill them, they're obviously not economic, so we're
19 looking for another way to attack this. It would cost
20 approximately \$200,000 per drill block to develop. It
21 would take approximately half a billion dollars to develop
22 all of these drill blocks. We have approximately 314
23 million cubic feet per drill block to be developed, or 742
24 BCF of resource there that's currently uneconomic to
25 develop.

1 In terms of what the State would get out of it
2 and the federal government in royalties, approximately \$170
3 million worth of revenues. At the rate that we're going
4 now, that will never be realized.

5 In terms of ad valorem and severance taxes,
6 approximately \$90 million worth of revenues will never come
7 into -- or will never be paid, because these projects will
8 never be done.

9 Now, in terms of operating expenses, why I put
10 this in here, this is what feeds the local economies of the
11 San Juan Basin and the southeast part of the state.

12 And in terms of income taxes, approximately \$133
13 million of revenues will never be paid because these will
14 not be developed economically.

15 Q. Mr. Daves, do you believe the Commission could
16 adopt as a policy decision the conclusion that the Pictured
17 Cliff is a marginal reservoir and can be commingled at this
18 point --

19 A. Yes.

20 Q. -- without regards to further approval?

21 A. Right.

22 Q. All right. Let's go through the Mesaverde, then,
23 and show the similar analysis, show us where the numbers
24 change and what is your ultimate conclusion, then, with
25 regards to commingling concerning the Mesaverde.

1 A. Okay. Essentially the Mesaverde is the one
2 bright spot in the San Juan Basin. Activity levels reflect
3 that. There are enough reserves and there is enough
4 initial production that we can get out of these reservoirs
5 so that we can go and pursue these, and I think the
6 activity levels reflect that. If you look at -- I have the
7 same analogy all the way through, but what I would like to
8 direct your attention to is the economic curves that are
9 here, the same three curves I showed before.

10 With the current reserve rate of 1.4 BCF,
11 obviously you can go out and do a fair amount of work -- on
12 the X axis, if you find the 1.4 BCF level. If you get
13 anything above that average rate -- In other words, if you
14 had a well that was 300 MCF a day, initial rate, and that
15 1.4 BCF, you can afford to go and drill that well. This is
16 the one case where you can. Out of all three of these
17 horizons, it's the one zone that you could go do this with.

18 And turn to the next page, at the tail end of the
19 Fruitland Coal drilling program, you see activity levels in
20 the Mesaverde -- Let's see, you're -- you need to -- It's
21 the next section in the Mesaverde, the very last several
22 pages. You see that the activity level reflects those
23 economics. In other words, the model is reflected in the
24 statistics of what is going on within the San Juan Basin.

25 So this is the one zone that is the bright spot

1 in the San Juan Basin.

2 But it's interesting to note here in the
3 Mesaverde that in a sense it is already a commingled
4 reservoir. You have -- Up on the upper part here, you have
5 the Cliff House zone, which is a fairly thick mass of
6 sandstone, you have a Menefee zone that has numerous
7 smaller sands, coals, et cetera, and you have the Point
8 Lookout, which is the bottom part. So in other words,
9 there's three reservoirs that are commingled, and it is
10 fairly economic. They're all similar reservoirs, and over
11 time we have defined them as a reservoir.

12 Q. Well, what are the operators doing, then? If
13 they still have a Mesaverde opportunity as a single
14 completion, what do they do about any Dakota opportunity at
15 that drill block?

16 A. Ignore it.

17 Q. What's a better way to go about doing that?

18 A. Drilling through to the Dakota and tapping both
19 resources.

20 Q. On a commingle basis?

21 A. On a commingle basis.

22 Q. Okay.

23 A. And I would suggest that that's probably going to
24 be a common agenda item on dockets in the future.

25 Q. Okay.

1 A. And in terms of the Mesaverde, the number of
2 single well completions in the last six years, 175.
3 However, if you look, there's still almost 1600 undeveloped
4 drill blocks within the Mesaverde on the 320-acre spacing
5 unit with the allowable of one infill in that. So there's
6 a fair amount of drill blocks left to develop.

7 However, in terms of our development rate and in
8 terms of the amount of opportunities that are out there,
9 we're still doing less than two percent per year, on
10 average, and it's going to take another 55 years to develop
11 all of these drill blocks.

12 If we could commingle these reservoirs and
13 commingle these with another one, the capital required to
14 do that would be approximately \$270,000 per well. The
15 total capital required over time to develop all of these in
16 this manner would be approximately \$436 million. We would
17 develop approximately 1.45 BCF per drill block or, in
18 aggregate, 2.3 TCF of gas reserves. There's a fair amount
19 of gas within this zone here.

20 If you look at the royalties that would be
21 associated with this development, approximately almost a
22 half a billion -- over a half a billion dollars' worth of
23 royalties, \$300,000 worth of ad valorem and severance tax
24 revenues, operating expenses of almost a million [sic]
25 dollars. So in other words, there's a billion dollars

1 worth of operating expenses that would go back into the
2 local economies. And in terms of income taxes,
3 approximately \$800 million worth of income tax would be
4 generated from these projects.

5 And again, I have a similar analogy for the
6 Dakota, same process of determining the reserves. The
7 numbers that are important to note here are approximately
8 729 million cubic feet per drill block and approximately 85
9 MCF a day per well.

10 I have a pressure map for the Dakota showing
11 original reservoir pressures. I also have a current
12 reservoir pressure map for the Dakota, and here again I
13 show the total cost to go and drill a stand-alone Dakota
14 drill well right now is approximately \$542,000, to dually
15 complete a Dakota well approximately \$462,000, and to
16 commingle a well approximately \$365,000. So we're building
17 the same economic model that we've had in the past and that
18 I've just shown.

19 In order for a -- With the reserves level that we
20 have, in order for a Dakota well to be economic as a
21 commingle we would have to have approximately 220 MCF a day
22 and those reserves that I show.

23 Well, if you look at average production back here
24 for a Dakota well, that's only 85 MCF a day. So the Dakota
25 in and of itself is almost to the point where it's not

1 going to be developed because it's uneconomic. You
2 certainly would not, with those standards, go and drill
3 wells.

4 And again, if you go and look at the next page,
5 if you look at the activity levels in the Dakota, with the
6 exception of 1994, people are not drilling stand-alone
7 Dakota wells. In other words, they are uneconomic. One
8 year that occurred, Meridian Oil and several other
9 operators decided to pursue the Dakota, and the statistics
10 reflect that we were sadly disappointed with the results
11 that we had. In other words, we cannot make money doing
12 that. There have been a couple commingles and some duals,
13 but still the activity level is well less than ten per
14 year.

15 Over the last six years we have drilled
16 approximately 63 stand-alone Dakota wells. The number of
17 undeveloped drill blocks: substantial amount of undeveloped
18 drill blocks still. At current rates we're developing less
19 than a half a percent per year. The years required to
20 develop all these undeveloped drill blocks is over 200
21 years. In other words, there's no net present value with
22 the rules as they are right now. There's no net present
23 value in that resource, and the statistics show that people
24 are not pursuing it.

25 In terms of if we could commingle these, it would

1 cost us approximately \$365,000 to develop a commingled
2 Dakota drill block. The total capital required would be
3 approximately \$820 million.

4 When you think about that total capital number,
5 put that into perspective. What that's going to pay for
6 are drilling contractors, completion contractors,
7 completion service companies, salaries for all of their
8 employees. I mean, that's a substantial number in there
9 that's going to go directly into the economy of the State
10 of New Mexico.

11 The EUR per undeveloped drill block, 729 million
12 cubic feet. The total reserves associated with this asset,
13 approximately 1.6 TCF of gas. Understand, as it is right
14 now, those reserves are uneconomic.

15 The royalties that would be associated with
16 producing that gas, approximately \$383 million dollars of
17 royalties. Ad valorem and severance taxes, \$210 million.
18 Operating expenses -- these are going to feed the local
19 economy -- \$674 million. And income tax, \$300 million
20 worth of income taxes.

21 Bear in mind, at the current levels, these
22 numbers will never be realized. Unless we come up with
23 another way to pursue this, these resources will never be
24 tapped, or they will be tapped at such a slow rate as to
25 have very little value for both industry and the State of

1 New Mexico and the people of New Mexico.

2 Q. Mr. Daves, is -- In your opinion, is there a
3 conservation reason to continue to have an economic
4 standard in Rule 303?

5 A. No.

6 Q. Is there any correlative-rights issue --

7 A. No.

8 Q. -- involved with that?

9 A. No, we have the data, we have the ability to
10 allocate production.

11 Q. Is there any waste issue involved with an
12 economic standard?

13 A. Obviously, I think our numbers show -- with the
14 current methodology that we have, yes, there is a
15 significant waste potential.

16 Q. In terms of not getting this resource?

17 A. Right.

18 Q. But retaining the rule that says you must satisfy
19 that at least one reservoir is uneconomic serves no
20 purpose, at least in this San Juan Basin area?

21 A. No.

22 Q. If that standard -- If an economic standard is
23 left in the rule, do you have a recommendation as to
24 whether the Division -- the Commission, as a matter of
25 policy, could decide that that rule may be deleted for the

1 San Juan Basin when we look at commingling of the Dakota,
2 Pictured Cliffs and the Mesaverde?

3 A. Yes.

4 Q. So if they choose to keep the numerical standard
5 in here -- I mean the economic standard -- this would be a
6 good reference case for those three reservoirs to delete
7 that standard?

8 A. Yes.

9 And now we can go back to where I started in
10 terms of the total potential that's out there. Over the
11 past six years we've developed approximately, in a stand-
12 alone drill set of circumstances, only 319 out of 6000
13 drill blocks, less than a percent per year. And at that
14 rate, you know, it's going to take a long time. In other
15 words, there is no net present value of these resources at
16 the current rates that we're developing them.

17 Total capital required to commingle development
18 is approximately \$1.75 billion worth of capital would be
19 required to develop these. And understand, these would be
20 economic projects if commingled.

21 The reserves developed, approximately almost 5
22 TCF of gas. The royalties associated with that, over a
23 billion dollars' worth of royalties. Ad valorem and
24 severance tax, almost a billion dollars' worth of ad
25 valorem and severance tax revenues. Operating expenses,

1 over two billion worth of revenue going into our economy.

2 And lastly, the income tax is over a billion
3 dollars of income taxes would be fed into the tax base. At
4 current rates we won't get that.

5 Q. Do you have a copy of the industry's committee's
6 proposed commingling application form?

7 A. Yes, I do.

8 Q. It's attached to the -- It's the second-to-the-
9 last page in the prehearing statement, Mr. Chairman.

10 A. Right, right.

11 Q. I don't want you to go through it in detail, Mr.
12 Daves, but go through the process of development of the
13 form and talk to us why in your opinion this is going to be
14 a useful standardized form for the industry and for the
15 regulators with regards to taking action on this type of
16 activity.

17 A. Okay. One of the reasons that this will be a
18 useful form is, it is the only form that is out there
19 currently. We do not have a standardized form.

20 Typically when an entry-level or a junior
21 engineer comes to me and asks me about, How do we go about
22 filing for a commingle --

23 CHAIRMAN LEMAY: Where is this form?

24 MR. KELLAHIN: It was attached to the prehearing
25 statement.

1 COMMISSIONER WEISS: No, it's not.

2 MR. KELLAHIN: Here's one.

3 THE WITNESS: In other words, we do not at this
4 point in time have a form like this, and the methodology
5 used is basically monkey-see, monkey-do. It's what has
6 been done in the past.

7 I've worked with the Committee to build this
8 form, and it basically meets the data requirements that
9 we've looked at through the Aztec District Office, and
10 looked for the things that are relevant to understanding a
11 commingled reservoir setup.

12 We basically have an operator name, a lease name,
13 what type of lease is it -- a federal, state or fee -- API
14 number.

15 And then we start into the primary data block,
16 the name of the various pools for an upper zone, an
17 intermediate zone, and a lower zone, the top and bottom of
18 each of these zones. And understand, this would all be fed
19 into a database so that this data would be readily
20 accessible to anybody that needs to know this.

21 The type of production, oil or gas, from each of
22 the various zones. The method of production, flowing or
23 artificial lift. Estimated shut-in bottomhole pressure,
24 measured or calculated. This will be a key piece of data
25 over time. That is a piece of data that I cannot stress

1 enough that will be necessary.

2 Oil gravity or gas BTU content. Current status,
3 currently producing or shut in. If shut in, give date and
4 the rates of the last production. Understand that in the
5 San Juan Basin there are a large amount of nonproducing
6 wells. You know, line pressures have gone up and a lot of
7 these reservoirs will not produce against current line
8 pressures. So a lot of these wells are shut in.

9 If producing, the rates within -- you know,
10 according to recent tests.

11 And then the fixed-percentage allocation method.
12 This is the standard allocation method that's used for most
13 commingles today.

14 Now, item number 9, allocation method if other
15 than fixed-percentage. The allocation method that we've
16 presented in hearings before is more of a subtraction
17 method. In other words, the total production minus the
18 known production equals the production of the other zone.
19 So that would be another way of determining allocation.

20 Are all working/overriding royalty interests
21 identical in the commingled? We also answer the question,
22 are our interests the same? If not, have we notified those
23 people by mail? We've covered the things that typically go
24 on either in a hearing or in an application.

25 And then probably the single most important part,

1 are the fluids compatible? By commingling will you not or
2 would you possibly damage these reservoirs? And we give a
3 yes/no answer here. And with that yes/no, in conjunction
4 with that, also an order number. If you have supplied data
5 in a general area -- in reference cases, for example --
6 then we would refer to that order number so that that data
7 is made available and known where it would be if there is
8 any question whether commingling would damage the
9 reservoirs.

10 Will the value of the production be decreased by
11 commingling, yes/no? If yes, explain why.

12 If this well is on state or federal lands, the
13 Commissioner of Public Lands -- kept them in mind, the
14 United States Bureau of Land Management have been notified
15 in writing of this application. So in other words, this is
16 a form that the BLM would probably see and the State Land
17 Office.

18 And a reference case for exceptions, and -- which
19 -- if there are exceptions in this, which reference case
20 you would be dealing with. And also attachments.

21 So in other words, this would be our form similar
22 to an APD to pursue commingling.

23 Q. (By Mr. Kellahin) The Division has developed a
24 database where it tracks production by pool.

25 A. Uh-huh.

1 Q. Will the amendments that the industry committee
2 proposes for Rule 303 disrupt or alter the ability of the
3 Division to have that data and correctly track production
4 per pool?

5 A. Yes, we'll be able to do that.

6 Q. We'll still be able to continue to do that on a
7 reliable basis --

8 A. Right.

9 Q. -- so it would not alter the credibility of their
10 database?

11 A. Yes.

12 Q. Okay. With regards to notification, the current
13 rule requires that all offset operators be notified of an
14 application for commingling on a spacing unit that they're
15 adjacent to, either on a side boundary or on a corner, an
16 end corner. What is your recommendation for the Commission
17 with regards to the notice issue?

18 A. Let me back up. Early in the process of this, we
19 pursued notification rigorously. As time has gone by --
20 when these ideas were new. As time has gone by, the basic
21 thing that is done with those notifications is, they are
22 put in the trash or recycled. So --

23 Q. You've never objected or complained --

24 A. No.

25 Q. -- with regards --

1 A. No.

2 Q. -- to an Amoco notice --

3 A. No.

4 Q. -- and vice-versa?

5 A. We've -- At times when we're partners, we may
6 offer advice and support in how to go about either
7 permitting or allocating production if we have some
8 concern.

9 Q. And you would be contacted in another method,
10 then?

11 A. Right.

12 Q. Do you see any waste or correlative-rights issue
13 if notification is deleted?

14 A. No.

15 Q. And your recommendation, then, is to delete the
16 notification of offsets as being unnecessary?

17 A. Yes.

18 Q. I believe we've covered the topics that you were
19 going to address, Mr. Daves.

20 A. Yes, we have.

21 MR. KELLAHIN: That concludes my examination of
22 Mr. Daves.

23 We move the introduction of Meridian Exhibit 1.

24 CHAIRMAN LEMAY: Without objection, Exhibit 1
25 will go into the record.

1 Some questions of Mr. Daves?

2 Commissioner Weiss?

3 COMMISSIONER WEISS: Yes, I have several.

4 EXAMINATION

5 BY COMMISSIONER WEISS:

6 Q. I guess I need to be refreshed before I ask my
7 other questions about why there is such a rule. What was
8 the original purpose of 303? What was it based on?

9 MR. KELLAHIN: Commissioner Weiss, I'll be happy
10 to give you a copy of the Commission order. I also have
11 the transcript and the rest of that case file. It was Case
12 4104. It's Order Number R-3845. It was entered in October
13 of 1969.

14 Basically it addressed a concern by operators
15 that they had a number of dually completed oil wells, and
16 they were getting to the point in the productive life of
17 those dually completed oil wells where they were either
18 going to have to abandon them, and the downhole commingling
19 was a possibility for extending the economic life of those
20 oil wells. And that's how it started.

21 COMMISSIONER WEISS: Okay, well, that's fine.

22 Now, another question, more basic.

23 Why were they dually completed? How come we want
24 to maintain production from only one reservoir at a time?
25 What was the original reason? Does anybody know?

1 MR. KELLAHIN: I believe it was a regulatory
2 concern, which may be outdated. It was a point in time
3 where they were comfortable with single-completion
4 technology, with dual completion, and they wanted to
5 maintain reservoir management, so that they knew that those
6 hydrocarbons were being produced in a way that they were
7 accustomed to, that there was no inappropriate allocations,
8 that people that owned production in one pool were going to
9 get paid for it, and they could measure it and see it and
10 touch it in a separate stream.

11 And so I think that was the initial point. It
12 was a management issue.

13 COMMISSIONER WEISS: Did you say that was in the
14 Thirties in your opening remarks?

15 MR. KELLAHIN: I said it had been thirty years
16 ago that we developed the rule, so it was. As best I can
17 find, 1969 is the last time this Commission touched this
18 particular rule with regards to its scope.

19 COMMISSIONER WEISS: Well, as I listen to this, I
20 think that's important, that I understand why we have that
21 rule in the first place.

22 MR. KELLAHIN: That's where it started.

23 COMMISSIONER WEISS: I don't have the -- Does
24 anybody have the initial rule? Do we have that available?

25 CHAIRMAN LEMAY: Yeah, he's got it there.

1 COMMISSIONER WEISS: Oh, that's it?

2 MR. KELLAHIN: We have it.

3 And part of the committee work was to go through
4 those transcripts, and none of our engineers could find a
5 technical basis for the numerical standards.

6 I understand from Mr. Catanach he's made his own
7 search, and he agrees that there was no scientific basis;
8 they simply developed a set of numbers that have continued
9 to be used.

10 COMMISSIONER WEISS: Okay, then I have some
11 questions.

12 Q. (By Commissioner Weiss) What's an undeveloped
13 drill block? Is it an infill well?

14 A. It could be an infill well, it could be a
15 Pictured Cliffs, just plain, simple Pictured Cliffs
16 undeveloped drill block. It could be a drill block that
17 was drilled and then abandoned.

18 In other words, there's no production coming out
19 of that hundred and -- In the case of the case of the
20 Dakota, the Mesaverde and the Pictured Cliffs, while the
21 Dakota and Mesaverde are on 320-acre spacing units, the
22 actual drill block is -- essentially, it's 160 acres, and
23 that is what the Pictured Cliffs is too.

24 So in other words, it's that 160-acre --

25 Q. Well, let me put it this way: Can a wildcat well

1 be an undeveloped --

2 A. Yes, it could be. It's not in those numbers,
3 though. Those are the ones within -- The best way to
4 understand that number is to -- Are you aware of what
5 Kendricks maps are?

6 Q. No.

7 A. Okay, what Mr. Kendricks does every year, and he
8 has for a lot of years, is, he takes these formations and
9 he plots up in the corner of that section, okay, in the
10 section that would be four drill blocks per se, or four
11 producing wells in any of these horizons. He plots up the
12 cumulative production for that year, for that quarter
13 section, and he also plots a cumulative production for the
14 life of that well.

15 So in other words, if you took a Kendricks map
16 and just started counting how many of those within where
17 production is, how many of those have no production, have
18 zero production or have never produced at all, currently
19 zero production for a year or years on end, and with that
20 -- what it implies is that that well has been abandoned,
21 but there has been cumulative production out of there, or a
22 quarter section where there has never been any production,
23 and probably a well never drilled.

24 Q. Okay. Now, on that quarter section --

25 A. Uh-huh.

1 Q. -- that you just mentioned are there developed
2 quarter sections around it?

3 A. Yes.

4 Q. So this is -- This will apply in my thinking --
5 correct me if I'm wrong -- to infill situations?

6 A. Yes, it would. And a good example would be an
7 infill Mesaverde or an infill Dakota where you have a
8 parent Dakota well and then you're sitting there looking at
9 that infill Dakota well --

10 Q. It's more of a, perhaps, a drainage issue than a
11 pressure issue?

12 A. I guess I'm not following you.

13 Q. Well, as I see it, this pressure business that
14 you went through --

15 A. Uh-huh.

16 Q. -- which is another question, I see here you have
17 evidence of crossflow, I guess, in your example, the
18 example you have back in the --

19 A. Uh-huh.

20 Q. -- section listed "Examples" on --

21 A. The Reid well?

22 Q. -- the Reid 19 and the Mesaverde --

23 A. Uh-huh.

24 Q. -- do you see how the pressure went up?

25 A. Yeah, that's -- that's --

1 Q. I guess that's a crossflow issue. So it's going
2 up?

3 A. Right. Let's take a minute and walk through
4 this. This is a very good example of how commingling does
5 indeed work, if I can walk you through this and help you to
6 understand this. Would that --

7 Q. Yes.

8 A. -- be appropriate?

9 Okay. What we have here, this first pressure/cum
10 plot is the Mesaverde. And where I've drawn that pink
11 dashed line, that's the last pressure point that the
12 Mesaverde had before it was commingled.

13 So in other words, what there was before was a
14 dual completion and all these pressures were Mesaverde
15 pressures, and then once we pulled all that out we
16 continued to track that data because we do prorate gas and
17 we do go through that process every year.

18 But what we did show was, if you go on two pages
19 down, all of a sudden you have the Dakota pressures too.
20 So in other words, these are the pressures in the pressure
21 cum plot for the Dakota.

22 So what we saw when we continued to check those
23 pressures over time was the effect of both zones being
24 mixed together, and the higher pressures would dominate.
25 That's why you see that jump on the Mesaverde plot. In

1 other words, those points are the same ones on the Dakota
2 curve --

3 Q. They're the same pressures?

4 A. Yes, exactly. So in other words, if we were to
5 back up in time -- this is a material balance methodology
6 here -- we can look at the Mesaverde and see that we should
7 get approximately 450 million cubic feet of gas out of
8 that. Do you follow with me on that very first plot?

9 Q. Uh-huh.

10 A. Okay. And we're ignoring those last data points,
11 because those are -- in terms of pure Mesaverde production
12 they are invalid. Okay, are you with me on that?

13 A. Uh-huh.

14 Q. Okay. Now, if you look at the Dakota, and the
15 same methodology went on here, that last pressure point --
16 that pink line was the last pressure point before the
17 Dakota was commingled with the Mesaverde, and then all the
18 points after that are the combined function. Okay?

19 If you add up the gas that's associated with both
20 of these, you should end up now with a combined total of
21 approximately about a half -- 1.6 or 1.7 for the Dakota and
22 approximately 480 for the Mesaverde.

23 So in other words, the new material balance plot
24 should reflect what the remaining reserves are for both
25 reservoirs. Are you with me on that?

1 In other words, those pressure points -- It's
2 like you have your two tanks there. Now that you've turned
3 the valves on and hooked it up together, as you deplete
4 those two reservoirs, they're -- all of a sudden, a new
5 relationship is going to be formed --

6 Q. Is that in here?

7 A. Pardon me?

8 Q. Is that cumulative --

9 A. Yes.

10 Q. -- of the two zones together in here?

11 A. Uh-huh. If you go down to -- I believe it's the
12 sixth plot -- what I've done is, I've started a new zero
13 point. And now we're tracking the total remaining reserves
14 for our new reservoir, which is the combination of the
15 other two.

16 And strangely enough, if you go through the
17 mathematics of this, it does match up, which -- in theory
18 and in reality it should. There's no reason why it
19 shouldn't.

20 So in other words, what we're seeing with the
21 Mesaverde is, there's approximately -- of producible
22 reserves, 395 million cubic feet of gas remaining. For the
23 Dakota by itself, there's approximately 1.5 BCF of
24 remaining gas -- Well, excuse me, the remaining would be
25 133 million, for the Mesaverde would be approximately 75

1 million cubic feet of gas.

2 So if you look at the total cumulative plot, the
3 last one, if you add the two together, that's approximately
4 what you get, and that fits very nicely with the decline of
5 the overall reservoir.

6 Is that --

7 Q. Yes.

8 A. I fear I'm losing you on that, and I don't want
9 to do that.

10 Q. I heard you.

11 A. That's a very key, important point because the
12 theory says it should work, and you have an example of
13 reality here where it does work, very clearly.

14 Q. I had another question. I notice that it costs
15 less to drill deeper.

16 A. On a footage basis?

17 Q. Yeah, or something.

18 A. Yeah, typically --

19 Q. I didn't understand that.

20 A. That -- On a per-foot basis it would, and that
21 reflects the drilling contractor's willingness to be on
22 that location longer and not have to move --

23 Q. Maybe just -- Just help me on one of those.

24 A. Okay.

25 Q. I didn't follow it.

1 A. Let's look at the Dakota first, and then go up.

2 Q. Just any one of them.

3 A. Okay, let's look -- The Dakota costs to drill a
4 Dakota well to TD as a stand-alone --

5 Q. Yeah, okay.

6 A. -- would cost approximately \$542,000 --

7 Q. Just the drilling costs.

8 A. The drilling costs.

9 Q. Yeah. It's \$300,000 for a single completion, a
10 dual completion is \$217,000 --

11 A. Uh-huh.

12 Q. -- and then it goes down some more for a
13 commingle. I don't understand that.

14 A. The drilling costs associated with a single well
15 would reflect to drill it, to run the casing, to cement it.
16 Those would be your drilling costs.

17 Q. Okay.

18 A. Okay? Now, in terms of how that cost is
19 allocated, on a stand-alone drill well, the Dakota
20 formation would bear the cost of all of that.

21 A. Okay.

22 Q. Okay? On a dual, down to the point of the
23 shallower horizon, there would be a 50-50 split of cost.

24 A. Okay.

25 Q. And from that point on, the Dakota would bear all

1 of the cost.

2 Q. Okay, I follow you now. I couldn't see how --

3 A. Yeah, I anticipated you might ask something like
4 that. Learning that process took me awhile, so I
5 understand your confusion.

6 Q. And a last question. What was the -- Not my last
7 question. What was the gas price used to develop your
8 economic?

9 A. Approximately \$1.20 per MMBTU.

10 Q. Okay.

11 A. And for conventional gas, that's approximately
12 what is being realized out there on the market right now.

13 Q. And then did you consider as a method for
14 permitting commingling a -- new wells -- or anyway, just
15 well density? It seems to me that it would be -- where you
16 have a lot of data and a lot of control such as you --

17 A. Uh-huh.

18 Q. -- presented here, that experience and expertise
19 is sufficient to assure that you know how much gas is in
20 place and you can make proper calculations as to --

21 A. Uh-huh.

22 Q. -- recovery and such. But in areas where you
23 don't have that type of data, which is what you get
24 drilling wells, it may be more difficult. And that was my
25 question earlier about a wildcat, something outside the

1 blue there.

2 A. Right.

3 Q. I take it, then, the blue area here there's a lot
4 of wells?

5 A. Right, and a lot of undeveloped drill blocks too.

6 Q. Yeah, but the undeveloped drill blocks have
7 sufficient data from wells around them?

8 A. Right, you have significant control.

9 Q. The control is good, and there's probably --
10 perhaps there's no need for any rules governing commingling
11 in that blue area?

12 A. Correct.

13 Q. So my point is, you have some other, more
14 complicated -- in your summary, whatever it was you were
15 saying you -- What were your examples?

16 A. I have one for the Dakota --

17 Q. What -- The rules you want?

18 A. Oh, oh, yes, let's go back. The rule in terms of
19 crossflows?

20 Q. Whatever rules you want this area commingled.

21 A. Okay, probably the most important two rules that
22 I see, I would like them to stay the same.

23 Q. And this is in -- Where are you at?

24 A. The pressure crossflow part. And basically what
25 I stated here is how these rules apply to the mathematics

1 and physics. And what I'm basically saying is that the
2 rules that we have that protect the permeability of the
3 reservoirs --

4 Q. Uh-huh.

5 A. -- essentially do not let fluids mix that would
6 damage the reservoirs or the fluids damage -- or the fluids
7 create precipitates amongst themselves.

8 So that's what these two rules say. I
9 wholeheartedly agree with these rules. Whenever --

10 Q. Well, my concern would be, if we deleted the
11 bottomhole pressure requirement -- Let's say you drilled a
12 well between those two blue areas.

13 A. Uh-huh.

14 Q. Well, you don't have any information.

15 A. Uh-huh.

16 Q. And you went in and you drilled that on the
17 premise that you're going to commingle it, and you found
18 for some reason that pressures there were original or
19 something in one zone and not the other.

20 A. Right.

21 Q. I don't think that should be permitted, because
22 you won't know what the original gas in place is, you won't
23 be able to measure it or determine it or rate it.

24 A. Right. Let's put part of this into perspective,
25 though. Just because they are not within the blue -- If

1 they were economic to have developed those areas, I would
2 suggest that they would have been developed.

3 Q. Okay. Well, my point is, if we limit it to
4 geography, rather than -- and geography being where there's
5 adequate well coverage --

6 A. Uh-huh.

7 Q. -- we don't have to worry about pressure.

8 A. Correct.

9 Q. But in areas where you don't know what pressure
10 is going to be, I think we do have to worry about --

11 A. Right, and that's where this rule -- where I have
12 defined the rule the way, as an engineer, I think that rule
13 ought to be in terms of, the pressure of the higher-
14 pressured zone should never exceed the original pressure of
15 the lower-pressured zone. That would apply either in the
16 blue or out of the blue. It -- that's just --

17 Q. Yeah, but how are you going to know what -- You
18 come in and you request to drill a well in the white.

19 A. Okay.

20 Q. Okay? But you come in and all your economics are
21 based on a commingled situation.

22 A. Uh-huh.

23 Q. And you come in there and you find original
24 pressures in both of them, and that was the reason you
25 drilled the well.

1 I don't think that's right, because you won't
2 know the gas in place in those two reservoirs, either of
3 them. You won't be able to determine it because you won't
4 measure it. It's all -- You don't have to do anything,
5 you'll just go drill the well.

6 A. And that would probably be a good example of an
7 area where you are in a wildcat area, and this could apply
8 for southeast New Mexico as easily as the San Juan Basin.
9 Do the proper testing, find out what the parameters of the
10 reservoir are, then pursue the commingling in that respect.

11 Q. Yes.

12 A. But this standard here --

13 Q. But on the infill areas I don't think it's
14 necessary.

15 A. Right, but this standard here, this pressure
16 standard that I'm recommending we adopt, would apply either
17 in a wildcat case or in an infill case. It's the same set
18 of rules that nature has provided for us.

19 Q. I'd have to give that some consideration. Just
20 sitting here thinking about it, I don't -- I'm concerned
21 about that.

22 A. Well, let's flip that around just for a second,
23 if I might.

24 The 50-percent rule, there's no technical merit
25 associated with that 50-percent rule.

1 Q. Well, there's -- That, I'm not sure of. That's

2 in that -- I haven't read the --

3 A. Uh-huh.

4 Q. -- why there's a --

5 A. Right.

6 Q. -- 50-percent rule. I don't know --

7 A. But --

8 Q. -- what's going on.

9 A. -- the flip side to that, again, is, Mother
10 Nature has provided us with standards, we've measured these
11 standards, we know -- Typically in any gas reservoirs, we
12 know what original reservoir pressures are. So we do know
13 that, and we --

14 Q. Not in any gas reservoir. You drill one in the
15 white that you've never tested before, you don't know what
16 the --

17 A. First thing I'm going to do as a reservoir
18 engineer, when I drill into an undeveloped area, I want to
19 know that pressure. That is the key piece of data --

20 Q. Precisely.

21 A. -- that you have got to have.

22 Q. Precisely.

23 A. So why would you not want to take that data?

24 Q. My concern is, if we do away with pressure rules
25 they'll never be measured.

1 A. That rule is still required in the Dakota, in the
2 pool rules, to take that original reservoir pressure.
3 That's just the normal course of business, that should be
4 done.

5 Q. Okay.

6 A. But that doesn't affect this rule, is my point.
7 That data -- How could you know what that higher pressure
8 is --

9 Q. -- unless you measure?

10 A. -- unless you measure, exactly. Data gathering
11 should continue. Just like with the case of this Reid
12 well, although it is commingled we have continued to keep
13 those pressures, track those pressures over time, and that
14 verifies -- and it did a very nice job of verifying that,
15 one, there was no waste and, two, that our allocation
16 method is fairly sound.

17 Q. Yeah, it does that.

18 A. Yeah, so -- yeah, I mean -- But that's a function
19 of gathering data. When I look across the border into
20 Colorado, I don't see that --

21 Q. That's the situation I want to avoid here.

22 A. -- rigid standard.

23 Yes, and New Mexico has done a magnificent job of
24 doing that. But those are proration rules that have driven
25 that process, not commingle rules.

1 that's chosen and how do we know the parameters that
2 surround that area? How do we know how to make the
3 parameters, the boundaries of that area, if we're just
4 choosing one certain reference well?

5 A. The limits are going to vary, based off of the
6 parameters of the reservoirs. If we know in a general area
7 -- The Fulcher-Kutz Pictured Cliffs is a good example.
8 It's a pool, per se, that stretches out over probably 30
9 miles laterally and about three or four miles across.

10 Okay, if you look on this end of that pool and
11 test the gas and the fluids, typically it doesn't produce
12 any water anyways. So you would -- You know, right there,
13 you know there's not a fluid-compatibility problem because
14 it doesn't produce water. And if you were to commingle
15 that, say with the Fruitland Coal, the Fruitland Coal in
16 that general area does not.

17 I mean, it requires some engineering judgment to
18 define where that is. But typically when our people that
19 are pursuing commingles pursue them, before they would even
20 fill out this application, we would want to know internally
21 what -- the level of detail they're studying so that we
22 would be convinced, before you would ever even see this
23 form, that what we're wanting to do makes sense, because
24 we're the first ones that don't want to wreck the
25 reservoir. It doesn't do us any good to do that, so we

1 would pursue that.

2 Q. But you would say that pools have certain
3 characteristics that would render them incompatible?

4 A. Uh-huh.

5 Q. All right. So you take it to the pool basis
6 rather than an area basis?

7 A. It would typically be on an area or a pool basis,
8 depending on where you're at within the state.

9 Q. Just some clarification on some of these
10 economics. We might as well go to the summary --

11 A. Okay.

12 Q. -- portion.

13 Are these figures based on Meridian's holdings
14 within the blue area? Are they based on basinwide --

15 A. Basinwide.

16 Q. Basinwide?

17 A. Yes, ma'am.

18 Q. Okay. And are they strictly Meridian, or
19 everyone else included?

20 A. Everybody, everybody.

21 Q. Okay. Down on the royalty line, is that a very
22 optimistic figure based on the fact that all of these would
23 be producing from 12.5-percent lease spaces acreage?

24 A. That was an assumption I made --

25 Q. Okay.

1 A. -- for ease. I mean, you know, there were a
2 tremendous amount of cases that were involved in this, and
3 typically what we see is a one-eighth royalty. On a --

4 Q. But that's going to be --

5 A. Fairly consistent. I mean, that's --

6 Q. -- fairly consistent.

7 A. Yes.

8 Q. But it's also going to be decreased significantly
9 if the wells are on federal land?

10 A. No, that would be a standard federal royalty
11 lease, is 12.5 percent.

12 Q. Okay. But New Mexico only gets half of that?

13 A. I'm not -- What I'm using here in terms of
14 royalties is, in my model I assumed that I would own 100-
15 percent working interest in the well, or whoever the
16 operator would be, and that they would own an 87.5-percent
17 net. In other words, they would own seven-eighths of the
18 production, and the other eighth -- This is what this
19 reflects, is that other eighth of production.

20 Q. Okay, and that's significantly decreased on
21 federal lands and totally decreased on Indian lands,
22 correct?

23 A. In other words, in terms of what the State of New
24 Mexico would realize?

25 Q. Right.

1 A. Correct, right, and what -- That's true. In
2 other words, those would be royalties that would be shared
3 between the states, federal government and the Indian
4 tribes. But that's the sum of it. How that gets split out
5 would be a case-by-case basis.

6 Q. Are you aware that this form that you've
7 submitted does not meet Land Office requirements by rule?

8 A. No. But what would --

9 Q. Since it doesn't, do you consider it premature,
10 so that --

11 A. It's --

12 Q. -- operators would not have two separate forms?

13 A. Correct, it's a prototype at this point. What
14 data that you would require to enable us to use a form for
15 both -- for both the state and the federal government and
16 to meet all state requirements, there would obviously be
17 some considerations included in this that would reflect
18 your needs.

19 Q. Okay. So it's premature for the Commission to
20 consider this form in its present state as the form that
21 you would like to see ruled on?

22 A. I'd like to defer that to Tom, I think.

23 MR. KELLAHIN: Mr. Daves is correct, it's a
24 prototype, and as I told you in my opening statement, it
25 had not been submitted nor approved by the Land Office. It

1 meets the requirements of the BLM and the OCD at this
2 point, and it's a topic for discussion.

3 Obviously, we would like the Land Office to agree
4 to this form and modify it accordingly, but we are at the
5 point of presentation where we thought it necessary for you
6 to see the form as it has developed. But you're right, it
7 may need further refinement to satisfy your rule.

8 What we may ask the BLM to do is modify their
9 rules. You may find that the Land Office rule is the rule
10 that needs to be modified to accommodate this form. That's
11 a topic for discussion.

12 You would not expect the Land Office never to
13 change their rules to allow us to uniformly use a common
14 commingling form?

15 COMMISSIONER BAILEY: I would not expect any
16 quick action on that, since our commingling rule was
17 already modified this past summer, and it is a very lengthy
18 process for the Land Office to change those rules. It is
19 not something that I would personally expect to be done in
20 the near future at all.

21 MR. KELLAHIN: Well, we've spent seven months on
22 this process. I'm sure we're willing to continue to work
23 with the Land Office to get a form everyone is satisfied --
24 And if it doesn't meet your needs, then we have satisfied a
25 substantial problem with the BLM and we'll simply have a

1 duplicate process for a while.

2 But in terms of the OCD's approvals, we think it
3 satisfies their needs. They've told us they like our form,
4 and we hope that we can convince everybody to use them.

5 COMMISSIONER BAILEY: I would hope that we would
6 be able to come to some sort of understanding so that
7 there's only one form that would be required from industry,
8 rather than two separate processes.

9 MR. KELLAHIN: That would be our hope too.

10 COMMISSIONER BAILEY: That's all I have.

11 EXAMINATION

12 BY CHAIRMAN LEMAY:

13 Q. Mr. Daves, your -- Well, I guess my question in a
14 nutshell, bottom line is, will the currently developed
15 wells in there drain the remaining reserves?

16 The assumption you used, I think, is that it
17 won't because all these dollar figures are based on
18 recoverable reserves from new wells. But will the
19 remaining wells that are in these fields now eventually
20 drain only -- It may take 300 years, and your argument is,
21 time-value of money, rather than not getting that money at
22 all?

23 A. To stretch your question even further, in theory,
24 one well should be able to drain all of those reservoirs.
25 But the benefit by doing that would be nominal. And

1 indeed, the benefit of where we're at now would be nominal.

2 So in other words, it would -- It is a time-
3 value-of-money question but, in essence, where is that
4 proper line, I guess, is my question.

5 We do need to ensure that, one, we can meet our
6 market demands, two, that we meet the demands that we have
7 within the State of New Mexico to utilize this resource to
8 fund whatever we need to do over time. And if it took
9 several hundred years to do that and each year we were
10 losing production, then I would suggest that the value of
11 that is going to depreciate fairly quickly.

12 Q. You're familiar, as well as anyone, that certain
13 of our consumers, especially California, have used the San
14 Juan Basin as a gas-storage reservoir. So you know, people
15 pull out of it and drill wells when they need the gas and
16 they feel the price of gas is high enough.

17 A. Uh-huh.

18 Q. It's been that kind of a deal, not necessarily a
19 situation where people want to maximize their cash flow at
20 any given time.

21 I mean, that -- I think with the assumption that
22 a dollar 200 years in the future has no value today, these
23 figures are certainly acceptable. But you're right, one
24 well could drill it all --

25 A. Uh-huh.

1 Q. -- drain it all. And this may be a question that
2 everyone might want to address. If we're looking at, and I
3 think we are, initially at reference cases --

4 Q. Uh-huh.

5 A. -- one of the threshold questions is, whether the
6 Commission addresses this in the San Juan Basin now or an
7 Examiner hearing will address this issue later on in
8 another commingling situation, is, how far can we extend
9 data under one order?

10 A. Uh-huh.

11 Q. I think that was -- We've referenced briefly with
12 some of the comments my fellow Commissioners made.

13 You're talking about a pool or an area basis --

14 A. Uh-huh.

15 Q. -- the idea being, each formation may be somewhat
16 unique, and as far as fluid characteristic change -- I
17 mean, does -- Example: Does the fluid in the San Juan
18 Basin change over five, ten, fifteen, twenty miles, or can
19 you project it with some degree of certainty over that
20 distance?

21 A. In terms of fluid compatibilities, that's an
22 issue that probably needs to be looked at fairly closely in
23 any given area.

24 I think, one, if the engineer is going to come to
25 you with the commingle recommendation and an application,

1 he's done that, he has looked at that. Now, how far he
2 wants to stretch that reference point is a function of how
3 in depth of a study he's made for that specific set of
4 data.

5 But in terms of crossflow pressures, this is a
6 good medium right here for a reference case in terms of how
7 we define what our standards are in terms of pressures.

8 Okay, so in other words, what I'm saying is, in
9 the cases of compatibilities and reservoir damage from
10 fluids, that needs to be a much tighter controlled issue.

11 But the issue of the 50-percent rule and how we
12 define that pressure part, this is -- right here and right
13 now is that point in time.

14 Q. Would you make a recommendation that -- in terms
15 of fluid compatibility, that each well, even though it is
16 drilled under an existing commingling order, tests fluid
17 compatibility, would you say, on a well-by-well basis?

18 A. No, I don't --

19 Q. So you can extend it beyond one well?

20 A. Oh, yes.

21 Q. But how far you extend it is somewhat of a
22 nebulous call at this point?

23 A. It's going to require the engineer to look at the
24 area and understand that area in terms of fluid
25 compatibilities.

1 And in the areas that I've testified in the past,
2 I was familiar with the area, I was familiar with the gases
3 that were produced, I was familiar with the fluids that
4 were produced, and I set my limits and I came back with
5 hearing data to support general areas. And it may have
6 been as small as four or five miles in a radius-type area,
7 but I did not try to stretch that clear off to somewhere
8 else.

9 It's foolish to do that, in my opinion. You need
10 to look at a general area and find out what's there. And
11 that would probably be the primary driving point of
12 reference cases in the San Juan Basin at this juncture.

13 Q. In terms -- You've addressed the three main
14 producing zones; you haven't addressed the coal seam wells.

15 A. Uh-huh.

16 Q. Would that be something you'd throw into this mix
17 for --

18 A. Yes.

19 Q. -- commingling?

20 A. Yes. Yes. And the Fruitland Coal is a very
21 nonhomogeneous reservoir. You have the prolific zone where
22 it produces a high -- a 10-percent CO₂ and water.

23 When you move down into the areas where I've
24 testified in the past, the gas is, strangely enough, very
25 much like the Pictured Cliffs gas, and like the various

1 reservoirs down there. I mean, it's a high BTU gas, no
2 CO₂, almost no water production. So in other words, the
3 minute it comes out of the ground, it's pipeline-quality at
4 that point in time. And the pipeline gathering companies
5 recognize it as such.

6 Q. How many zones have you commingled, has Meridian
7 commingled in one wellbore?

8 A. In one wellbore, I think the most that we've seen
9 is -- what? Three?

10 MR. ALEXANDER: I think so.

11 Q. (By Chairman LeMay) So you've got some Pictured
12 Cliff, Mesaverde and Dakota, the three are commingled?

13 A. Uh-huh. I think the first map I showed shows the
14 relative location of this.

15 Q. Without any mechanical problems you've run into
16 that --

17 A. Correct, correct. And quite honestly -- I keep
18 referring back to this case, the Reid 19, the example case.
19 It's a marvelous example of how well this can work if done
20 properly. Their engineer obviously looked at it,
21 understood the fluids, he was able to make an allocation
22 that made good sense.

23 And the beauty of it was, we continued following
24 our proration rules and continued to gather pressure data,
25 so that we not only had what the Mesaverde reservoir was,

1 what the Dakota reservoir was, but also now with the new
2 reservoir, what the mix was. And then -- that makes good
3 engineering sense.

4 And in the future as we look across the San Juan
5 Basin for new projects, that data will be critical. So
6 those proration rules have done something serendipitously
7 that they weren't intended to do initially.

8 Q. For proper allocation would you recommend yearly
9 tests?

10 A. No, I don't think that's necessary.

11 Q. But the proration rules as they're currently
12 constituted give you frequency-of-test information that's
13 adequate --

14 A. Uh-huh.

15 Q. -- for allocation purposes?

16 A. Correct.

17 CHAIRMAN LEMAY: That's the only questions I had.

18 Do you have --

19 FURTHER EXAMINATION

20 BY COMMISSIONER WEISS:

21 Q. Yeah, I had one more concerning this issue of
22 correlative rights in a vertical sense --

23 A. Uh-huh.

24 Q. -- and that's the crossflow issue.

25 A. Uh-huh.

1 Q. Is that -- Who owns, generally? Is it common
2 ownership, or do the same people own the same portion of
3 all three zones?

4 A. Yes and no. Sometimes they do, sometimes they
5 don't.

6 One good example where we've struggled in the
7 past is with the Pictured Cliffs and the Fruitland Coal.
8 The Pictured Cliffs is based on 160-acre spacing and the
9 ownership is based on 160-acre spacing, whereas the
10 Fruitland Coal is on a 320-acre spacing. So this person
11 that has a fixed percentage in the Pictured Cliffs, if he
12 has the same lease position in the Fruitland Coal, now his
13 interest is cut in half, because it's gone to a 320-acre
14 spacing unit?

15 Q. Right.

16 A. And it's allocatable.

17 Q. Well, with that in mind, I think the notification
18 process has to be included so that --

19 A. But we do that to the interest owners, and we
20 will continue to do that.

21 Q. That's important.

22 A. Yes.

23 Q. I don't think we can delete it from any order.

24 A. No, but what we are saying is, the offsets now,
25 we've found that that's essentially a waste of time. We

1 keep track of what they're doing in other ways, so that the
2 notification process is --

3 Q. You do. Do the -- Who else operates in there?
4 Maybe the Jicarillas?

5 A. Yeah, yeah.

6 Q. Do they do the same thing?

7 A. Jicarilla tribe?

8 Q. Yeah, do they operate there? Or somebody like
9 that, some smaller operator?

10 A. Well, I couldn't answer that question.

11 Q. Well, that's a concern.

12 A. I guess -- Let me try and understand your
13 question.

14 Q. Correlative rights in a vertical sense.

15 A. Uh-huh.

16 Q. That's the question. How do you protect those?

17 A. By proper allocations.

18 Q. Yeah, you guys do that, but how does a smaller
19 guy do it? I mean without notification. I don't care
20 whether -- You know, I don't care who does it. But if
21 someone wants to object who's in this 320-versus-160 --

22 A. Uh-huh.

23 Q. -- situation, he ought to know what's going on,
24 that the well is going to be commingled.

25 A. Well, he would be notified. If he's --

1 MR. KELLAHIN: May I respond? I --

2 THE WITNESS: Yes.

3 MR. KELLAHIN: I can see you're talking two
4 different things.

5 The rule that you adopted in September continues
6 to require, and we are continuing to propose, that
7 everybody internal to the spacing unit that's affected and
8 shares in that production gets notification if there's
9 differences in ownership.

10 COMMISSIONER WEISS: But you're talking about --
11 I'm not talking about offsets, I'm just talking --

12 MR. KELLAHIN: That's right, those people
13 continue to get notice.

14 COMMISSIONER WEISS: Good. That was my last
15 question.

16 CHAIRMAN LEMAY: Commissioner Bailey, anything
17 else?

18 COMMISSIONER BAILEY: No.

19 CHAIRMAN LEMAY: Mr. Carroll?

20 MR. CARROLL: Yeah, Mr. Chairman.

21 EXAMINATION

22 BY MR. CARROLL:

23 Q. Mr. Daves, if I could just clarify one point.
24 Other than your proposed revised pressure criteria, there
25 really is no criteria that would prevent any well in the

1 San Juan Basin, to be drilled or existing, from qualifying
2 for downhole commingling; is that correct?

3 A. Can you state that one more time, make sure I
4 understand it?

5 Q. Other than your proposed revised pressure
6 criteria, which is revised from the 50-percent rule --

7 A. Uh-huh.

8 Q. -- there really is no criteria that would prevent
9 any well from qualifying for downhole commingling?

10 A. As the rules are stated now, for instance, you
11 could not -- I guess between the four -- If you were, say,
12 to want to commingle two economic zones that you had
13 defined as economic zones, you could not commingle them
14 now. You would have to separate the two.

15 So if there were two zones in there that were
16 economic, you could not commingle them as the rules are
17 stated right now.

18 Q. I guess to rephrase it, the only test you have
19 that would disqualify a well from downhole commingling
20 would be the pressure test, your proposed revised pressure
21 test; is that right?

22 A. Correct.

23 MR. KELLAHIN: Well, you have a fluid test.

24 THE WITNESS: Oh, and fluid compatibilities,
25 absolutely. Thanks, Tom. Fluid compatibilities would be

1 the most important.

2 MR. CARROLL: That's all I have.

3 CHAIRMAN LEMAY: Additional questions? If not,
4 you may be excused.

5 Shall we break for lunch, come back at one?

6 (Thereupon, a recess was taken at 11:48 a.m.)

7 (The following proceedings had at 1:05 p.m.)

8 CHAIRMAN LEMAY: Okay, we shall resume.

9 Mr. Kellahin?

10 MR. KELLAHIN: Thank you, Mr. Chairman.

11 Our next presenter is Pam Staley. Ms. Staley is
12 a petroleum engineer with Amoco. She resides in Denver,
13 Colorado.

14 PAMELA W. STALEY,

15 the witness herein, after having been first duly sworn upon
16 her oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Ms. Staley, for the record would you please state
20 your name and occupation?

21 A. My name is Pamela W. Staley. I'm a petroleum
22 engineer employed by Amoco Production Company in Denver,
23 Colorado.

24 Q. On prior occasions have you testified before the
25 Division as a petroleum engineer?

1 A. No, I have not.

2 Q. Summarize for us your education.

3 A. I have a bachelor's of science in geology from
4 Southern Methodist University in 1978, a master's degree in
5 geological engineering from the University of Missouri at
6 Rolla in 1980.

7 Q. Summarize for us your employment experience.

8 A. I was employed by Fugro Gulf, an offshore
9 consulting firm, for a year and a half after receiving my
10 degrees, and then I went to work for Amoco Production
11 Company in late 1981 as a petroleum engineer, and I've been
12 employed by them since then.

13 Q. You'll have to raise your voice. There's a hum
14 of this fan over our head. The microphone won't amplify
15 your voice either, so --

16 A. Okay.

17 Q. -- if you'll speak up for us.

18 Describe how you were involved as an engineer for
19 Amoco with regards to downhole commingling applications.

20 A. For the past year and a half I have been filing
21 all of the applications in New Mexico for Amoco in downhole
22 commingling, assembling the information as well as filing
23 the applications.

24 Q. Have you participated with the industry committee
25 the last six months in examining the various issues

1 involved in Rule 303?

2 A. Yes, I have.

3 Q. And based upon that participation, do you now
4 have conclusions and recommendations for consideration by
5 the Commission concerning these rules?

6 A. Yes, I do.

7 MR. KELLAHIN: We tender Ms. Staley as an expert
8 witness.

9 CHAIRMAN LEMAY: Her qualifications are
10 acceptable.

11 Q. (By Mr. Kellahin) I'd like to start with the
12 handouts, Ms. Staley. If you'll take a moment, let's look
13 at the first handout and have you begin by summarizing for
14 us Amoco's downhole commingling activity up to today's
15 period.

16 A. Yes, the first slide that I have in my exhibit is
17 a slide showing the downhole commingling that we have done
18 to date. You'll see that we have commingled 81 wells.
19 They are color-coded.

20 We have done a variety of formations, as you can
21 see, with the predominance of our work in the Dakota-Gallup
22 comminglings, as well as Dakota-Mesaverde comminglings.

23 Q. Are you in agreement with Mr. Daves about the
24 usefulness of having downhole commingling as an operator's
25 choice for additional recoveries out of the San Juan Basin?

1 A. Very much so.

2 Q. Was there any part of his technical presentation
3 or his comments or conclusions with which you have
4 disagreement?

5 A. No, none.

6 Q. Let's talk about what you forecast from your
7 point of view in doing all these kinds of applications for
8 your company, as to what that activity is going to be in
9 the future.

10 A. The next example in your packet shows the 1996
11 San Juan Basin plans for Amoco. "DHC" is downhole
12 commingling.

13 We plan to downhole commingle at this point 45
14 wells. That's a fairly large amount of wells for us to
15 start the year with. We anticipate that the inventory will
16 grow steadily through the year over that, and we would
17 probably anticipate at least doubling that activity in
18 1996.

19 Drilling activity, our opportunities have been
20 reduced in drilling. Our budgets and capital constraints
21 have caused us to look for other ways to find reserves in
22 the Basin. And in 1996 we anticipate our drilling activity
23 to be down to one rig, which is a significant reduction for
24 us.

25 We will use those rigs to access locations,

1 hopefully, that would be otherwise undrilled. And by
2 saying that, I'm looking at some of Mr. Daves' types of
3 locations where we would hope to access more than one
4 formation in the wellbore.

5 Our activity level, we see being much more in the
6 commingling and workover activity this year, and not nearly
7 as much drilling.

8 Q. Do you have another slide that also shows this in
9 a different format?

10 A. Yes, specific to downhole commingling you can see
11 we're moving on the next exhibit to a little bit different
12 activity. We'll be doing more Dakota and Gallups and more
13 Dakota-Mesaverde, but then we'll really be moving into PC-
14 Mesaverde and Chacra-Mesaverde as our two main formations.
15 At least that's what we see right now.

16 Q. Can you summarize for us Amoco's position with
17 regards to what you see as the benefits of downhole
18 commingling, particularly for the San Juan Basin, which is
19 your frame of reference?

20 A. Right. Well, the downhole commingling for us is
21 a way to help stabilize production. It is a way to often
22 help our older wells do better.

23 You'll note that many of the formations that we
24 are dealing with commingling have some liquids, and often
25 the liquids are assisted in lift by some of the gas

1 formations later in life.

2 We see a lot of logging off of our wells, and
3 we've seen the commingling help this substantially, and
4 I'll have some examples later for that.

5 Q. Have you also examined the opportunity for what
6 I've characterized earlier as new drills?

7 A. Yes.

8 Q. You will have areas within the portions described
9 by Mr. Daves where you also could justify a well based upon
10 the economics of a new drill as a commingled well, and that
11 is the only way that well might be drilled?

12 A. That is correct. We're always examining ways to
13 find more drilling opportunities out here, and we're
14 finding to compete with moneys elsewhere in our company
15 that we're having to -- hope to add zones here to get more
16 production out of these wells to make them compete
17 economically.

18 So as we are able to move into areas and stack
19 pay and make a better well out of our drilling prospect,
20 we'll be able to drill more wells out here.

21 Q. Were the kinds of pressure ranges that Mr. Daves
22 described when he's examined the Pictured Cliffs, Mesaverde
23 and Dakota characteristic of the types of pressure you're
24 seeing for your wells?

25 A. Yes, absolutely. They're very close. And what

1 we have seen -- They vary a little bit across the Basin, of
2 course, but they're very consistent with what we have seen
3 in our wells.

4 Q. So there was nothing in his technical
5 presentation, then, that was unique to Meridian?

6 A. No, not at all.

7 Q. It would be characteristic of these particular
8 reservoirs in the San Juan Basin?

9 A. Yes, and his exhibits incorporate Amoco wells
10 across the Basin as well.

11 Q. Let's go to some of your examples. I've asked
12 you to bring some examples of well performance before
13 commingling and then what has happened as a result of
14 commingling. They're attached as your next displays.

15 If you'll turn to those -- And I don't expect you
16 to talk about each one of them, but find one that you like
17 as an illustrative example, and let's describe it for the
18 Commission.

19 A. All right. Well, the first one is a good
20 example.

21 Q. This is the Jicarilla B 1?

22 A. It is the Jicarilla B 1-8 1E-7E and 8M.

23 This well -- Just to give you an idea of how this
24 is laid out, the two curves on the right side are the
25 individual curves prior to downhole commingling. The curve

1 on the left side of the example is after commingling.

2 Q. We look at this display, the top curve on the
3 upper right has got a code that's a Mesaverde?

4 A. That's correct.

5 Q. And then the bottom --

6 A. -- is the Dakota.

7 Q. -- right is Dakota, and then over on the left is
8 the commingled stream?

9 A. That's correct. And as you can see, that
10 particular well had quite a bit of loading up and down
11 time. That's evidenced by the very erratic nature of the
12 curve on the right. And we had that occur both in our
13 Mesaverde and our Dakota production.

14 Q. What's causing that?

15 A. In the Dakota case, it's just some down time
16 related to operational issues. In the Mesaverde, it was
17 related to some of the liquid loading that we had.

18 And when we combined those two for a downhole
19 commingle in 1992, you can see that we got a little bit of
20 increase in production, and then we stabilized back into a
21 decline which is very similar from what we anticipated from
22 the two wells.

23 I've equated that -- The way I've drawn these
24 angles is to equate that to a 1995 date and then look on
25 both curves out to see what we would have produced at that

1 decline out in 1995. So that's how I've determined what we
2 would have gotten out of those wells compared with the
3 commingled case.

4 Q. You've linked, then, the economic life of the
5 well by commingling?

6 A. That is correct. We believe that by stabilizing
7 that, we have much less down time. We've also been able to
8 reduce our costs, because in many of our cases such as this
9 we've had a dually completed well, we've been able to
10 remove downhole obstructions in the way of piping, we've
11 been able to reduce the number of surface facilities that
12 we have, so we have less workovers, less down time, less
13 surface equipment. All of that affects your cost. And
14 long-term, that gives you more reserves in your well.

15 Q. Ultimately this increases ultimate gas recovery
16 out of one or both of these reservoirs, does it not?

17 A. That is correct.

18 Q. Now, let's talk about the liquids. Are you
19 talking about hydrocarbon liquids?

20 A. Both hydrocarbon and water, so it can be either
21 one. In some of the later examples that I have where it's
22 Gallup, it is more oil-type liquid rather than --

23 Q. Do you agree with Mr. Daves that if you're
24 looking for a conservation or a regulatory flag by which to
25 process and approve commingling, one of the important

1 engineering issues is the fluid-compatibility issue?

2 A. Yes, sir.

3 Q. Describe for us why that's important, how often
4 it is, in fact, a real problem, and how you recommend the
5 Division address that issue.

6 A. As a reservoir engineer, I believe that it's a
7 very, very important issue. However, Amoco has not seen
8 any wells out here that we could find that have had
9 incompatibility problems.

10 In our process, in going through our downhole
11 commingling, we collect that information and we take a look
12 at the compatibility of the fluids, and we just haven't
13 seen any to date. Nor have we in our normal operations,
14 where those fluids are commingled at surface and those
15 sorts of things. We've not seen a significant problem in
16 the formations that we're working with in the San Juan
17 Basin.

18 So I would say that while it's a -- something
19 that a reservoir engineer is very concerned with from a
20 practice standpoint, and we do fully concur with continuing
21 to do just as we've always done, which is why we want to
22 keep the rule the same way in this area. But we just --
23 We've not seen a significant problem out here, but it's
24 always good to check.

25 Q. All right. It continues, then, to be your

1 recommendation that the practice we have established under
2 this rule would be unchanged, and in fact this portion of
3 the rule remains unchanged?

4 A. That is correct, and Amoco would not recommend
5 changing that part of the rule.

6 Q. All right. In terms of Amoco's success and your
7 confidence in your company's ability to accurately allocate
8 production, what opinion do you have?

9 A. Well, these are very long-lived formations. We
10 have a lot of historical data out here. We typically have
11 wellbores very close by in similar formations, and we've
12 found it's very easy to allocate.

13 We also have several wells where Amoco's planning
14 on going from a dual completion to a single completion.
15 And we have that historical situation, as Mr. Daves did in
16 his Reid well, where we can estimate what the production is
17 going to be and then actually compare and see how it's done
18 afterwards. And some of these examples show that, and we
19 feel that we are able to allocate very effectively.

20 Q. All right, let's go through some more examples.
21 We've looked at the first one. Show us another.

22 A. The second one is a very flat well, I would say.
23 This is the San Juan 28 and 7 unit, Number 76. This well
24 is now operated by Conoco and was downhole commingled
25 during Amoco's period as operator on this well.

1 Again, looking at the two curves on the right-
2 hand side, which the top is a Mesaverde curve, the lower
3 one is a PC curve, and as you can see there, both of those
4 wells again have a lot of logging-off problems, a lot of
5 down time. In the case of the lower one, the PC well, very
6 low production and logging off due to fluids.

7 When we combined those, the result was very
8 similar where we got very much what we anticipated to get
9 in this well, and we were able to reduce after 1992 the
10 amount of down time that we had in this well on a regular
11 basis.

12 Q. Do you recall whether or not these examples were
13 all processed using the Division's administrative approval
14 procedures for commingling?

15 A. The examples that I have here, yes, were.

16 Q. These are not examples where you were required to
17 take a commingling case to hearing?

18 A. No.

19 Q. All right. When we look through these examples,
20 wherein do you see the opportunity to improve the existing
21 rules so that we might more efficiently administratively
22 process the commingled applications?

23 A. For myself, I think the main issue that I've had
24 with this is the amount of data that we're having to
25 collect and provide and the manner that we're providing

1 that. I think the form will be a very great help to us in
2 consistently gathering the information and putting it
3 together.

4 From Amoco's standpoint, we have had several that
5 have had to go to hearing, predominantly because of the
6 pressure rule. I have had wells that have not met the
7 pressure rule, and so we've had trouble producing those and
8 have had to wait until they have met the pressure
9 conditions.

10 So I would say those are the main parts that
11 affect us.

12 Q. Do you share Mr. Daves' technical conclusions
13 with regards to the pressure rule --

14 A. Yes, I do.

15 Q. -- that you agree with him you don't see a
16 reasonable regulatory reason for a 50-percent component to
17 the pressure rule?

18 A. I agree. I find that part of the rule to be
19 somewhat frustrating, because you can commingle a well that
20 is a 2000-pound to a 1000-pound well, but if I have a 450-
21 pound well and a 250-pound well, can't do it. So that just
22 doesn't make very good sense. We're not protecting what we
23 need to be protecting.

24 Q. Let me hand you a copy of the Commission order
25 where they amended the rules back in September, and I want

1 to look at the Exhibit A that's attached to that order and
2 deal specifically with the topic on the second to last page
3 where we talked about the gas-gas duals.

4 A. Uh-huh.

5 Q. And that's really what you're doing, isn't it?

6 A. Right.

7 Q. Walk us through the process. This is something
8 that's a major responsibility for you to do. I walk in and
9 say, Ms. Staley, I've got a well I'd like to commingle.
10 It's an existing wellbore, it's a gas-gas. Please help me
11 do it. Here's the rule. Walk us through what you do.

12 A. Okay. Well, I first give them a list of things
13 that I need, which is pretty overwhelming for most of my
14 engineers, that they need to gather the data to supply.

15 The first thing that we look at, of course, is
16 the economics to determine whether or not the well meets
17 the economic criteria, and that throws out a lot of our
18 wells, and so we're not able to do those things on many of
19 our wells because of that.

20 Q. Let's stop at that point.

21 A. All right.

22 Q. The Division, in response to the industry
23 committee's request, has proposed that this particular
24 paragraph be modified and that the phrase, "not otherwise
25 be economically producible" be stricken, and the

1 substituted phrase is that at least one zone is marginal.

2 You understand the proposal?

3 A. Yes.

4 Q. Comment on that. Is that going to be useful when
5 you make decisions about the opportunity to commingle
6 wells?

7 A. Certainly, that will increase that threshold and
8 give us the ability to do more wells.

9 However, it still restricts me, often, from doing
10 -- You know, commingling wells early in their life, such as
11 some of these examples which would have been helped much
12 earlier in the life of the well and stabilized much more if
13 we could have commingled them earlier on.

14 So while it will help, I think we still will have
15 wells that we cannot commingle that probably operationally
16 could be helped by that.

17 Q. From your perspective do you see any regulatory
18 reason to have this economic rule for gas-gas commingles?

19 A. Not for gas-gas, no, I do not.

20 Q. In the absence of that rule, would you as an
21 offset operator -- would you be concerned that somehow that
22 commingled well would have an advantage over your wellbore
23 in an offsetting spacing unit?

24 A. No, and in fact, the offset operator, notice at
25 this point, is a nuisance to Amoco.

1 Q. Well, what do you do when you get them from
2 Meridian?

3 A. When I get them from Meridian or really from
4 anybody, they go straight in the trash can. I can't
5 imagine how we would have an argument coming before the
6 Commission of a problem with a commingled well. I can't
7 foresee what argument would be.

8 Q. You don't see a correlative-rights concern for
9 you as an offset operator?

10 A. I do not. You know, I mean, it's a drainage
11 issue, and I don't believe that the commingling affects the
12 drainage, so...

13 Q. Is it a waste issue if you're an offset operator?

14 A. No.

15 Q. Is there any inherent advantage that you see for
16 the operator that seeks the commingling over the operator
17 in the adjoining spacing unit that can't or won't?

18 A. No, I do not. I certainly wouldn't be throwing
19 away applications if I did.

20 Q. If you were an interest owner internal to the
21 spacing unit being commingled and that ownership is
22 different, then it would be important to have notice, would
23 it not?

24 A. Very much so, and we very much support keeping
25 that notice in, albeit it's a difficult notice to do. It

1 costs us a lot of money to go run title and do those
2 things. But we think it's important that our -- And our
3 partners care, and we care as partner. So we recommend
4 keeping that part of the rule.

5 Q. Working interest owners, royalties, overriding
6 royalties, will get notice if there's a difference in the
7 participating areas or the way that equity is distributed
8 between the two reservoirs within that spacing unit?

9 A. That is correct, and if they have any problem
10 with that, they can cause it to be -- to come into
11 question, so...

12 Q. All right. So currently, under the current rule,
13 you put together some kind of presentation with regards to
14 satisfying that at least one zone is uneconomic?

15 A. Right.

16 Q. Let's go on to the next item. It says there will
17 be no crossflow between the zones to be commingled.

18 A. That's an issue that I really haven't been able
19 to provide much information on, because we just don't
20 believe that the crossflow is an issue for many of the
21 reasons that Mr. Daves earlier stated. So that's not
22 something that we provide a great deal of information on.

23 Q. For you as an engineer, is the issue of having no
24 crossflow an appropriate item to bring to your attention?
25 If you're reviewing an application or preparing one, is the

1 issue of presence or absence of crossflow an issue of
2 relevance to you?

3 A. As an engineer, no. As a regulatory issue, it
4 still is, so I have to consider before I can make those
5 statements.

6 But as an engineer in this basin, in these
7 formations, we do not see it as an issue.

8 Q. Would it be helpful if modifications of
9 administrative procedure were made whereby the Division,
10 without a hearing, can make exceptions or modifications to
11 issues with regards to crossflow?

12 A. Yes, very much so.

13 Q. All right. If it's decided that they keep it,
14 then there is certainly usefulness to having this rule
15 modified?

16 A. Yes.

17 Q. Let's go on to the next one, which is the fluid-
18 sensitivity issue, number three.

19 A. Well, our procedure is to typically either pull
20 water samples from our wells that are producing, in the
21 absence -- I have tried to get through a couple of new
22 wells, and in the absence of that we would use information
23 from offsets.

24 We would internally run a compatibility. We put
25 the two water samples together, or four or six, whatever it

1 is, and run the compatibility test to determine if there
2 were going to be downhole problems from it at pressure and
3 temperature.

4 Q. Okay. The next item down is the fluid
5 compatibility?

6 A. Uh-huh.

7 Q. Now, those are separated. One is a
8 sensitivity --

9 A. Right.

10 Q. -- of the reservoir to receiving fluids, and the
11 other is a question of whether the fluids themselves --

12 A. -- will create scale.

13 Q. -- will scale or have some contaminants or some
14 kind of reaction among themselves.

15 A. Right.

16 Q. So how do you satisfy that part?

17 A. Well, one is basically dealing with the rock, and
18 one is dealing with the fluids.

19 And I misspoke earlier. I was talking about the
20 fluids. So I should probably address number three at this
21 point.

22 We look at that from the standpoint of across the
23 Basin, if our geology is fairly consistent and our fluids
24 have been fairly consistent to deposit the same types of
25 clays or whatever in our sandstones, across the Basin, then

1 we don't feel that there's a problem with that. We've
2 looked at enough core and have a lot of cores out here and
3 have a pretty good feel also from looking at the logs, if
4 we have problems there.

5 Q. You're recommending no change here, that these
6 continue to be part of the rule?

7 A. No, we think this is a good part of the rule, and
8 I don't see any reason to change it, and we will continue
9 to provide the information that we have provided all along.
10 So this is not a change in the rule.

11 Q. The last one deals with pressure, and let's make
12 sure I ask you this clearly.

13 Regardless of whether the 50-percent number is in
14 the rule or not, you would as an applicant continue to
15 report pressure data, would you not?

16 A. Yes, we're required to take pressure data, and we
17 are required to present it. And in fact, in the case where
18 we had a well such as what Mr. Weiss was describing
19 earlier, that we're an offset, I would have no problem with
20 seeing the Examiner request us to provide those pressures
21 after we had drilled the well.

22 I think it's only fair, you know, if we were
23 doing it off offsets and we get our information in and we
24 end up with a surprise, that we really haven't complied
25 with our downhole commingling order by exceeding those

1 pressures. And so therefore I would be fully happy to
2 provide those and take a look at it afterwards.

3 Q. The problem is not reporting the pressure, the
4 problem is this 50-percent number?

5 A. That's absolutely correct.

6 Q. Do you agree with Mr. Daves' proposed solution
7 for a substitution for this rule whereby we utilize the
8 original reservoir pressure of the lowest-pressured
9 reservoir to be commingled?

10 A. Yes.

11 Q. Let's touch back on the new drill again. You
12 said it just now. If you're filing an application for a
13 new drill, how do you go through the process of hitting
14 these regulatory pegs with a new drill in the absence of
15 site-specific data as to that wellbore?

16 A. Well, we would use offset data for the most part.
17 In most parts of the Basin, we're fairly well drilled
18 around, and so at least for the San Juan Basin, I would say
19 that we would have offset information that typically will
20 give you a good read of what you're going to get there.
21 That's how we determine how we're going to drill the well.
22 Economically, we have to have a good idea of what's there
23 to begin with.

24 Q. All right, let's assume that despite your best
25 effort and your best science you get into a reservoir that

1 busts whatever the pressure differential rule is. If it's

2 Mr. Daves' rule or this rule, you're now with a new
3 wellbore, and you're greater than the rule. What should
4 happen?

5 A. We should not be allowed to downhole commingle
6 it. In the -- You're talking about when we're exceeding --

7 Q. Yes.

8 A. Okay.

9 Q. You've drilled a new drill as an original
10 downhole completed well?

11 A. Well, if we're going to, you know, have crossflow
12 that could damage that formation or exceed those pressures,
13 then I would say that we should not be allowed to downhole
14 commingle that well until perhaps later in the life of the
15 well when we can demonstrate the pressures can have come
16 down.

17 Q. We can go back in the wellbore and set a bridge
18 plug and do something to isolate out the production --

19 A. That's right.

20 Q. -- and then produce it in that conventional
21 fashion?

22 A. That's correct.

23 Q. Okay. Give us a sense of -- When you submit data
24 to the Division for processing, are we looking at a couple
25 of pieces of paper now or, you know, what does the stack

1 look like?

2 A. Well, I'm -- Usually about 15 pages, I would say,
3 of information. A cover letter and then about 15 pages
4 total, I would say.

5 Q. Is there a standardized submittal that all
6 companies use in the same way?

7 A. Well, a lot of them look like Amoco, a lot of
8 them look like Meridian. I mean, I think we've all kind of
9 come to a generalized form, but I don't know how the
10 Division really feels about it. I'm sure they still have
11 to look around in each of our applications for the
12 particular information that they are wanting.

13 Q. Summarize for us what particular modifications of
14 this rule will help make more efficient and meaningful the
15 administrative procedures by which commingling cases are
16 being processed.

17 A. I think the part of the rule -- the pressure rule
18 is a very large item for Amoco. The economic part of the
19 rule is very important to us so that we can get to our
20 wells earlier in their life. And those are probably the
21 two most significant pieces for Amoco.

22 Q. We've talked about the reference-case --

23 A. Uh-huh.

24 Q. -- concept. Describe for us how you envision
25 that process to function.

1 A. Okay. Are you talking about how reference cases
2 would be established or --

3 Q. Yes.

4 A. Okay.

5 Q. How do you build one?

6 A. Well, I can see one probably coming for Amoco in
7 a couple of the formations that we haven't talked about
8 here today, and I can see us finding the need very soon in
9 the Basin to have reference cases built for those
10 formations, based on our historical information.

11 And so I would see an operator, if it were of
12 interest to them, or perhaps the Division, if it were
13 something that they were seeing a lot of collective types
14 of downhole commingling applications, perhaps they might
15 choose one to be used as a reference case so that they
16 wouldn't have to wade through all that information every --

17 Q. Now, the reference case could be specific as to
18 any component of the rule, could it not?

19 A. Exactly, and I would say that when we had a
20 reference case, perhaps I would provide all the base
21 information, and I might only use part of that reference
22 case.

23 For instance, I might use -- If we were to relax
24 the pressure rule in the San Juan Basin, I might only use
25 that on my form as support. But perhaps if I were in an

1 area where my water compatibilities were different, I would
2 not be using that if that were a part of it.

3 So I think you could use selected parts of a
4 reference case and not just a blanket, entire case.

5 And I still see a great deal of information that
6 we're going to be providing on the form at any given time
7 along with the reference case. I don't see us just saying,
8 here's my well and here's the number, you know, and that
9 does it. I see us having to provide all of the base
10 information, as well as some of those things being
11 qualified by the reference case.

12 Q. Do you perceive the reference case procedure to
13 be flexible enough where the agency and the applicant or
14 operator can develop a reference database, perhaps on a
15 formation or an area and a formation, it could have several
16 components to it in terms of how large an area is
17 referenced by that order?

18 A. Yes, and I think similar to some of the things
19 that we see in allowables where we grow the pool, you could
20 probably grow the reference case, I would think.

21 MR. KELLAHIN: That concludes my examination of
22 Ms. Staley.

23 We would move the introduction of Amoco's
24 exhibit.

25 CHAIRMAN LEMAY: Without objection, those

1 exhibits will be entered into the record.

2 Questions of Ms. Staley?

3 Commissioner Weiss?

4 EXAMINATION

5 BY COMMISSIONER WEISS:

6 Q. Yeah, the Chacra wells. Earlier this morning we
7 heard about Pictured Cliffs, Mesaverde, the Dakota. What's
8 the area location of the Chacra wells?

9 A. We're up to the northwest slightly, so in that
10 Basin pool it overlies -- A lot of our work is in the
11 northwest one-third of the Basin.

12 Q. But they basically -- They're within the pool
13 limits, huh?

14 A. Within the pool limits, that's correct.

15 Q. Okay. With that in mind, tell me about reference
16 cases again. I don't understand the need for one.

17 A. What I would see is a need for establishing
18 certain areas where you can use data that applies to that
19 area. Our --

20 Q. Isn't that established now? Don't we have that?
21 My sense was this morning that we know about the Pictured
22 Cliff, the Mesaverde and the Dakota, and I guess I
23 understand now that the Chacra is pretty much --

24 A. Well, I'd have to give you specific information,
25 I think, from each formation always.

1 your area to your particular well. So it wouldn't be like
2 expanding a reference case, but you would be able to say
3 that the well I'm going to downhole commingle in these two
4 formations has this particular characteristic that's been
5 proven in this case to be similar all over, and therefore
6 I'm going to refer you to that case for that particular
7 item.

8 Q. Amoco will only have one well -- one rig drilling
9 this season. How is that compared to last year?

10 A. We had two rigs last year, and that is our plan
11 at this time, is to only have one rig drilling, and we
12 should keep that continuously busy.

13 Q. Okay. If these rules were approved, would that
14 necessarily change Amoco's decision to have only one
15 drilling rig out there?

16 A. At this point it would change our choices. And
17 as our choices change of wells that we would drill -- Our
18 budget process is to look across our company and see where
19 our opportunities are.

20 The San Juan Basin opportunities don't stack up
21 as well against other investment opportunities, because
22 we're not getting as much gas for the amount of money that
23 we're investing. Therefore, if we are able to demonstrate
24 to our management that we have opportunities that are now
25 greater for the money invested, then our opportunities move

1 Q. What about wells that -- I mean, a lot of this
2 would be -- We can't drill to that formation unless we can
3 commingle it, therefore we want preapproval, basically, for
4 commingling. Would that apply to a reference-cased area or
5 an area --

6 A. Yes, yes.

7 Q. So then you wouldn't need individual well
8 applications; you could just refer to that one case,
9 couldn't you?

10 A. Well, I would refer to the case, but I would
11 still have to file, I believe, the base information with
12 you for that well, for your records and for --

13 Q. After the well was drilled or before?

14 A. We would file the information for the application
15 prior to, and then as I envision it, like I said, later if
16 that data was different, then we would need to update you
17 with that information. You know, if we hit a pressure
18 pocket or if we get, you know, fluids that were not
19 incompatible.

20 Q. All right.

21 A. That were not compatible, pardon me.

22 Q. Yeah. So I guess what we're trying to do is,
23 say, to ease the burden on industry, we're trying to
24 eliminate a lot of the -- maybe the paperwork.

25 What I was hearing earlier was that they would

1 like to see some kind of a reference, or you all would, for
2 the San Juan Basin on at least PC, Mesaverde and Dakota
3 being commingled within defined pool limits, maybe by this
4 order. I'm not sure. But I mean I thought that -- So then
5 if you were going to commingle, you wouldn't have to go
6 through that application process again; it would be almost
7 commingle -- You would have to be able to commingle by
8 rule? Is that what you're getting at?

9 MR. KELLAHIN: That was not our intent, Mr.
10 Chairman. Let me see if I can clarify --

11 CHAIRMAN LEMAY: Yeah, okay.

12 MR. KELLAHIN: -- what we're trying to do.

13 Whatever form is utilized --

14 CHAIRMAN LEMAY: Yeah.

15 MR. KELLAHIN: -- let's assume for argument this
16 is the form --

17 CHAIRMAN LEMAY: Okay.

18 MR. KELLAHIN: -- when you file your C-104 for
19 your application for permit to drill --

20 CHAIRMAN LEMAY: Yeah.

21 MR. KELLAHIN: -- you would concurrently file for
22 that new well this commingling application. You've got all
23 the data in here that's available to you.

24 When you get to these subdivisions, particularly
25 if pressure is still in the rule, the 50 percent -- Let's

1 say that stays. We would then be able to either submit
2 individual information or we can use Mr. Daves' reference
3 case whereby Mr. Catanach, when he looks at this, says, I
4 know pressure is not a problem for you with this PC-
5 Mesaverde commingling. You don't have to worry about that
6 pressure limit for me. So long as you stay within whatever
7 that threshold pressure is, you're free to go.

8 She drills her well, she comes back under his
9 order that's approved this, and says, I've exceeded the
10 pressure. The process would be, then, she's going to have
11 to postpone commingling on that new-drill until she's in
12 compliance with whatever pressure criteria you give.

13 So the example is that Mr. Daves is asking you to
14 consider two things: one, that his presentation for the
15 Pictured Cliffs, the Mesaverde and the Dakota could be a
16 reference case to delete the 50-percent requirement out of
17 this rule. And if you agree with him, then the next time
18 they file one of these, they're going to use this case
19 number as that reference point.

20 In addition, the second point that he's asking
21 you to consider is, this could be a reference case on item
22 one, which is the economic criteria. You may be fully
23 satisfied that every time you see another commingle
24 application for Mesaverde, that's inherently going to be
25 marginal. Why worry about putting together the graphs and

1 the information when we all are going to concede that it's
2 marginal, if that's your answer? And so when he gets down
3 here, he fills that in. But he would always get this
4 application.

5 CHAIRMAN LEMAY: An application for each well --

6 MR. KELLAHIN: Yes.

7 CHAIRMAN LEMAY: -- that's going to be drilled?

8 MR. KELLAHIN: Absolutely.

9 CHAIRMAN LEMAY: Some of the information like
10 fluid compatibility wouldn't be available after you drilled
11 the well.

12 MR. KELLAHIN: Well, it isn't now.

13 CHAIRMAN LEMAY: Right.

14 MR. KELLAHIN: Some of that stuff you're doing
15 now and getting information later. It's done by analogy.

16 MR. KELLAHIN: So I guess every commingling
17 application or every authority to drill under a commingled
18 order or whatever you want to call it, okay, you can
19 commingle, is always conditioned upon subsequent testing of
20 the fluids, that they're compatible.

21 MR. KELLAHIN: Yeah, you do that now, and we're
22 not asking you to change that.

23 CHAIRMAN LEMAY: Okay.

24 MR. KELLAHIN: That's no change.

25 CHAIRMAN LEMAY: I understand better now --

1 MR. KELLAHIN: Yeah, you're doing that.

2 CHAIRMAN LEMAY: -- the reference case, yeah.

3 MR. KELLAHIN: When David signs those draft
4 orders that you sign, they have some conditions on them.

5 CHAIRMAN LEMAY: Uh-huh.

6 MR. KELLAHIN: They have some conditions. And
7 there could be standard conditions on there, that on a new
8 drill if you exceed whatever he says is the pressure of the
9 lowest-pressure container, and when you report that and --
10 or you self- -- police yourself, then you can't commingle.
11 So I think that's how you handle it.

12 CHAIRMAN LEMAY: Okay, that clarifies some of my
13 fuzziness.

14 MR. KELLAHIN: No, this is not a blank check
15 where we're going to go out and punch holes all over the
16 San Juan Basin. There is regulatory review and approval
17 that goes on in this process.

18 CHAIRMAN LEMAY: That's all I have.

19 Any additional questions?

20 FURTHER EXAMINATION

21 BY COMMISSIONER WEISS:

22 Q. Yeah, on the question of the abnormal pressure or
23 overpressure or something, has that ever happened? Does
24 that ever occur?

25 A. We have seen -- The only case I can think of is

1 in the lower Dakota where we have gotten surprised by some
2 wells in a very noncontinuous Dakota zone. It was not a
3 downhole commingling issue, but we have gotten surprised in
4 the Basin twice.

5 Q. Isolated --

6 A. Very isolated, they're isolated little, very
7 small bumps. And we found a few -- yeah, I think two of
8 them we've found. But that's the only ones I'm aware of
9 that we've gotten surprised off the pressure pockets.

10 Q. So maybe we could discount pressure as a part of
11 the requirements for commingling.

12 And then also I think that you said that you have
13 not seen any fluid problem. I mean, the wells haven't
14 scaled up when you've commingled or something of that
15 nature; is that right?

16 A. We haven't seen them at all, and we look at that
17 data, we look at the water test and we run it, and we have
18 not seen it.

19 It's not something -- I think, as Scott said
20 earlier, as a company it's something we want to watch out
21 for and we don't want to do.

22 Q. So it appears to me that it's coming down we only
23 need one reference case for the San Juan Basin, or at least
24 within the pool limits?

25 MR. KELLAHIN: That's what we're asking you.

1 THE WITNESS: Right --

2 MR. KELLAHIN: We've come to that --

3 THE WITNESS: -- we think it's at that point.

4 MR. KELLAHIN: -- conclusion, it's your decision
5 or the Division's decision how to handle that reference
6 issue.

7 But that was our presentation this morning.

8 COMMISSIONER WEISS: Okay, that was my other
9 question. Thank you.

10 CHAIRMAN LEMAY: Anyone else?

11 You may be excused. Thank you very much.

12 MR. KELLAHIN: We want to shift gears and areas,
13 Mr. Chairman. I'm going to call Mark McClelland. Mr.
14 McClelland is an engineer with Conoco.

15 We want to move to southeastern New Mexico and
16 deal with a part of the rule that is a concern for the oil
17 operators.

18 In addition to having the industry committee
19 agree as engineers with regards to the technical changes,
20 Mr. McClelland has a specific example of what I described
21 earlier where the difficulties with the oil allowables
22 based upon depth, which is the first page of Exhibit A to
23 the order we're talking about, in which by increments of a
24 thousand feet the combined total daily oil allowable is
25 increased by increments of ten barrels.

1 And that really is the focus of Mr. McClelland's
2 presentation.

3 MARK McCLELLAND,
4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. McClelland, for the record would you please
9 state your name and occupation?

10 A. Yes, my name is Mark McClelland. I'm a reservoir
11 engineer with Conoco. I live in Midland, Texas, and I work
12 the southeast New Mexico area, predominantly Lea County.

13 Q. Mr. McClelland, on prior occasions have you
14 testified before the Division and qualified as an expert
15 petroleum engineer?

16 A. Yes, I have.

17 Q. As part of your duties as a petroleum engineer
18 for your company, are you involved in looking at downhole
19 commingling opportunities with regards to some of the
20 reservoirs in southeastern New Mexico?

21 A. Yes, I am.

22 Q. And were you involved on behalf of your company
23 with the industry committee that has been examining
24 modifications and amendments to -- proposed to the
25 Commission for consideration in changing Rule 303?

1 A. Yes, I have been.

2 MR. KELLAHIN: We tender Mr. McClelland as an
3 expert witness.

4 CHAIRMAN LEMAY: His qualifications are
5 acceptable.

6 Q. (By Mr. Kellahin) Let's take a moment, Mr.
7 McClelland, and set the stage for your discussion. If
8 you'll turn to the geologic locator for us --

9 A. Okay.

10 Q. -- help us find those pools that you want to
11 discuss today, and let's begin that discussion.

12 A. My discussion -- Second page in your handout is a
13 geologic correlation chart. My discussion concerns the
14 Central Basin Platform.

15 In this area I've seen quite a bit of activity in
16 the section known as the Yeso or Blinebry, Tubb, Drinkard
17 and also Paddock. And this is the example I brought today,
18 this will be the area that I address.

19 Q. Okay. When we look at these examples, where are
20 we geographically in southeastern New Mexico?

21 A. We are in the extreme southeastern corner of New
22 Mexico, in Hobbs, Lea County. We're probably in the area
23 south of Hobbs down to Jal, New Mexico.

24 Q. On page 3 you have summarized your
25 recommendations, particularly with regards to the maximum

1 daily oil rate that you're allowed to produce under
2 commingling. Help us understand that issue, if you go
3 ahead and summarize for us what the problem is, and let's
4 talk about a potential solution.

5 A. The big problem that I've run up against in
6 looking at Conoco's wells in this area is the producing cap
7 that is allowed for downhole commingled wells. It's
8 restrictive, it's low, and it curtails production and
9 recovery.

10 Q. Are any of those levels within the current 303
11 table equivalent to what you could produce as an operator
12 in the absence of commingling of that particular reservoir?

13 A. No, they're much less. For example, Exhibit A,
14 that we -- that was passed out this morning, under downhole
15 commingling you will see a table of oil production rates
16 based on depth, for the interval from 6000 to 7000 feet.
17 That is 40 barrels a day.

18 An equivalent rate for a Justis-Blinebry well
19 would be 107 barrels of oil per day for that depth. That
20 depth bracket allowable would be 107.

21 Q. You could have 107 in the Blinebry if it was not
22 commingled?

23 A. That's correct.

24 Q. And under commingling, then, you'd get --

25 A. -- 40.

1 Q. -- 40. And that's to be shared with any other
2 zone being commingled, right?

3 A. That's correct.

4 Q. Okay. All right, so that's the Blinebry, and
5 this is 40-acre oil depth bracket allowable, 107 barrels a
6 day?

7 A. That's correct.

8 Q. What would you likely commingle the Blinebry
9 with?

10 A. Most likely the Tubb and Drinkard.

11 Q. And where would you find that depth?

12 A. Tubb and Drinkard, depending on where you're at
13 in Lea County, it still falls within that same depth
14 bracket, normally the 6000 to 7000 feet.

15 Q. So if you keep the wells separated, each pool,
16 then, would have 107 barrels?

17 A. That's correct.

18 Q. As a dual?

19 A. That is correct.

20 Q. All right. So you'd have a total of 214 out of
21 that wellbore?

22 A. That's right.

23 Q. On a dual-production configuration?

24 A. If your well had that capacity to make that rate.

25 Q. All right. And if you commingle them, you're at

1 40?

2 A. Forty, right.

3 Q. You've lived with that rule for a while, haven't
4 you, Mr. McClelland?

5 A. Yes.

6 Q. You've attempted to operate under the constraints
7 of that rule?

8 A. Yes.

9 Q. Let's show the Commission an example that you've
10 brought of what you have to do in order to stay consistent
11 with that oil cap. Let's look at the State A 2 Number 4
12 well. You've got a well history.

13 A. Yes.

14 Q. Let's turn to the next page and have you
15 summarize for us the well history and then we'll look at
16 the graph.

17 A. Okay. We're on this exhibit. It says "State A-2
18 Number 4 Well History".

19 Part of my responsibilities as a reservoir
20 engineer is to ensure that we are recovering -- maximizing
21 recovery of oil and gas from our leases.

22 We have an 80-acre state lease here outside of
23 Jal, New Mexico, that I studied back in 1990, and realized
24 that we had additional recovery to be made in this area.
25 This area was developed in the early 1960s. It's an area

1 that has multiple formations. The original two wells -- It
2 was developed on 40 acres.

3 The original two wells had three strings of
4 tubing cemented in an open hole, often called a tubingless
5 triple completion. And while that was all well and good
6 for initial production, it sort of made workover operations
7 a mechanical nightmare out here.

8 In effect, we could not work over our wells to
9 recover additional reserves that we felt were in the
10 ground. Thus we justified the drilling of the State A-2
11 Number 4 in 1991. This well was justified and planned as a
12 dual completion. We were targeting the Abo and the Tubb-
13 Drinkard formations for production initially.

14 To summarize this history, basically the Abo was
15 noncommercial as a dual. We abandoned the Abo, we
16 completed in the Tubb-Drinkard -- that's the Justis-Tubb-
17 Drinkard Pool -- in October, 1991, produced that for about
18 a year, set a plug, abandoned that production, came uphole
19 to the Blinebry, produced the Blinebry for approximately
20 six months, downhole commingled Blinebry and Tubb-Drinkard
21 together in April, 1993, through an administrative order.

22 Two years later we went back and tried again to
23 dual with the Abo. We were not successful in doing so.

24 In August, 1995, we received a Division order
25 that allowed us to put the Abo in a downhole commingle

1 state with the Blinebry and Tubb-Drinkard.

2 Q. In this particular example, you are faced with
3 choices of commingling Blinebry, Drinkard and Abo, was it?

4 A. That's correct.

5 Q. Of those zones, which is the best oil producer?

6 A. The Blinebry.

7 Q. So the Blinebry is the shallowest zone, it's your
8 best oil producer. How do you justify getting the lower
9 formations produced?

10 A. It's basically incremental economics. When you
11 drill a well, you realize the next zone down is probably
12 only a couple hundred feet deeper, but yet it may give you
13 10 or 15 barrels a day.

14 But in order to justify that well, you still need
15 to get a payout. So you need to bring those streams, those
16 lower marginal streams, on line as quickly as possible
17 until you get to your strongest zone. You can't afford to
18 complete that initial zone if it's marginal and produce
19 that thing for ten years and expect to pay out your
20 wellbore.

21 Q. In response to the industry's request that these
22 oil maximum rates be increased, the Division has proposed
23 to the Commission that each of these rates be tripled.

24 So if we look at your level between 6000 and 7000
25 feet, if you triple that to 120 barrels a day, would that

1 provide an opportunity for Conoco and others to drill a new
2 drill where you could package together all these zones to
3 be commingled and have enough of an allowable to help get
4 you the economics to justify the well?

5 A. Most definitely.

6 Q. Let's look to see what you did in the production
7 plot, of how you had to cope with the existing rule for the
8 State A-2 Number 4. If you'll look on the display you've
9 brought, you've got a horizontal black line across the
10 display, and you've captioned that "40 barrels".

11 A. That's correct.

12 Q. That's your cap?

13 A. That's our cap, that's our ceiling.

14 Q. All right. Starting with the first black arrow,
15 describe for us what you had to do in order to keep your
16 production below the commingled oil cap.

17 A. Again, this production plot is just showing the
18 history of the previous exhibit.

19 On the first arrow we completed in the Justis-
20 Tubb-Drinkard zone. That was in October, 1991. Our
21 production fell fairly rapidly, as you would expect in a
22 replacement type well. You get some flush production and
23 then it stabilizes off at some lower rate, in this case
24 about 12, 15 barrels a day.

25 We produced the well for about six months to make

1 sure we had some stabilized production that we could come
2 to an administrative application with, to show that we did
3 have some stabilized production, we could allocate
4 production in a downhole commingled state.

5 The second arrow, in 1992, is when we isolated
6 that Tubb-Drinkard production, we set a plug, shut it off.
7 We opened up the Blinebry zone and brought on approximately
8 a 35-barrel-a-day oil well.

9 At that point I came to our regulatory personnel,
10 Mr. Hoover, and said I would like to downhole commingle the
11 Blinebry and Tubb-Drinkard together. He informed me that
12 that added production would exceed the 40-barrel-a-day cap;
13 we could not do so. We would have to wait till that
14 production dropped to a point where we could add it back
15 into the Tubb-Drinkard.

16 So about six months later, that well had dropped
17 off to 25 barrels a day, where we felt we could add in the
18 Tubb-Drinkard and not exceed that 40-barrel-a-day cap.

19 The third arrow is when we did this work. That's
20 in 1993. And you can see the well came right up to the
21 cap, 40 barrels a day, stayed there for about three months,
22 and it has declined on out since.

23 So in effect, this cap, this artificially low
24 cap, has driven the timing of accessing these marginal
25 reserves.

1 Q. Do you have another example where you reach the
2 same conclusion?

3 A. Yes, I have one more example in this package.

4 Q. Let's look at the last page, then, and have you
5 explain that example.

6 A. We have one more well out here. As I said, this
7 is an 80-acre lease. The next well we drilled was the
8 State A-2 Number 5. It's the south offset to the Number 4.

9 Being the eternal optimist, I thought we'd do
10 better in the Number 5, so we decided to try it again.
11 This time we did not go after the Abo. We felt like it was
12 marginally -- it was marginal, it was uneconomic for us to
13 drill down through the Abo.

14 We stopped at the base of the Drinkard, made a
15 completion in the Justis-Tubb-Drinkard in January, 1994.
16 Again, if you see this exhibit, State A-2 Number 5, you can
17 see our completion in 1995. It acted very similar to the
18 previous well, the Number 4: 50 barrels a day initially,
19 dropping off to 20 to 22 barrels a day rather rapidly.

20 We immediately shut this well in. The last test
21 was 21 barrels of oil per day and 363 MCF per day of gas,
22 which is still a good rate but it's not sufficient to get
23 the economics back on this well that we need to continue
24 this type of work.

25 So we set our plug, isolating Tubb-Drinkard, came

1 uphole, opened the Justis-Blinebry and we got a nice
2 Justis-Blinebry well, initially over 100 barrels a day.
3 Currently it has 70 barrels of oil per day.

4 We made a projection on this Blinebry zone, while
5 still fairly early in the well's life. It looks like this
6 well will not decline out to a level where we can downhole
7 commingle for another two years. That is, we could not
8 downhole commingle Tubb-Drinkard back with the Blinebry
9 until the current production drops from 70 barrels a day
10 down to 18 barrels a day, because, again, of this 40-
11 barrel-a-day cap.

12 Again, this cap is driving the timing of
13 accessing additional reserves in the wellbore, and this
14 drives the economics and the payout of the wellbore.

15 Q. Is this an efficient way, in your opinion, to
16 manage this resource?

17 A. No, it is not.

18 Q. If the Commission adopts the Division proposal to
19 triple the current table, would that in any way violate
20 correlative rights or be a concern that waste will occur?

21 A. No, it will not. In effect, it may actually
22 encourage some additional infill-type drilling activity
23 such this, or replacement-type activity.

24 Q. Would increasing the oil rate for the commingled
25 well give that wellbore somehow an unfair competitive

1 advantage over any offset well for which commingling has
2 not been undertaken?

3 A. No, it will not. As we've seen, if we even
4 triple the downhole commingling cap, it is still fairly
5 close to what the individual zone production depth
6 allowable bracket is.

7 Q. Do you see any opportunity for abuse or
8 manipulation of the process by any applicant by increasing
9 the oil rate?

10 A. No, I think the process is designed to encourage
11 additional recovery in opening marginal zones and adding
12 them to the well production stream.

13 Q. The Division has under consideration some pending
14 Examiner cases where the applicant -- I believe Enron was
15 one of them -- sought to have oil commingled using the
16 maximum daily oil rate, based upon the depth bracket oil
17 allowable assigned for the shallowest pool. Are you
18 familiar with that concept?

19 A. Yes, I am.

20 Q. If you were to make a recommendation for the
21 Commission with regards to whether this table is tripled or
22 whether they adopt the maximum oil allowable of the shallow
23 pool, do you have a recommendation or a suggestion?

24 A. I would recommend the tripling, but I realize
25 that there's not a whole lot of difference between tripling

1 and the depth allowable bracket.

2 Q. In either instance, whichever one they adopt, do
3 you see any opportunity for impairment of correlative
4 rights or causing reservoir waste?

5 A. No, I do not.

6 Q. You participated on behalf of your company with
7 the industry committee with regards to the other issues,
8 did you not?

9 A. Yes, I did.

10 Q. And without asking you specifically, do you
11 concur with the conclusions and opinions that Mr. Daves and
12 Ms. Staley expressed to the Commission?

13 A. Yes, I do.

14 MR. KELLAHIN: That concludes my examination of
15 Mr. McClelland.

16 We move the introduction of Conoco's exhibits.

17 CHAIRMAN LEMAY: Without objection, Conoco's
18 exhibits will be admitted into the record.

19 Questions of Mr. McClelland?

20 Commissioner Weiss?

21 EXAMINATION

22 BY COMMISSIONER WEISS:

23 Q. Yes, sir, are your examples here, are they infill
24 wells? Did I hear you say that?

25 A. They're replacement wells.

1 Q. Replacement wells. So the reservoir and the
2 reservoir size, reserves, are pretty well established?

3 A. Yes.

4 Q. For all the zones?

5 A. Yes.

6 Q. Are the fields unitized? Are they --

7 A. No. There are pools --

8 Q. They're not secondary --

9 A. -- established.

10 Q. Yeah, the pools are established, but they're not
11 secondary units, waterflood units?

12 A. That's correct. Now, just south of this lease
13 there is an established waterflood unit, the Arco South
14 Justis unit. But this lease was not included in that.

15 Q. Well, does your commingling request here -- What
16 does that do to your reservoir-engineering efforts? By
17 that I mean determining recovery efficiency and your
18 estimates of original oil in place, and do these things --
19 How does that affect that type thing?

20 A. It doesn't really introduce any more uncertainty
21 than is already out there. We can allocate production
22 fairly accurately.

23 Even on a predrill I think we can do a very good
24 job of allocating production.

25 COMMISSIONER WEISS: Fine, my only question.

1 Thank you.

2 CHAIRMAN LEMAY: Commissioner Bailey?

3 EXAMINATION

4 BY COMMISSIONER BAILEY:

5 Q. I'm trying to understand the reason for the cap
6 to begin with.

7 A. Good, so are we.

8 Q. Part of the table.

9 But did I understand you correctly that you would
10 prefer to see tripling of these caps rather than basing it
11 on the allowables for the pool? I don't understand why you
12 would say that.

13 A. Well, again, let me run through the examples from
14 6000 to 7000 feet.

15 The depth allowable -- The state has depth
16 allowables for their oil wells. At 6000 to 7000 feet it's
17 107 barrels of oil per day.

18 The shallower allowable, I believe, is 80 barrels
19 a day for the next depth bracket down.

20 The next depth bracket up is 142.

21 So based on the depth of your well you have a
22 certain allowable production that you can make.

23 What we're proposing -- Currently the cap is 40.
24 We're proposing a tripling of the cap to 120.

25 Q. Which would essentially set it higher than

1 pool --

2 A. Yes, slightly higher than the depth allowable for
3 that pool. It would be 120 versus 107.

4 Q. Okay. Do you see an impact on pool allowables if
5 this cap is set at this higher --

6 A. No, not at all. Predominantly, you will find
7 very few restricted wells in New Mexico. There are very
8 few allowable wells in New Mexico. Your average production
9 is probably 10 to 15 barrels a day, if that good.

10 COMMISSIONER BAILEY: Thank you.

11 EXAMINATION

12 BY CHAIRMAN LEMAY:

13 Q. You didn't address the water issue. I think a
14 lot of our table here has to do with both oil and water.
15 It has limits set to the water.

16 As I understood the other proposal, since water
17 wasn't addressed, I assume if you're picking a top
18 allowable for the shallowest pool zone, you would still
19 carry -- your recommendation would still carry that no more
20 water would be produced than oil?

21 I mean, you're limiting fluids in this table.
22 You're not limiting fluids, total fluids, when you're
23 talking about top allowables for zones?

24 A. That's correct. I believe currently the way the
25 rules are stated, you're allowed to produce twice as much

1 water as oil. I think water is limited to two times the
2 oil of the well.

3 We are not recommending any change to that; we
4 are just asking for increase in the oil cap, which would,
5 in effect, allow the water production also -- twice the
6 oil, twice the oil cap, if I --

7 Q. So you're really talking about fluids three times
8 the allowable? Basically, you could go as high as three
9 times the allowable of the shallowest zone for total fluids
10 produced. Instead of 107, you can go 321 barrels a day?

11 A. That's right, that's correct.

12 MR. KELLAHIN: Only 107 can be oil; the other
13 could be water.

14 And we would -- Whatever schedule you adopt, we
15 need relief on the water volume. And so the way this was
16 proposed by the Division is that the oil table would
17 triple, that correspondingly, the way the rule was written
18 would double the water rate. And that's one solution.

19 If you adopt what Mr. Cate is about to recommend,
20 then it's a little different oil rate, but you could still
21 double the water based upon his oil rate.

22 There needs to be -- and I think he could perhaps
23 address it -- there needs to be relief for the water limit.
24 I think everybody recognizes that as too low, and we have
25 found no one that finds that's a serious problem if it's

1 increased.

2 THE WITNESS: Have I confused you?

3 CHAIRMAN LEMAY: I haven't heard water mentioned.
4 That's why I wanted to bring it up.

5 THE WITNESS: Okay.

6 MR. KELLAHIN: Because it wasn't an issue for us,
7 we concurred in what the Division had proposed in
8 increasing the water, and so we've not addressed it. If
9 that's an oversight, we'll certainly have somebody fill it
10 in.

11 CHAIRMAN LEMAY: I just need that addressed and
12 where it becomes a fact.

13 Anything else? Commissioner Weiss?

14 COMMISSIONER WEISS: One other question.

15 FURTHER EXAMINATION

16 BY COMMISSIONER WEISS:

17 Q. Again, your thinking is, this applies to infill
18 development rules, not new discoveries or new pools?

19 A. That's correct.

20 COMMISSIONER WEISS: That was my only question.
21 Thank you.

22 FURTHER EXAMINATION

23 BY CHAIRMAN LEMAY:

24 Q. Reference cases, do you believe in these
25 reference cases that we're talking about?

1 that flush production initially, realizing we're going to
2 be facing very steep decline in these wells. And really,
3 the more production you can get the earlier in the life of
4 the well, the better your economics are.

5 CHAIRMAN LEMAY: Any other questions of Mr.
6 McClelland?

7 COMMISSIONER WEISS: One more.

8 CHAIRMAN LEMAY: Commissioner Weiss?

9 FURTHER EXAMINATION

10 BY COMMISSIONER WEISS:

11 Q. In regard to allowables, should we have
12 allowables on wells of this nature?

13 A. It's a very good question.

14 If I can back up one year, I posed the very same
15 question to this man right here. When he came up for an
16 industry open hearing -- meeting -- I said, Why do we have
17 allowables?

18 Q. I mean, a well is essentially depleted in a year
19 or two.

20 Maybe you ought to bring that up again next
21 month, huh?

22 A. I think allowables had their time and place.

23 But in the environment that we're in currently --
24 Outside of new discoveries, in the environment we're in
25 currently, I don't see where they really apply to most of

1 our wells we have today.

2 COMMISSIONER WEISS: Thank you.

3 FURTHER EXAMINATION

4 BY CHAIRMAN LEMAY:

5 Q. Just -- In terms of allowables, because we have
6 had this discussion and since we're addressing them here, I
7 think they're really there as a refutable MER number. I
8 mean, they came somewhere. At one time they served a
9 different purpose.

10 But unless we have MER hearings on each field,
11 it's very difficult to assign a number. So I think you're
12 familiar -- We've increased allowables, certainly --

13 A. Yes.

14 Q. -- to hearing where there's evidence to show that
15 those things aren't cast in stone.

16 A. That's right.

17 Q. I guess you have to start with a number somewhere
18 before you can adjust that number. I'm not defending the
19 number, the allowable, but I'm saying it seems to be there,
20 and people can use it to go up from in the event they have
21 indications that it needs to go up.

22 A. And I respect that. With the Commission we have
23 come up several times on pool-rule changes and saw some of
24 these different scenarios where we feel like it made
25 engineering judgment and good sense to do so. And we've

1 been very well received, and we've done so also.

2 Q. I guess I have another question, as long as
3 you're there. We started on some of this.

4 You've heard the pressure-differential arguments
5 for the San Juan Basin. Would that apply here too? You
6 wouldn't want to exceed the initial bottom -- I mean, I
7 realize your pressures are so low, I guess, that --

8 A. They are.

9 Q. -- you probably wouldn't exceed reservoir
10 pressure. Would that be a limitation that you see as a
11 factor?

12 A. It's a little different here, I think, in the
13 southeast. I think our next witness will address this
14 probably better than I can.

15 Q. Okay.

16 A. My area is predominantly solution gas drive
17 reservoirs that are fairly well depleted, and we don't
18 really run into that big pressure differential that much.

19 Now, I will say, most of our reservoirs are
20 fairly tight. We have to sand-frac these reservoirs to
21 make them produce. And predominantly when we pump these
22 wells, they are pumped off on time clocks.

23 So even if we do have some fairly large pressure
24 differentials, when we're producing the well it's at an
25 almost zero-pressure condition anyways.

1 CHAIRMAN LEMAY: Okay, anything else?

2 Thank you very much. Appreciate your testimony.


3 MR. KELLAHIN: May I respond to Commissioner
4 Weiss? The industry committee was concerned about the
5 allowable issue, and one choice was to piggyback the
6 commingled well, using the depth bracket allowable.
7 Although it's arbitrary, at least it is consistently
8 arbitrary.

9 Our concern about not having an allowable was
10 that we all recognized there was an opportunity for abuse,
11 whereby in a pool that had good-capacity oil production, an
12 operator could file for commingling and thereby avoid any
13 allowable curtailment on his oil production and have an
14 allowable in a competitive field that was in excess of what
15 his competition was doing.

16 And so rather than create a windfall or an
17 opportunity for abuse, the discussion centered on taking
18 the shallowest pool's allowable and pegging that as the
19 commingled cap. And so that's where that discussion took
20 place.

21 COMMISSIONER WEISS: Does that situation apply to
22 new fields, not to old fields? I mean, old fields that are
23 well defined and established, I see there's less concern, I
24 would think, for competitive development.

25 MR. KELLAHIN: Yes, sir, in looking at a



1 statewide rule, we were -- the dilemma was to try to
2 separate out new from old, and we just couldn't figure it
3 out.

4 But you're quite right, in an older field it's
5 not important. In a new field it becomes an issue for all
6 of us.

7 That concludes our technical presentation.

8 There is another technical witness.

9 (Off the record)

10 CHAIRMAN LEMAY: Let's take ten minutes and come
11 back, just as a break.

12 (Thereupon, a recess was taken at 2:20 p.m.)

13 (The following proceedings had at 2:37 p.m.)

14 CHAIRMAN LEMAY: Okay, we shall continue.

15 Ms. Trujillo?

16 MS. TRUJILLO: Thank you, Mr. Chairman. Again,
17 my name is Tanya Trujillo, and I'm here on behalf of Enron
18 Oil and Gas Company. We have one witness today, and when I
19 find my outline -- there it is -- we'll be ready.

20 RANDALL S. CATE,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MS. TRUJILLO:

25 Q. Could you state your name, please?

1 A. Yes, my name is Randall Cate.

2 Q. And by whom are you employed?

3 A. I'm employed by Enron Oil and Gas Company in
4 Midland, Texas.

5 Q. And what is your current position with Enron?

6 A. I'm a project reservoir engineer.

7 Q. Have you previously testified before the Oil
8 Conservation Commission?

9 A. Not the Commission. I have testified in front of
10 the Division many times.

11 Q. Well, let's go through your educational
12 background.

13 A. All right. I graduated with a bachelor of
14 science degree in mechanical engineering from the
15 University of Texas at Austin in 1979.

16 I worked for Gulf Oil corporation in Odessa for
17 two years, approximately. Then I joined Texas Oil and Gas,
18 or TXO, primarily as a reservoir engineer -- I also had
19 some production and drilling experience there -- for ten
20 years.

21 1990, I joined Enron Oil and Gas as project
22 reservoir engineer, and that is still my current
23 assignment. And for Enron and most -- TXO was primarily
24 southeast New Mexico.

25 Q. And you stated you have testified many times

1 before the Division, correct?

2 A. Yes, I have.

3 Q. And have those cases involved applications for
4 downhole commingling?

5 A. Yes, two of them have.

6 Q. And has Enron received approval for downhole
7 commingling projects?

8 A. Yes, we have received some administrative
9 approvals, and also we received one approval so far on a
10 docket order, a hearing order, and then we've got one
11 pending at this time.

12 Q. Are you familiar with the provisions of OCD Rule
13 303 and the proposed amendments to the rule?

14 A. Yes, I am.

15 Q. Have you discussed these proposed amendments with
16 other operators in southeast New Mexico?

17 A. Yes, I have.

18 Q. And are you prepared to provide Enron's comments
19 to the Commission regarding the proposed changes?

20 A. Yes, I'm here to support the efforts of the
21 committee and the Commission to amend the downhole
22 commingling rules. I will share Enron's experience,
23 downhole commingling, and also in a new area that has yet
24 to be testified to in southeastern New Mexico, which is
25 primarily the Delaware Basin, and I will also review

1 downhole commingling activity of southeastern New Mexico
2 that the industry has encountered, say, in the last five
3 years.

4 MS. TRUJILLO: Mr. Chairman, I tender Mr. Cate as
5 an expert reservoir engineer.

6 CHAIRMAN LEMAY: His qualifications are
7 acceptable.

8 MS. TRUJILLO: Thank you.

9 Q. (By Ms. Trujillo) Now, you had said you were
10 going to summarize the activity, downhole commingling
11 activity, in southeastern New Mexico with regard to Enron's
12 projects and other operators' projects. Do you want to do
13 that at this point or --

14 A. Yes.

15 Q. -- later? Okay.

16 A. Yes, I'd want to go right into Exhibit Number 1,
17 which is the producing zone map that's shown here. And
18 just quickly, the outlined or colored areas -- you've got
19 magenta and green and kind of a red -- they show areas of
20 industry activity from Commission records on administrative
21 approvals.

22 And also, then, I've had discussions with Bass,
23 Santa Fe, Yates, on areas that -- assuming the rules are
24 relaxed, where would they anticipate future activity?

25 And I wanted to go ahead and comment first that,

1 as you can tell, this map is primarily just Lea and Eddy
2 County, approximately, you know, two-thirds. And then if
3 you see this kind of semicircle through here, this dashed
4 semicircle line, well, this is where the Delaware Basin --
5 south of that is this Delaware Basin area which I'll
6 primarily be talking about.

7 What you saw Mr. McClelland testify to, their
8 commingling efforts are up on this Blinebry area, Tubb-
9 Drinkard, and that's up on this platform area right here,
10 up on the Central Basin Platform. Many, many applications
11 and approvals have been filed in this area that he's
12 talking about.

13 Also, Yates indicated that they would see some
14 activity, some possibilities in their Dagger Draw area,
15 bringing in some Wolfcamp gas. What's hampered them there
16 is the high water. But they may be interested in coming in
17 with a reference case there.

18 Generally, throughout this area here, we have
19 seen a lot of Morrow and Atoka. Again, you can see Morrow-
20 Atoka-Strawn is this magenta color, not so much over into
21 the southeastern portion here, but more in this central
22 area. Primarily gas zones, and they're deep and they're
23 primarily gas zones. That's what the industry has been
24 doing for downhole commingling there.

25 I don't plan on talking much about that. I don't

1 see that the proposed changes -- in any discussion with
2 industry, we just don't see that there will be much
3 difference as it applies to the Strawn-Atoka-Morrow.

4 However, we do see that it could be a significant
5 change and an encouragement to a lot of activity for what
6 is outlined in the red, which would be the Delaware, Bone
7 Spring and Wolfcamp zones. This area here, to the east
8 over here in red, is an area that Yates talked about.
9 Enron's activity is in this kind of mid-southern range
10 here. Santa Fe indicated an interest in future activity
11 here. And we've seen some activity also in those pays here
12 and again here.

13 So I think the great majority of the future
14 activity will be from this colored -- or circled in red,
15 and that is Delaware, Bone Spring and Wolfcamp.

16 Q. And where on this exhibit is Enron's most recent
17 project again?

18 A. Okay, we -- Our experience, one year ago we came
19 to a hearing and received approval to downhole commingle
20 the Wolfcamp and Bone Spring in our James Ranch area, which
21 is approximately right here, okay? It's in this center red
22 circle.

23 It was very successful. We made a good well on
24 that and have now subsequently come in to expand that to
25 about a three- to four-square-mile, or section, area. So

1 we've got an areawide proposal out here that's pending.

2 It also would now include commingling of the
3 Delaware zone in addition to what's already been approved
4 in the James Ranch 71, which was the Wolfcamp and Bone
5 Spring zone.

6 Q. And that was -- You came before the Division in
7 November; is that correct?

8 A. For this areawide one that is pending, that's
9 correct.

10 Q. Okay. Now, did you mention that Texaco is also
11 active in the area or interested in this?

12 A. Yes, the same day that we were here and presented
13 our James Ranch areawide case, Texaco presented one right
14 on this Lea County-Eddy County line, right down here, for
15 the Delaware and the Bone Spring also. And I understand
16 that it is currently pending also, pending this policy
17 decision here. And they did come in and ask for the same
18 allowable or oil limits which we did, which are the top
19 allowable based on the depth bracket for the shallowest
20 zone commingled.

21 Q. Was the Texaco application also an areawide or
22 blanket application?

23 A. Yes, I believe it encompassed 320 acres, so it
24 was not just a single well.

25 Q. Now, Mr. Cate, regarding Enron's applications or

1 activities here, what is the purpose of those activities?

2 A. The purpose of our commingling activities in
3 support of the relaxing of these rules is -- One would be
4 efficiency.

5 Number two, it would be increased recovery.

6 Number three, operationally it is the most
7 prudent and basically necessary that we do get to
8 commingle.

9 And number four would be economic waste, either
10 by drilling two wells for the same reserves, or a company
11 may not -- or may be forced not to drill to the deeper
12 marginal zones because of the postponement of getting a
13 return on that investment. So that would be an economic
14 waste and a forced postponement of productions.

15 Q. So it would be too expensive for Enron to drill
16 two different wells for two different formations?

17 A. Yes. There are cases that it can be done, but in
18 general it would cost Enron an extra \$600,000 to \$700,000
19 to drill another well that we could go ahead and have one
20 well get all the reserves.

21 Q. So Enron is actually seeking downhole commingling
22 authority for new wells, as well as existing wells?

23 A. Yes, and not just new wells, but original
24 reservoir pressures, which is something you haven't seen
25 yet. Most of the testimony has been in depleted reservoirs

1 or at least mid-life to late-life reservoirs.

2 And what we see and with discussions of industry,
3 the future wave in the Delaware Basin would be to drill for
4 stacked pays. The economics are getting such that we need
5 two or three targets in order to justify the drilling
6 expenditures.

7 So you will see it as a new well and in original
8 reservoir conditions. And it's not just for late-life
9 salvage, as possibly it had been in, you know, the last
10 thirty years. Again, many areas will rely on the stacked
11 pay or the multi-target, or they just won't be drilled.

12 Q. Now, Mr. McClelland's presentation related to the
13 Tubb, Blinberry and Drinkard formations, right?

14 A. Yes, that's right.

15 Q. Now, you will primarily relate to --

16 A. -- the Bone Spring, Wolfcamp and Delaware
17 formations.

18 Q. Are there other formations that would be good
19 candidates or --

20 A. Yes, as I've identified on the map, in addition
21 to the Bone Spring, Delaware and Wolfcamp, the Strawn, the
22 Atoka, the Morrow, all of these will and have been
23 commingle targets and will be in the future.

24 Q. Have you done a study of the producing
25 characteristics of these various formations?

1 A. Yes, I did.

2 Q. And what have you done?

3 A. Okay, I -- In the areas of these maps where I've
4 seen -- where you see the red circles, which again are the
5 areas we anticipate commingling for Delaware, Bone Spring
6 and Wolfcamp, I got into the PI production data and pulled
7 them up by township and compared the producing
8 characteristics -- basically initial producing rates and
9 the type of decline -- and found some pretty interesting
10 things.

11 And then what I've done is pick out as an exhibit
12 for several examples what a typical producer would look
13 like. The things that we saw, that I saw in this study,
14 was that they're predictable, they're very -- Throughout
15 the Basin, you see much of the same type of producing
16 characteristics in these. And we will provide some of
17 those that you can flip through. That would be Exhibit
18 Number 2.

19 Q. Right, you're referring to what we've marked as
20 Number 2, right?

21 A. This is Exhibit Number 2, and I just -- I pulled
22 out just a few typical wells. I did not want to spend a
23 lot of time in them.

24 But generally they're very similar formations,
25 and I'm going to go through a log here in a minute and show

1 you that you're dealing with sands -- they're tight sands,
2 porosities 10, 12, 14 percent.

3 The Wolfcamp and the Bone Spring are sands also
4 that we've been dealing with now. Some of the Wolfcamps
5 you get into carbonates, but again they're very low
6 permeability and porosity, and so they tend to exhibit the
7 same type of characteristics on producing: generally, 50-
8 to 100-barrel-per-day average on the first month,
9 hyperbolic declines, averaging -- they'll stabilize out in
10 the -- oh, 30- to 50-barrel-a-day range, seems to be fairly
11 typical, and not just for Delaware but for Bone Spring and
12 even the Wolfcamps that I looked at.

13 Again, I think the importance here is that when
14 it comes time to allocate production, we've got a very
15 large database, thousands of wells have been drilled to
16 these targets in this area, the data is there, and I think
17 that based on the predictability that we're seeing, with a
18 little bit of well testing up front, you can have a very
19 accurate allocation.

20 And also, it aids us in going into these areas
21 where we're going to be targeting for drilling these,
22 quote, marginal pays. But again, knowing their
23 predictability, we can stack them and then we can count on
24 enough reserves out of several zones to make it worth
25 drilling for.

1 Q. Do you want to move on to what we've marked as
2 Exhibit Number 3 and identify that for the Commission,
3 please?

4 A. Yes, Exhibit Number 3 is a type log, and it's
5 kind of a long one, but I'd like to walk you through the
6 type log, and it will show you where each of the formations
7 are in relationship to each other, and we'll talk a little
8 bit about their characteristics.

9 And this is the James Ranch area, but -- and then
10 when we got to the first Bone Spring sand, we included the
11 Mesa Verde well, which is in the area where Texaco has
12 their application pending.

13 And we start at the top, top of the Delaware-
14 Brushy Canyon. This area here in the 6000- down to 8000-
15 foot range is where most of the drilling activity for the
16 Delaware has been in the last five years. Literally
17 thousands of wells now have been drilled to it. Some very
18 good finds, but along with that a lot of marginal economic
19 production.

20 We've marked in yellow generally what the
21 perforated intervals are, the producing intervals within
22 the Brushy. And again these are typical and these are
23 where the significant ones are.

24 And then right below the Brushy Canyon D you
25 would go into -- within about 1000 feet, you go into what

1 has been produced in the area now as the Avalon sand. It's
2 an upper Bone Spring sand. This is also in the Texaco
3 area.

4 Then we move on down to about, oh, the first Bone
5 Spring sand, roughly 9500 feet to 10,000 feet. It also
6 produces in the Texaco area. And we have seen decent shows
7 in other areas, but because of its marginal nature we've
8 kind of bypassed it. That is something that would be a lot
9 of upside, given relaxed rules.

10 And then we come down to the third Bone Spring
11 sand and the Wolfcamp sands. Now, notice here, this is --
12 in our James Ranch application, the Wolfcamp and Bone
13 Spring is what we've already gotten approved.

14 Now, engineeringwise, I have thought these were
15 basically the same deposition, they are both the same
16 permeability type range of sand, same porosity. I believe
17 they were probably deposited from the same system; so did
18 our geologist. But there's OCD regional cross-sections,
19 and the BLM also, and this shale right between the two of
20 them is what they call the Wolfcamp shale. So to me,
21 operationally they're the same; but regulatorywise, it
22 forces them into two zones.

23 What is of significance here is that these deeper
24 zones are not the most economic of the three pays. The
25 Delaware most of the time is going to be, so now here's

1 your dilemma, that you're forced to -- if you even decide
2 to drill down to here, you're forced to either complete
3 this, spend the completion dollars here, completion dollars
4 here, produce it down to a certain limit that you've got to
5 kind of guess.

6 Then you've got to shut it in, you've spent those
7 dollars, now you've got to go up to the Delaware, and
8 you've got to spend a third set of completion dollars. Now
9 you're no longer really getting a return on this while
10 you've produced your Delaware, until you've got it figured
11 out that you're within the 80-barrel-a-day limit under the
12 old rules.

13 The new rules are going to alleviate that
14 problem. And I think, from what I've seen around the area,
15 they'll alleviate the problem for 90 percent, based on
16 upping the oil limits.

17 And let me go ahead and just mention the water
18 limits, since that was -- We're proposing that it stay at
19 twice the oil limit, so that way it's just tied to the oil
20 limit. Whatever that oil limit is, twice the water, and
21 -- just keep it simple, that's all.

22 What we've been through, then, is what we would
23 call the shallower oil zones.

24 And then you start getting into the areas that
25 were the magenta-colored areas on the map, primarily gas

1 production. And I'll show you where they are, but I really
2 don't plan on spending time on it, but that's the Strawn
3 pays, the Atoka sand and carbonate pays, and then at the
4 very bottom here is the Morrow production. And again, it's
5 gas.

6 I think you can see from the logs there, again,
7 this area, multi-pay, and multi-opportunities, given the
8 right rules, multi-opportunities to commingle and to
9 produce efficiently reserves that may not otherwise get
10 produced.

11 Q. Could you move on to what we have marked as
12 Exhibit Number 4, please?

13 A. Exhibit Number 4 is a summary of the application
14 that we had presented in November for our three-pool
15 commingling on an areawide basis. I did not really want to
16 spend a lot of time on the specifics, except to let you
17 know that it did meet the 50-percent rule on the pressure.

18 It -- first month -- If we were to commingle all
19 three zones in here, the first month's average production
20 would have been approximately two hundred and, I believe,
21 eighty-six barrels per day. That is not what we asked for.

22 We intend to produce the Bone Spring and the
23 Wolfcamp for up to three months, get a good, stable rate,
24 possibly run production logs, gather the reservoir
25 information. At that time, then, the production is down in

1 the 50- to 60-barrel-per-day range. That would be the time
2 that, then, we would want to come on up to the Delaware.
3 If you look at -- and then produce it possibly three months
4 and then commingle them all.

5 We were looking at approximately 124 barrels per
6 day, is what we anticipated the maximum to be. It would
7 seem reasonable, and I'll talk about the allowables a
8 little bit later, but again, if you go to the three curves
9 in the back here I wanted to show the significance, again,
10 of -- The first one is the Delaware. We've got
11 approximately five Delaware, six Delaware wells.

12 And the interesting thing is, even though they do
13 have some different IPs right up front, initial production
14 is a little varied, anywhere from 70 to 110 barrels per
15 day.

16 Within a few months, almost all the wells have
17 come right down into the same -- within 10-barrel-a-day
18 producing rate. And that's very significant when it comes
19 to allocating and protecting correlative rights, that we
20 can really get accurate forecasts on these.

21 You'll see the same thing on the next page, with
22 the Bone Springs sand.

23 And then at the time, we had isolated the
24 Wolfcamp, and it was reacting just like we expected. It
25 was reacting very similar to the Bone Spring sand but a

1 little less productivity. Now, we had run some cores out
2 there, sidewall cores, and it showed less permeability. So
3 it all makes sense.

4 We came in for an areawide and we believe that in
5 that three- to four-square-mile area -- We presented cross-
6 sections, we showed the continuity of the pays, the log
7 calculations are all very similar. And so for those kinds
8 of cases, we think -- You know, it's up to us to satisfy
9 the Commission on a reference case as to how large the area
10 will be. If we present the data that satisfies an area,
11 you know, 400 square miles, then so be it, as long as we've
12 done our part and satisfied the Commission on it.

13 That's pretty much what we had as far as what I
14 wanted to show you. Very predictable. We have not seen
15 water compatibilities as a problem. Again, there's a huge
16 database with Martin Water Labs and several others that you
17 can call them up, and even if you don't have the specific
18 well in the area, you call them up and they can get offset
19 producers. And they have a huge database for water. They
20 will run the water analysis, check for compatibilities
21 right there. They can do it all on computer, and they'll
22 know if you're going to be in a problem area or not.

23 I think that's pretty much it. I would want to,
24 then, talk about some of the specific rule -- portions of
25 the rules.

1 Q. Right. Generally what is Enron's position
2 relating to the proposed amendments?

3 A. Again, we appreciate and support the efforts of
4 the Commission and the Division and the committee, the
5 industry committee, and we think that where it's headed as
6 far as upping the oil allowables, et cetera, are great
7 strides. They're going to provide a lot of benefit.

8 We think that it's going to improve the approval
9 process, it's going to reduce paperwork and administrative
10 loads on both sides.

11 It does not abandon or undercut the effective
12 management and regulation of our reservoirs. And again, it
13 will provide, you know, fewer hearings, and more of this
14 can be handled in an administrative fashion.

15 Q. Now, specifically regarding the economic
16 criteria, currently Rule 303 allows for administrative
17 approval only where the zone is uneconomic. What is your
18 position on amending that requirement?

19 A. We at first also could see no real reason for an
20 economic definition in today's environment. And
21 understand, possibly back 30 years ago, why, there might
22 have needed to be one. Today necessitates some
23 differences.

24 And so we thought, you know, no need for a
25 definition. Your definition of "marginal", if it's left up

1 to the company, pretty much each company is going to have
2 different guidelines -- I think you've heard several -- to
3 come in and either relate it to payout -- We accept the
4 marginal definition, would be sufficient, as long as
5 there's some leeway between companies, I think. We would
6 not support it being just too strict or too definitive, I
7 think.

8 We want any definition to be based on drilling
9 costs and completion costs, not just look at it from a
10 "you're already there and now you -- what's it cost to
11 produce it, or is it economic?", but look at it now from a
12 drilling cost and completion cost.

13 Again, many of the drilling locations are relying
14 on several marginal zones together to meet the economic
15 thresholds of companies, and I believe that if there are
16 concerns for economics, that it's kind of covered under the
17 oil-limits part of it, and we're going to talk about that.

18 Q. Regarding the reference cases, what is Enron's
19 position regarding a reference-case requirement?

20 A. We like the idea of the reference cases. And for
21 the Delaware Basin it's kind of new, it's going to be more
22 of a new process for us. We understand that in the
23 northwest it's -- the commingling has been going on,
24 there's a lot of activity, and there will be differences
25 between what their needs are, versus the southeastern oil

1 and southeastern gas, possibly.

2 And so the reference cases will be a good forum
3 to go ahead and bring up each area's specific needs,
4 compare them to the statewide rules, make the necessary
5 adjustments, but then allow for other companies to
6 reference those and get administrative approvals off that.

7 Q. Do you think the reference cases should be full
8 hearings or --

9 A. No, we don't believe they necessarily should.
10 Again, the Examiners always have the discretion to -- if
11 they determine that an area needs a reference case and one
12 comes in, they can set it as a reference case. It just
13 does not necessarily go that you have to have a hearing in
14 order to have a reference case.

15 Or we would anticipate that an operator can go
16 ahead and anticipate that this would be a reference case,
17 and we'll just donate it as one. And as long as the
18 Examiner is satisfied that all the conditions are met, I
19 don't know why it could not be done administratively also.

20 And then the reference case is to be set out on
21 some type of a log or a system to where a simple phone call
22 -- or they're put out on the state reporters, and we'll
23 pick up which ones are the reference cases and have those.

24 Q. Now, are numerical studies necessary in downhole
25 commingling rules?

1 A. We think that some numerical standards are
2 necessary in order to regulate. I mean, that's -- They
3 need to be as broad as possible.

4 We think that -- You know, if you can achieve 90
5 percent of your cases administratively through the
6 numericals, whether they're arbitrary or not, or whatever
7 basis, as long as they're covering the great majority of
8 the cases, you know, then we don't really have an opinion,
9 if it's not hampering so much. But we would like them to
10 be broad, and then we would like them also to be -- based
11 on something that will help the industry.

12 And again, the example of raising this oil limit
13 is that perfect example, that this will help the industry,
14 and it will cover the great majority of the cases.

15 Q. But it's not your position that there should be
16 no standards or there should be no regulation?

17 A. No, no, we believe that there should be.

18 Q. Could you describe Enron's opinion relating to
19 the limit, oil limit?

20 A. Yes. Again, the tripling of the oil limit is a
21 very good step, and it would satisfy, again, the great
22 majority of the applications that we see in this area.

23 There were a couple of concerns that we thought
24 of.

25 It puts a commingled well on a different playing

1 field than just a regular single-zone well, because it --
2 in a couple of cases it actually gives a higher allowable
3 to the commingled well. Now, there's not a lot of
4 difference on the tripling, but -- ten percent or so.

5 We think one standard for drilling all wells,
6 that simplifies things, and it would still be fair, and I
7 think the testimony has shown that assigning the top
8 allowable for the depth bracket of the shallowest zone is
9 going, again, to accommodate the great majority of the
10 applications. And so it does put fairness with other
11 production that is not commingled, sets the same standard
12 for all wells.

13 And the potential for abuse could occur, and I'm
14 not saying we've seen any cases like this, but if an
15 operator had a zone, say, at 7000 -- or 5000 feet and his
16 top allowable bracket is 120 barrels a day -- and I'm not
17 sure that's it -- if he can go down and find a zone at
18 10,000 feet where after we've tripled these, he gets 240
19 barrels a day, he could go commingle now and get to produce
20 his shallow at 240 instead of what everybody else is going
21 to have to produce at. And so we see it as a protection
22 against abuse, even though we can't point to any specific
23 incidents.

24 And again, the allowables are always subject to
25 coming in for hearing. If you have an MER or special data,

1 special case, you could always come into hearing and get it
2 higher if the data supports it.

3 Q. Now, you had mentioned before that your
4 recommendation regarding the water limit would be that it
5 parallel the oil limit; is that right?

6 A. Yes, yes. Some factor of the oil limit, and just
7 keep it simply -- Two times, I think, is what the current
8 rule would allow, and we don't see any reason to change
9 that.

10 Q. What is your opinion regarding the 50-percent
11 differential in southeastern New Mexico?

12 A. The 50-percent differential in southeastern New
13 Mexico, again, has worked for a great majority of the
14 cases. I also anticipate that it will.

15 I think what -- The importance of a numeric rule
16 there is that it does force the pressure-differential issue
17 to be addressed. I believe that it's arbitrary and that
18 it's hard to justify where it should be and that it would
19 be better addressed under the crossflow provision of the
20 rules. But either place, we do need to incorporate
21 pressure data into our discussion of whether zones will
22 crossflow or not.

23 Again, I think that in southeastern New Mexico we
24 would say, let's go ahead and leave it and we'll live by
25 it, and it has worked, and if there are certain cases where

1 it doesn't work, let that be a reference case, and then we
2 would agree with northwestern, as a reference case, if they
3 have satisfied the Commission that they're no higher than
4 the least pressured -- or the original pressure of the
5 least zone, then let them have that. I think that would be
6 sufficient for them.

7 Our case, again, is not so much a depleted
8 reservoir here, but we're going to be getting into some
9 original pressures where it could possibly force you, then,
10 to produce this marginal lower zone at first for a given
11 number of months or who knows, until you can get that
12 pressure down, when really it didn't have to be.

13 But -- So again, the 50 percent, I think, is
14 going to accommodate the great majority of the cases.

15 Q. So Enron, then, concurs with the Commission's
16 recommendations regarding relaxation of the crossflow
17 requirements?

18 A. Yes, we do. For what you've seen testified on
19 the gas formations, gas is a lot less viscous fluid and it
20 will crossflow much easier into zones and out of zones.
21 But that's the good part: If it goes in, it will come out
22 too.

23 And so what they've been saying, we agree with.
24 And we have not seen crossflow be a problem in our
25 experience. Tight oil sands generally can hold a large --

1 larger fluid level or can withstand more pressure of a
2 column sitting against them than what their bottomhole
3 pressure is, because of the tightness of the rock. And as
4 a matter of fact, we do have to hydraulically fracture-
5 stimulate virtually all the Bone Spring, Wolfcamp and
6 Delawares in order to get them to produce.

7 So for our area, we don't see crossflow as a
8 problem. Generally, I'd say most of the time, these wells
9 will be on pump, you don't have market restrictions, you
10 don't have the possibility of being curtailed like gas
11 wells, you're going to pump your oil. And the pump goes
12 down, it takes normally two days to get a rig out there and
13 get it pumping again. So you're drawing the effective
14 bottomhole flowing pressures down to a point where you
15 should never really see crossflow, as long as you're
16 producing it now.

17 The Commission has -- When we get our orders
18 approving downhole commingling, there's always a caveat at
19 the bottom that says that after a certain amount of time,
20 if the well is shut in a certain amount of time, we have to
21 notify the District, and we agree that that should
22 continue, and then they can talk about it and, if it does
23 appear like there would be a crossflow problem, do
24 something about it. But I can't point to any time that's
25 been a problem either.

1 Q. Regarding the fluid compatibility, do you agree
2 with the proposed recommendations?

3 A. We don't see any reason to change the standards
4 on --

5 Q. Okay.

6 A. -- fluid and compatibilities. We agree with the
7 earlier testimony that that is an issue that every operator
8 knows from day one that he's got to satisfy and that if he
9 does mix improper fluids and precipitants result, then he's
10 cost himself. And I think that's going to be obvious to
11 anybody, whether it's mom and pop or a major.

12 So we believe that that rule has got to stay, and
13 as long as that is satisfied and it doesn't cost much money
14 to run the compatibilities -- What I would say, on an
15 areawide basis, where we know the fluids generally aren't
16 going to change and we have tested it maybe one or two
17 wells in an area, then I would say that satisfies that
18 requirement for that area, just like the pressure
19 differential rule might be dropped for an area.

20 As long as we have satisfied the Commission in
21 this area, we've presented enough data, then when it comes
22 time for us to get our commingling approval on individual
23 wells, I would say that we would not have to resubmit that.
24 Simply the reference case should -- or the reference number
25 should satisfy that.

1 Q. Does Enron support areawide downhole commingling
2 in general?

3 A. Yes, we do. It's not a new concept, it's been
4 going on for years. And again, the reference-case idea
5 covers that and the two aren't real compatible, supplement
6 each other.

7 Again, the predictability of the zones and if we
8 can prove to the Commission that the allocations are good
9 and we can fine-tune them with some actual production data
10 as we're completing the wells, then having an area is a
11 good idea, and it will reduce future paperwork and the
12 associated hearings, et cetera.

13 Q. And when you say "fine-tune", you mean directly
14 with the District or the allowable requirements, you know,
15 when you -- you would acquire new data from your drilling
16 and testing, and you would fine-tune your standards?

17 A. Yes, in our area, in the case when we came in,
18 we're saying for a certain area that we want approval from
19 the Commission to commingle the Wolfcamp, Bone Spring and
20 Delaware. Now, once we complete that well -- Well, let me
21 back up.

22 First of all, that tells our management, now,
23 okay, this is a place I can count on a project, I can now
24 plan that in this given area I get to go drill wells to a
25 certain target depth, which is great. Now, I can start

1 allocating human resources and other resources and start
2 planning for that.

3 Now, once the well is drilled, then we have to
4 use test data from the individual zones to come up with an
5 allocation to properly allocate, protect correlative
6 rights, and to provide tracking -- proper tracking of the
7 reservoir information.

8 So we will send in what the allocation formula
9 should be once we have tangible data to do that on an
10 individual-well basis.

11 Q. This morning there was discussion of the downhole
12 commingling form proposed in the prehearing statement.
13 Does Enron support the use of that form?

14 A. Yes, we support it and we think it essentially
15 covers all of the details that are necessary to satisfy
16 oneself and the Division that it's the right thing to do.

17 Q. Regarding a notice requirement, does Enron
18 support the proposition that a notice requirement should
19 still be maintained?

20 A. Yes, and we differ with some of the earlier
21 testimony in that this is going to be a newer area, that
22 maybe we're a little lower on the learning curve, we
23 haven't done quite as many as they have in the northwest,
24 and we would certainly understand that within the
25 northwest, that that could be dropped and there would be no

1 problem.

2 In my discussions with a couple of the companies,
3 and even Enron's opinion is, for right now we would like to
4 keep the notification of the offset operators to the
5 spacing unit where the downhole commingling will apply. We
6 believe it ensures just a free flow of information. If an
7 offset possibly know something or has a concern, then they
8 can either call us or, if it doesn't get satisfied, take it
9 to the Commission.

10 But we might want to revisit this issue in a
11 year, and if it's running smoothly then we might be willing
12 to drop it at that point.

13 Q. I'm going to ask you a couple questions now
14 regarding the supporting data that's required with these
15 applications.

16 Should the Division retain a checklist of the
17 data an operator submits with its application?

18 A. Yes, and I think that the form that we're talking
19 about satisfies that.

20 Q. What about a requirement of a 24-hour
21 productivity test?

22 A. You know, that's okay. It's not a big issue.
23 But we believe, instead of a 24-hour productivity test
24 prior to each zone being commingled, that in order to
25 allocate you have to supply what the producing rates of the

1 individual formations were anyway. So that a statement of
2 those rates basically will accomplish the same thing, and
3 in accordance with setting the allocation percentages.

4 Q. Where does Enron believe that the downhole
5 commingling applications should be handled?

6 A. We -- Again, that's kind of up to the Commission.
7 We see positives for leaving it in Santa Fe's hands, for
8 continuity, we agree, and it might help keep the guys that
9 are making the policy decisions a little more educated, a
10 little more informed to the pulse of industry.

11 But, you know, we can understand whatever works
12 best for the Commission, we would with go on that.

13 Q. Mr. Cate, will amendment to Rule 303, as Enron
14 recommends, result in increased recovery of hydrocarbons in
15 southeast New Mexico?

16 A. Yes, we believe that substantial increases would
17 be anticipated through drilling to deeper, previously
18 thought to be marginal zones.

19 A little bit of education as this catches on, I
20 think you'll really see a lot of activity. I think there
21 has been maybe some misconceptions as to the rule's
22 limitations prior to this, and management kind of had the
23 idea -- I know ours did -- that if you're going to have to
24 spend time going to Santa Fe on a hearing, that's taking
25 away time that you're supposed to be prospecting and

1 finding new reserves. We'd rather not -- just rather not
2 do that. It's going to be a hassle, it's going to require
3 time and resources.

4 And I think that's maybe a misconception, that
5 now, with the higher oil limits, et cetera, we'll get over
6 that, we can convince with one case or reference case that
7 we can come in, it will allow for planning.

8 So yes, increased reserves through new drilling,
9 through deeper drilling, drilling to marginal formations
10 you would not have gone to before, the economic lives of
11 each zone is obviously going to be extended, your operating
12 costs for three zones are the same as one, so you'll get
13 the end-of-life benefits that came with the old rule, and I
14 believe that about covers it.

15 Q. So in general, the amendments to Rule 303 would
16 be in the interest of conservation, the prevention of waste
17 and the protection of correlative rights, right?

18 A. Yes, yes. We believe that -- again, with the
19 guidelines, with the rules set forth, the amendments that
20 are proposed, that they still satisfy enough conditions
21 that you're not going to lose reservoir data that is needed
22 to properly manage -- which is our joint responsibility --
23 properly manage our natural resources. And it will
24 encourage more activity, yet safeguard against the loss of
25 reservoir information and still protect correlative rights.

1 Q. Okay. Mr. Cate, were Exhibits 1 through 4
2 prepared by you --

3 A. Yes.

4 Q. -- or at your direction?

5 A. Yes, they were.

6 MS. TRUJILLO: Mr. Chairman, I offer Enron's
7 Exhibits 1 through 4, and I have no further questions for
8 Mr. Cate.

9 CHAIRMAN LEMAY: Without objection, Enron's
10 Exhibits 1 through 4 will be admitted into the record.

11 Questions of Mr. Cate?

12 Mr. Kellahin?

13 MR. KELLAHIN: Thank you, Mr. Chairman.

14 EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Cate, let me clarify a couple of points.

17 On the 50-percent pressure differential am I
18 correct in understanding that the operators that you have
19 polled in southeastern New Mexico have not found that
20 numerical limit in the commingling rule to be an issue of
21 concern for them?

22 A. Yes, in the discussions -- I don't know how much
23 detail has been given to that, but no, nobody had
24 verbalized that they had had a problem with that rule.
25 Even though it may be arbitrary, it really has not hampered

1 the commingling efforts and wasn't expected to hamper
2 future commingling efforts in this area.

3 Q. Do you have any comments or opinions on Mr.
4 Daves' suggestion of a substituted rule for the 50-percent
5 rule, which would be, as we've discussed, the original
6 reservoir pressure of the lowest-pressured reservoir being
7 commingled? Do you have any comments or point of view with
8 regards to that change?

9 A. Yes, we would think that that should be for
10 northwest -- a northwest area only, in a depleted area.

11 Again, we would see very many cases that that
12 would be a detriment, whereas the 50-percent rule was not,
13 and that is -- Let's say 6000 to 7000 foot you encounter
14 original reservoir pressures. Generally, given standard
15 gradients out here, you should have a 3000-pound reservoir.
16 And if you want to commingle a zone at 10,000 feet, you
17 should encounter 5000-pound reservoir.

18 If it's gas and you've got a correct backup to
19 this datum in the Delaware -- I'm using that as an example,
20 even though there's not much gas production -- but you
21 don't get to subtract many pounds, you're still dealing
22 with 5000 over 3000. You're going to have to produce, go
23 down to this lower zone, which may be the marginal zone
24 again, or most likely is, and produce it for who knows how
25 long, until it's down to a pressure that will not be above

1 the shallower zone.

2 Q. As a reservoir engineer, isn't your concern about
3 the crossflow -- which the pressure differential is
4 pointing towards, is it not? -- isn't the 50-percent rule
5 an issue to have a sense of the magnitude of crossflow
6 that's going to occur between the higher-pressured gas
7 reservoir and the lower-pressured gas reservoir?

8 A. Yes, it is. I think generally we're dealing with
9 marginal enough zones that they would tend to be probably
10 lower rates, but long-term lower rates, fall down to a
11 certain pressure that may kind of maintain in this certain
12 area.

13 I would imagine, though, that if we did that,
14 you'd have a lot more hearings than necessary.

15 Q. I didn't make myself clear.

16 If you're looking as a reservoir engineer at the
17 crossflow issue --

18 A. Oh.

19 Q. -- aren't you really looking at whether or not
20 the crossflow is going to be of such a magnitude in terms
21 of pressure that you're going to fracture the container
22 with the least pressure?

23 A. Yes, yes. Now, I do agree with --

24 Q. Now, you and Mr. Daves agree, then, on
25 engineering analysis as to what you're trying to examine?

1 A. Yes, I'm with you now, yes.

2 Q. All right.

3 A. In that instance, yes, I would think that would
4 need to be a limit.

5 But here's the difference between -- Mr. Daves is
6 -- He's just saying the bottomhole pressure of the
7 shallower zone. But we know through drilling operations,
8 through fracture treatments, what the parting pressure is.
9 And sometimes it can be several hundred to a thousand
10 pounds higher, because the rock that you're dealing with --

11 Q. Let me make sure that you understand what his
12 proposal is. His proposal is that regardless of where you
13 find the container at depth -- Normally, the shallower the
14 depth, the lower the pressure?

15 A. That's correct.

16 Q. But his rule will be the lowest pressured
17 original reservoir will then be the maximum pressure limit
18 for commingling.

19 A. Yes, I think in gas zones --

20 Q. And that's --

21 A. -- that is fair, although it does not really
22 address the parting pressures of the reservoirs.

23 Q. Well, it's going to be less than the parting
24 pressure?

25 A. It's always less. So a safety factor is there.

1 Q. So the rule, if you adopt his proposal, adopts a
2 safety factor that's less than the parting pressure of the
3 lowest-pressured reservoir?

4 A. Yes.

5 Q. All right. So that keeps you from that
6 reservoir-waste issue?

7 A. Yes, sir. For gas reservoirs.

8 Q. All right, for gas reservoirs, explain to me how
9 retaining the 50-percent pressure differential is any
10 better engineering than what Mr. Daves proposes for --
11 substitute the pressure rule.

12 A. I can't, engineering.

13 Q. On those -- Let me ask you this. For the
14 southeastern operators, those that you have polled, they
15 are -- Enron and others are suggesting that the Division
16 retain notice to offset operators around this spacing unit
17 with a commingled well application?

18 A. Yes, sir.

19 Q. If I understood you correctly, you said that you
20 liked that information because it was information -- You
21 could see what they were doing and you utilize the
22 information?

23 A. And vice-versa, we would also notify operators of
24 what we're doing, yes.

25 Q. All right. Other than information-gathering,

1 will you agree with me that getting that information as an
2 offset does not trigger a correlative-rights issue for that
3 offset operator?

4 A. Not in all cases. You know, I can imagine that
5 there may be -- we have not had any cases where we've
6 opposed or it has triggered a problem based on correlative
7 rights.

8 In general, the zones that we're dealing with are
9 capable or not even capable of producing just their spacing
10 unit, or draining their spacing unit, so --

11 Q. Other than exchanging information through that
12 process, can you see any other reason for retaining the
13 notice rule to the offsets as it applies to southeastern
14 New Mexico?

15 A. No, not really. It's information exchanged to
16 keep both sides educated and make sure, I guess, that there
17 is not a problem, that everybody is educated.

18 MR. KELLAHIN: That's all the questions I have.
19 Thank you.

20 CHAIRMAN LEMAY: Additional questions?

21 Commissioner Weiss?

22 EXAMINATION

23 BY COMMISSIONER WEISS:

24 Q. Yes, sir, let me see. I'm concerned about the
25 reservoir engineering aspects of it, not knowing where the

1 oil came from, and perhaps that's not even important in
2 marginal wells.

3 But we heard testimony here last month that the
4 Delaware, as an example, has an immense amount of oil in it
5 that's not going to be recovered by primary, and I gather
6 from your testimony that's what you're addressing, is
7 primary production?

8 A. Yes, yes.

9 Q. And won't be recovered by -- In the Delaware,
10 maybe they get two or three percent of the oil in place by
11 primary and maybe that much again by waterflood, but CO₂
12 has a real potential to increase it up to maybe four or
13 five, ten times that much. And -- But that's expensive,
14 you want to know where to put it.

15 And normally, people want to put the objectives
16 where the oil is, and I don't see how you'll know unless
17 you produce something out of these individual zones. I'm
18 concerned about that.

19 I might add that on your exhibit here, this
20 packet of --

21 A. Yes.

22 Q. -- we also heard that this initial Delaware
23 Parkway field is a waterflood, and I think you referenced
24 it as a primary production.

25 A. I --

1 Q. I don't know about the others. Maybe the others
2 are waterfloods also.

3 A. Well, there are some that are floods. This curve
4 right here, this well here is just an example. It's a
5 typical well on primary. And you're right.

6 Q. But it's not a primary, is my point; Parkway is
7 under waterflood.

8 A. Well, this lease doesn't appear to be. If it
9 was, I think you would see the oil response curve. But I
10 agree, the field is. Is that -- I agree, the field is.

11 Q. Yeah, and that would say something about your
12 comments about all declines are uniform. I mean, if it's
13 under waterflood, it's obviously -- that comment is not --

14 A. Yeah, and let me comment on that, or expand on
15 that, that industry -- and my experience is that if you
16 determine a zone is capable of the kind of reserves it
17 takes to waterflood, you've got a good idea of that up
18 front.

19 Q. I don't think you learn that in a DST.

20 A. No, no, I mean -- but with production data, and
21 that's --

22 Q. Precisely, you have to know where it came from.

23 A. Yes, and that's what we're saying. We do give
24 actual individual well tests while we're completing these
25 zones. And based on these IPs and the first couple of

1 months of production, you can pretty much now start to type
2 curve this.

3 Q. Okay. Well, I didn't understand that, I didn't
4 understand that you were going to produce these different
5 zones for a number of months or until you establish a
6 trend.

7 A. That's right.

8 Q. That's your intention?

9 A. Yes, it is.

10 Q. Okay, that's my only question. Thank you.

11 A. Yes, it is. And one of the interesting things
12 you can do these days -- The technology is great.

13 But on the zones that are still capable of
14 flowing, which we saw in the Wolfcamp-Bone Spring
15 production logs -- and they're spinner survey but they also
16 have capacitance tools, temperature tools, and they put all
17 this in a computer program and can tell you accurately what
18 amount of fluid and what type of fluids, oil, gas and
19 water, are coming out of each individual zone.

20 Now, it is harder to do when you are pumping.
21 And now what the industry is doing is sulfur typing,
22 fingerprinting of oils to see --

23 Q. That type of information is usually proprietary.
24 I mean, you can't go to *Dwight's* and get that information.
25 If I'm an operator on that end of the field and I'm

1 contemplating some kind of a recovery project, secondary or
2 primary, these things are not normally available to --

3 A. There is a lot of that, now, if the operator --
4 and you have to assume that they will provide the proper
5 allocation. Then over time, you would be able to see that
6 this one zone really is the best zone because of allocation
7 which -- assuming it's correct.

8 Q. Unless there's some production history associated
9 with that allocation formula, some trend, other than DST or
10 some IP, you know, or 24-hour test or something?

11 A. Yes, that's correct.

12 Q. That's a tough one.

13 A. I think that the number of wells that have been
14 drilled and the basic continuity of the pays -- You drill a
15 well anywhere out here, you know what reservoir pays you're
16 going to encounter. The question really is now quality.
17 Did you get oil in it? Now how much will you produce?
18 Those are really the only questions here now that we have
19 to deal with.

20 You've got excellent simulation abilities now
21 with the computers. I mean, we can put in our -- One thing
22 Enron does is, we sidewall core the Delaware, and that
23 gives you your permeabilities, your initial saturations.
24 You can put a lot of sidewall core, waterflood simulations
25 on it, and then put this in the computer and get a real

1 A. It would depend on -- We haven't actually done
2 that. Everywhere here that we're talking is all sweet
3 crudes, and they're generally the same gravity, like 40- to
4 43-gravity crude. And so mixing them doesn't help or hurt
5 our oil price we get for it.

6 You'd want to do an analysis, have the two crudes
7 mixed, and let a lab tell you if there's any problems. I'm
8 not real sure. I don't have that personal experience, we
9 haven't done it.

10 But between a sour and a sweet crude, I think the
11 problem might be that you could get a lesser price for it,
12 because of the way it's mixed. It would depend on the
13 mixing ratio and which refinery you finally get the crude
14 to. So we don't have experience doing that.

15 I would say that as long as it doesn't hurt your
16 oil price and you've analyzed it and it doesn't cause any
17 precipitants or anything like that --

18 Q. It's not been a factor in your experience, within
19 ops?

20 A. No, it hasn't. I don't know if it's been -- I
21 don't think so.

22 COMMISSIONER BAILEY: That's all.

23 EXAMINATION

24 BY CHAIRMAN LEMAY:

25 Q. One question, Mr. Cate. The -- When you're

1 talking about these zones -- Bone Spring, Delaware,
2 Wolfcamp -- I guess I get a little nervous by speaking of
3 these formations.

4 You're right, you can go into Bone Springs, you
5 have some scarp declines there. That's a carbonate,
6 dolomite, that's going to react a lot different than either
7 first, second or third Bone Springs sand.

8 A. That's true.

9 Q. You get in the Wolfcamp, you're only talking
10 about the top. You get down in it, you've got all kinds of
11 reservoirs in there.

12 A. Yes, you do.

13 Q. Your commingling orders, would you have objection
14 -- Or let me throw this out. Where we allow you to
15 commingle zones in the Bone Spring, Delaware and Wolfcamp,
16 is it understood that we're speaking about -- we allow you
17 to commingle correlative zones rather than the formations
18 themselves?

19 A. I would not have a problem with that.

20 Q. When we're talking about the San Juan Basin,
21 we're talking about more layer-cake geology. We can talk
22 about the Pictured Cliffs anywhere in the Basin, and it's
23 not going to change character. It's a defined interval.

24 You talk about the Wolfcamp, you're changing
25 everything in terms thickness, in terms of reservoir rock

1 throughout the Wolfcamp --

2 A. That's correct.

3 Q. -- and that tends to happen in the Bone Spring
4 also. Delaware less so. You've got sands but certainly
5 over a 4000-foot interval you have different zones.

6 A. Yes, that is correct. And assuming that the
7 reference case is the -- I think I'm following you, that if
8 the reference case is for a sand within the Bone Spring and
9 not a carbonate, then it should not be able to use that
10 reference case for a carbonate. And I agree, yes.

11 Q. And even when you're talking about some of the
12 other characteristics, I'm not sure -- You were right when
13 you pointed out that sand zone in the upper Wolfcamp being
14 probably closer in depositional environment and every other
15 characteristic to that lower Bone Spring sand, than even
16 zones within the Bone Spring would be.

17 A. Yes, that's --

18 Q. So you're right, our formations are geologic-age
19 formations, and I know where we say -- We attach Wolfcamp,
20 we don't necessarily segregate the zones in the Wolfcamp,
21 and that -- You can actually commingle the whole Wolfcamp
22 and be able to do that under our orders.

23 A. An oil and a gas zone --

24 Q. Yeah, yeah, right.

25 A. That's right, we sure don't want to get into

1 that.

2 Q. Well, you commingle a whole lot. I mean, we've
3 talked about -- The Mesaverde has some of that
4 characteristics.

5 I don't want to redo the way we do things. I'm
6 just raising the issue that when we talk about granting
7 commingling within these various formations, are we talking
8 about only the producing zones, or maybe new pays that may
9 be discovered within these formations?

10 A. Yes, and I think -- You know, again it's up to
11 the operator to convince the Examiners and the Commission,
12 and if there's any question at all, it just takes a phone
13 call or kick it to a hearing and come show us.

14 And again, though, if I could demonstrate to the
15 Division that it's not exactly the same sand, but it's a
16 sand that it's a similar porosity and various --

17 Q. Same pressure?

18 A. Yeah, same pressure, you know, because we get a
19 lot of that within a 100-foot interval. Sometimes you've
20 got some of this going on. I mean, that's just geology,
21 and in a reservoir that's what you deal with.

22 So as long as it is similar to what was presented
23 in the reference case, I would say yeah, we ought to
24 consider that. And if it's a different deposition --

25 Q. In response to Mr. Kellahin's question on, I

1 guess, the reservoir characteristics on commingling gas and
2 not having the pressure of one zone exceed the original
3 reservoir pressure of the shallowest or weakest formation,
4 that doesn't apply to oil; you're saying that oil -- I
5 guess as long as you keep the fluid off the various zones,
6 you don't really have a problem with that?

7 A. That's right, artificial lift, yes.

8 Q. Yeah, when you're on artificial lift, your
9 pressure differentials, unless you're going to cover the --
10 well, even then, you've got just got a fluid column then?

11 A. Yeah, and not much of one. You know, your
12 bottomhole pressures on pumping wells generally are 800
13 pounds down to 500, depending on where you are in the life
14 of the reservoir. So --

15 Q. So you consider the pressure -- the 50-percent
16 differential in oil zones in southeast New Mexico to be
17 kind of a non-issue --

18 A. Yeah --

19 Q. -- or are you still recommending that we keep the
20 50 percent in there?

21 A. Well, yeah, I mean, I'm not agreeing that it's --
22 It's not an issue, because it doesn't hamper us. But
23 again, it can't be technically justified. I don't know --

24 Q. I thought that was it. I'm just trying to
25 clarify --

1 A. But I don't see it being harmed, to leave it in
2 there, in southeast New Mexico. I'd recommend that we do
3 initially.

4 CHAIRMAN LEMAY: All right. Commissioner Weiss,
5 do you have any --

6 COMMISSIONER WEISS: No, I have no other
7 questions.

8 CHAIRMAN LEMAY: Any other --

9 MR. KELLAHIN: Mr. Chairman, a point of
10 clarification.

11 CHAIRMAN LEMAY: Yeah?

12 MR. KELLAHIN: The 50-percent differential --

13 CHAIRMAN LEMAY: Yes.

14 MR. KELLAHIN: -- is only on gas-gas
15 commingling --

16 CHAIRMAN LEMAY: Oh, okay.

17 MR. KELLAHIN: -- that's not the oil-oil rule.

18 CHAIRMAN LEMAY: Oh, I'm sorry, I didn't know
19 that either.

20 MR. KELLAHIN: It's not in the oil-oil --

21 CHAIRMAN LEMAY: So it is a non-issue.

22 MR. KELLAHIN: Yes, sir.

23 CHAIRMAN LEMAY: Well, we don't have to fix that
24 one, it's already fixed. Good.

25 Anything else?

1 You may be excused. I thank you very much.

2 THE WITNESS: Thank you.

3 MS. TRUJILLO: Thank you.

4 CHAIRMAN LEMAY: Thank you very much, Ms.

5 Trujillo.

6 I think we've decided because you've got a -- You
7 might want to wind it up here, Counsel, but I do believe we
8 talked about -- you have a survey out to the New Mexico Oil
9 and Gas Association, and there may be some additional
10 comments?

11 MR. KELLAHIN: Let me suggest a procedure, just
12 as a suggestion.

13 CHAIRMAN LEMAY: Please do.

14 MR. KELLAHIN: We struggled with trying to craft
15 a rule, and we felt that there were too many policy
16 decisions for the Commission to make to draft a rule.

17 I don't think the rule drafting is all that
18 difficult, once you make the policy decisions. And so we
19 were going to suggest to you that if you want to enter an
20 order with findings and conclusions about those policy
21 issues, one of those conclusions would be a direction to
22 the Division, either with or without our help, to draft the
23 rule, as well as pursue the adoption of some form or set of
24 instructions or engaged in discussions about the guidelines
25 for the reference cases.

1 And so you might consider drafting an order that
2 does not yet adopt a formal rule, and delegate to the
3 Division or us or some group the assistance if you desire
4 to draft the rule. You may decide that you're comfortable
5 with what you've heard and you want to draft the rule now,
6 so that's an alternative.

7 The other thing is, we would like guidance on the
8 reference case. I think everybody is comfortable with that
9 concept, and we're suggesting that you might set the
10 standard with Mr. Daves' presentation, and so we're asking
11 on behalf of Meridian that the Commission could use his
12 presentation in the San Juan Basin to give us a reference
13 case with regards to the Pictured Cliff, the Mesaverde, the
14 Dakota, on two issues.

15 One issue is, he's seeking to have the 50-percent
16 pressure differential deleted as part of his reference
17 case, and so that future cases for the commingling of those
18 pools are not going to have to be limited by that 50-
19 percent rule.

20 The other thing that he's asking you out of this
21 reference case is to make the finding that the commingling
22 of these old reservoirs no longer presents an economic
23 issue and that he'll have a reference case by which he no
24 longer has to satisfy this economic standard if that stays
25 in the rule.

1 We have circulated a questionnaire to the
2 industry through the Association. That questionnaire is
3 appended to the prehearing statement. We have asked that
4 the companies respond by February 10th so that we will have
5 that tabulated for submittal to you at your February
6 hearing.

7 And you might, if you desire to do so, close this
8 presentation in February with the submittal of any other
9 comments and with the questionnaire. You might decide that
10 you want to enter an order.

11 The actual language of the rule could be
12 published on a docket, and we could come back and help you
13 fine-tune a rule based upon whatever policy decisions you
14 make in dealing with this general topic.

15 CHAIRMAN LEMAY: Do any of you want to make any
16 statements prior to our -- Mr. Bruce?

17 MR. BRUCE: No, sir.

18 CHAIRMAN LEMAY: Okay, I think we'll continue the
19 case until February 15th.

20 That's -- I want to put a plug in for that
21 hearing. It's not only a proration hearing, but it's our
22 "Industry Speaks-Commission Listens" hearing. We're going
23 to repeat that this year.

24 It was very helpful last year. In fact, I'm
25 gaining some statistics now to show how helpful it was,

1 because the Division has ended up adopting just many, many
2 of your recommendations at that hearing.

3 So we feel that's a good informal-type situation
4 to present new ideas, policy direction for us, and it's
5 your agenda. So think about that, and hopefully you will
6 plan to attend that. That's only a plug for the hearing,
7 and if we put this other case on the docket, that might
8 bring you out too.

9 As far as I know, the only opposition to your
10 recommendation has been from the Santa Fe Hotel, Motel and
11 Restaurant Association.

12 MR. KELLAHIN: There's a lawyer group forming,
13 Mr. Chairman.

14 (Laughter)

15 CHAIRMAN LEMAY: I understand in the mail there
16 is a lawyers' coalition that is opposing this in general
17 principle.

18 But we would be happy to reconsider this in
19 February, with some of the results that you're going to
20 have from the -- Anything else you want to bring up? I
21 mean, this is informal; that's why we've tried to get all
22 the ideas on the table. And I think we can give you some
23 policy direction; that's what you want.

24 As far as the rules, I need to talk to my fellow
25 Commissioners, whether they feel comfortable enough to even

1 give you rules at this point or whether we want to put that
2 back on you. But --

3 MR. KELLAHIN: Well, and that was my suggestion,
4 is, if you're comfortable in deciding the policy you could
5 decide that and postpone the actual rule once we come back
6 to you with our effort to execute your policy decision.

7 I would like to invite those members of the
8 industry committee that have participated with me to make
9 statements now on behalf of their own company if they
10 desire to do so, in case they cannot come back in February.
11 Did you want to say anything?

12 MS. STALEY: We'll be back.

13 MR. KELLAHIN: They'll be back.

14 CHAIRMAN LEMAY: Good. Well, you were helpful
15 last year. You'll all be back?

16 MS. TRUJILLO: I have one concern or question.

17 CHAIRMAN LEMAY: Yes?

18 MS. TRUJILLO: There are some downhole
19 commingling applications pending.

20 CHAIRMAN LEMAY: Yes.

21 MS. TRUJILLO: Enron has one, Texaco has one, I
22 know.

23 CHAIRMAN LEMAY: Yes.

24 MS. TRUJILLO: We're concerned about having them
25 held up during the process of rulemaking, which could go on

1 for quite a long time.

2 CHAIRMAN LEMAY: Well, I think that most moves us
3 along fairly fast with the policy considerations.

4 There is a problem. I've talked with some of the
5 representatives here, with the companies that have
6 applications pending. Our problem is, we need the policy
7 in place before what follows.

8 So the policy, I think we can certainly,
9 hopefully, put in place so that those applications can be
10 addressed.

11 MS. TRUJILLO: And I know --

12 CHAIRMAN LEMAY: But I hope you understand that
13 the problem we face as a Commission and also my dual hat as
14 a -- you know, as a Commissioner, as well as Director of
15 the Division, I don't really want to get the Division
16 making policy.

17 MS. TRUJILLO: And I know on behalf of Enron,
18 they would be willing to adjust their presentation to meet
19 the policies if necessary. Or, you know, from what you've
20 heard today, that could --

21 CHAIRMAN LEMAY: I think they have. I think
22 that's why they're here, isn't it? So they can give their
23 viewpoints just for policy consideration?

24 MS. TRUJILLO: Right.

25 CHAIRMAN LEMAY: Over and above what they've

1 applied for at the Division level.

2 MS. TRUJILLO: Right, they were asked to come in
3 just to represent the southeastern area.

4 COMMISSIONER WEISS: Perhaps a decision could be
5 made in the current policy if it's required.

6 CHAIRMAN LEMAY: You mean if there was enough
7 policy in place that --

8 COMMISSIONER WEISS: No, if these pending cases
9 have to be decided today, do it with the current rules.

10 CHAIRMAN LEMAY: I don't think they have to be
11 decided today. It's kind of like as quick as possible, or
12 the quicker the better or -- you know.

13 COMMISSIONER WEISS: Well, we're just pressuring
14 you up.

15 CHAIRMAN LEMAY: Well, a little bit. Give us a
16 decision.

17 Anything else?

18 Well, thank you. We'll take this case under
19 advisement.

20 The record is open. Any of you that want to
21 submit written comments between now and February -- I need
22 to find from my fellow Commissioners the options that
23 you've suggested for us.

24 We'll adopt one of them. At this point I can't
25 tell you which one.

1 MR. KELLAHIN: Thank you.

2 CHAIRMAN LEMAY: Thank you.

3 MS. TRUJILLO: Thank you.

4 CHAIRMAN LEMAY: Thank you.

5 (Thereupon, these proceedings were concluded at
6 3:58 p.m.)

7 * * *

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 25th, 1996.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998