

NEW MEXICO OIL CONSERVATION COMMISSION


EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date JANUARY 25, 1996Time: 8:15 A.M.

NAME	REPRESENTING	LOCATION
Robert Bullock Paul Owen John McKee M. Yellchin	Yates Pet Corp Campbell Carr Yates Pet Yellchin + Yellchin	Artesia Santa Fe Artesia Santa Fe

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF OXY USA, INC., FOR AN)
UNORTHODOX GAS WELL LOCATION,)
EDDY COUNTY, NEW MEXICO)

CASE NO. 11,453

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

January 25th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, January 25th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 25th, 1996
 Examiner Hearing
 CASE NO. 11,453

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>BOB DOTY</u> (Geologist)	
Direct Examination by Mr. Kellahin	4
Examination by Examiner Catanach	24
Examination by Mr. Carroll	35
<u>MICHAEL KOVARIK</u> (Engineer)	
Direct Examination by Mr. Kellahin	36
Examination by Examiner Catanach	56
REPORTER'S CERTIFICATE	60

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	24
Exhibit 2	7	24
Exhibit 3	10	24
Exhibit 4	12	24
Exhibit 5	14	24
Exhibit 6	17	24
Exhibit 7	20	24
Exhibit 8	40	56
Exhibit 9	42	56
Exhibit 10	43	56
Exhibit 11	45	56
Exhibit 12	47	56
Exhibit 13	48	56
Exhibit 14	49	56
Exhibit 15	51	56

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

* * *

1 state your name and occupation?

2 A. My name is Bob Doty. I'm a petroleum geologist
3 for Oxy USA.

4 Q. On prior occasions, have you testified before the
5 Division as a petroleum geologist and qualified as an
6 expert?

7 A. Yes, sir.

8 Q. With regards to the Application involved before
9 the Examiner this morning, describe for the Examiner what
10 it is that you have been involved in doing.

11 A. Yes, sir, if I can refer you to Exhibit Number 1,
12 this is a production map which shows the current status and
13 history of the production within the area of our proposed
14 Government "S" 9.

15 Section 3, Oxy has the entire section under lease
16 for the deep zones from Wolfcamp on down. The purple wells
17 on the map in Section 3 are Bone Spring completions. Oxy
18 does not have the Bone Spring rights for the west half of
19 Section 3.

20 If you'll notice in the east half of Section 3,
21 there's two remaining 40-acre spacing units for Bone Spring
22 that have not been developed, one of which has a well on
23 it, the abandoned Oxy Government "S" Number 1, which
24 basically condemned the Bone Spring at that location. It
25 had a very poor reservoir development. And our proposed

1 Government "S" Number 9 in the northeast quarter of Section
2 3.

3 What we're requesting today is an unorthodox
4 location for the deep zones -- Wolfcamp, Strawn, Atoka,
5 Morrow -- to allow us to take our last remaining Bone
6 Spring location deep to test these deeper zones so that we
7 might package the risk and increase the chance of having an
8 economically viable project.

9 Q. Were you and others involved in making the
10 technical decision with regards to where to locate this
11 well and to what formations it would be accessible?

12 A. Yes, sir.

13 Q. As part of that effort, did you develop and
14 analyze the geologic data available in the area?

15 A. Yes, sir.

16 Q. And as a part of that study, did you come to
17 certain geologic conclusions with regards to the
18 appropriateness of this location insofar as it concerns
19 these multiple reservoirs?

20 A. Yes, sir.

21 MR. KELLAHIN: We tender Mr. Doty as an expert
22 petroleum geologist.

23 EXAMINER CATANACH: He is so qualified.

24 Q. (By Mr. Kellahin) Let's set aside the locator
25 map and probably leave it for reference so that we can keep

1 track of our wells by name and location, and let's turn to
2 your second display, which is marked Exhibit Number 2. And
3 before we discuss the details, simply identify that display
4 for us.

5 A. Yes, sir. Mr. Examiner, this is an isopach of
6 the net pay in the producing Bone Spring zone of Old
7 Millman Ranch field. Also, there's a structure map that's
8 overlaid on this isopach. Structure for the purpose of the
9 "S" 9 is really not relevant to the producing capability of
10 that location.

11 The most important aspect is the net pay isopach.
12 The colors are representing net pay at a 30-foot interval.
13 The area in brown at the far extent of the field is from
14 zero to 30 feet of net pay. That pinkish color is from 30
15 to 60, and then it increases on up to greater than 120, is
16 the yellow. And you'll note that the Government "S" 9
17 location is near the edge of the productive limit.

18 Based on experience with other wells drilled in
19 the field, we believe that we have to be greater than 30
20 feet in order to achieve an economic payout of a well to
21 the Bone Spring, so we feel like we're close to the edge of
22 the Bone Spring development at this location.

23 Q. Take a moment, Mr. Doty, and refresh the
24 Examiner's recollection about the relevant rules for the
25 Old Millman Ranch-Bone Springs Pool.

1 A. Yes, sir, Old Millman Ranch is on 40-acre spacing
2 for oil, 80-acre spacing for gas.

3 Q. This is an associated pool, is it not?

4 A. Yes, sir. We are in the oil leg, we're not in
5 the gas cap. There's no -- We're sufficiently downdip to
6 the gas cap. We're definitely in the oil leg. And we
7 are --

8 Q. Standard well location for an oil well location
9 would be within what you propose for the subject well,
10 which is 660 from the north and 660 from the east line?

11 A. Yes, sir, that's the standard location for the
12 Bone Spring.

13 Q. Summarize the concept here. Have you and others
14 with Oxy come to a conclusion about whether or not the
15 drilling of this well can be justified from an investment
16 point of view if it only accesses the Bone Springs
17 reservoir?

18 A. We believe that we're really -- The heart of the
19 Old Millman Ranch Bone Spring field has been developed, and
20 we're now at the edge of the field. We feel like there are
21 recoverable reserves at the Bone Spring location, however
22 we feel like the risk that we would be below our cutoff is
23 sufficient that we need to package that kind of a well with
24 the deeper zones in order to achieve economic payout of the
25 project.

1 Q. As the Examiner begins to look at the geologic
2 presentation, summarize for him at this point what
3 reservoirs he's about to examine.

4 A. Yes, sir. I have some amount of detailed geology
5 on the Morrow, the Strawn and the Wolfcamp for this
6 location that will demonstrate the viability that there are
7 potential for reserves in these deeper zones and that also
8 we'd be unable to recover those reserves from an orthodox
9 location.

10 Q. Have you concluded that it's simply going to be
11 impossible to access any of the deep gas reservoirs, those
12 being below the top of the Wolfcamp, with a wellbore at a
13 standard location, under current statewide deep gas spacing
14 rules?

15 A. Yes, sir, that's true. We won't be able to
16 recover those reserves at a standard location.

17 Q. Let's turn back to Exhibit Number 2 again, and
18 describe for us what you're trying to do in the Bone
19 Springs under this interpretation.

20 A. Under this interpretation, we do feel like there
21 are recoverable reserves in the Government "S" 9 40-acre
22 spacing unit. However, we do feel that we are very close
23 to the edge of the productive limit of this field, based on
24 pay.

25 The well immediately south to our location is the

1 old abandoned Government "S" Number 1, which has very poor
2 pay quality. There are other wells within the field that
3 have less than 30 feet of pay, which were not economically
4 viable wells.

5 Q. It's your anticipation that the Bone Springs well
6 at this location is going to be oil productive as opposed
7 to being a gas well?

8 A. Oh, absolutely.

9 Q. Let's turn now to the topic of the Morrow
10 reservoir -- I believe that's the next geologic
11 discussion -- and let's look at Exhibit 3. Again, before
12 you describe the details, identify for the Examiner what we
13 are looking at when we see Exhibit 3.

14 A. Yes, sir. Mr. Examiner, this is a structure map
15 contoured on the Morrow "A" horizon. There's a ubiquitous
16 marker bed that regionally you can map throughout a large
17 area, and structure is really not a significant portion of
18 the trapping mechanism for this particular Morrow
19 reservoir. However, this exhibit is included for
20 completeness.

21 Q. It does indicate a line of cross-section for
22 which we will identify and describe that exhibit later; is
23 that not true?

24 A. Yes sir.

25 Q. When we look at the Morrow here, has the Division

1 identified this Morrow with any particular pool

2 nomenclature?

3 A. Yes, sir, this is Winchester-Morrow, 320-acre
4 spacing

5 Q. The caption for the displays talked about this
6 being the north Burton Flat area. I know the Division
7 associates that name with a nomenclature as to reservoirs,
8 including the Morrow.

9 To give the Examiner perspective about where he
10 is, where would he be in relation to what we know to be the
11 North Burton Flat-Morrow Pool?

12 A. We're due north of the north -- of Burton Flat-
13 Morrow. Some of the wells -- I'm not really sure how the
14 distinction was made, but some of the wells are Winchester,
15 and just to the south some of the wells are Burton Flat-
16 Morrow.

17 Q. For purposes of your study, which of the
18 particular Morrow zones has the best potential prospective
19 ability for you?

20 A. There's a particular sand in the lower Morrow "B"
21 interval, which is really the pay sand for this immediate
22 area.

23 Q. If there are other Morrow sands present, they
24 would be substantially more risky than the Morrow "B", and
25 so you focused on that Morrow interval that has the

1 greatest opportunity to be produced?

2 A. Yes, sir.

3 Q. Let's turn, then, to the Morrow isopach -- it's
4 Exhibit Number 4 -- and again take a moment to identify the
5 display, and then let's talk about your conclusions.

6 A. Yes, sir. Mr. Examiner, this is an isopach, a
7 net sand isopach, of a particular Morrow "B" sand.
8 Annotated on the map are, in red, the cumulative production
9 from the Morrow, which may include other zones. However,
10 in my opinion the majority of the gas has come from this
11 particular sand. It seems to be the main pay maker out
12 there. Also is included the structure top and the
13 thickness of the sand underneath each well location.

14 Q. Let's take a moment and describe the color codes.
15 There's a legend at the bottom of the display that gives us
16 an understanding of that code, but verbally describe what
17 significance you're attaching to the differences of color
18 on the display.

19 A. Yes, sir, I've interpreted the depositional model
20 for this Morrow "B" sand based on gamma-ray response,
21 basically based on the log response.

22 The center portion in the thickest part I've
23 interpreted as a fluvial channel. In that channel is where
24 is located the best cumulative production. It seems that
25 it has excellent porosity on the logs, excellent storage

1 capacity, but also excellent permeability.

2 The darker brown on either side of the channel
3 are overbank deposits. Primarily these sands are shalier,
4 have a hotter gamma-ray response. They also have excellent
5 porosity, but appear to have very poor permeability.

6 As you go to the southeast, this channel is
7 basically meeting up with the shoreline and fanning out
8 into a channel mouth bar where there's also excellent
9 sands, but some portions of the sands appear to be cemented
10 with marine cement as it interacts with the tidal
11 environment.

12 Q. Geologically, then, why would you not want to put
13 your proposed well at a standard location which would
14 penetrate the Morrow reservoir in the darker brown area?

15 A. We have pretty good evidence from the performance
16 of wells drilled in that darker brown overbank area that
17 there is gas in place. However, the permeability is too
18 poor for sufficient rates to make an economic Morrow
19 completion.

20 If we were able to get a wellbore within the
21 channel area, we do feel like we can recover a great amount
22 of that gas that's in the overbank, but only if the
23 wellbore itself is in the channel area where the
24 permeability is greater.

25 Q. Do you perceive that that location in the Morrow

1 will gain you any unfair advantage over the offsetting
2 operators or interest owners?

3 A. No, sir, we feel like this is the only location
4 where we can drain the significant gas in place in the
5 north half of Section 3.

6 Q. This is your only opportunity, then, to recover
7 any of your Morrow share of recoverable gas within this
8 spacing unit?

9 A. Yes, sir.

10 Q. To give the Examiner a sense of the stratigraphic
11 relationship of these Morrow wells, let's turn to Exhibit
12 5. You've got a line of cross-section on Exhibit 4 that
13 corresponds to the stratigraphic cross-section that we're
14 about to look at when we examine Exhibit 5?

15 A. Yes, sir.

16 Q. Let's take a moment and use Exhibit 5, then, and
17 set the stage so the Examiner has an understanding of your
18 geologic conclusion.

19 A. Yes, sir, this is stratigraphic section A-A',
20 which is hung on a stratigraphic datum, the Morrow "B".
21 You'll note that I had a little bit of trouble with the
22 drafting on getting the colors to exactly match.

23 The red portion on the cross-section corresponds
24 to the thickest part of the channel. The -- I don't know
25 what kind of color that is. In the channel sequence on the

1 map, the kind of pinkish area on the map --

2 Q. All right, let me make sure, if I can clarify it.
3 When you look at Exhibit 4, that area in tan, which is the
4 center of the channel, corresponds to the red color, I
5 guess it is --

6 A. Yes, sir.

7 Q. -- on Exhibit Number 5?

8 A. Yes, sir.

9 Q. And the tan or the brown color on Exhibit 5
10 corresponds to the light color on Exhibit Number 4?

11 A. Yes, sir.

12 Q. All right. Conclude for us your opinions on
13 Exhibit 5.

14 A. Yes, sir. The well at the A location on the
15 cross-section, the Parker and Parsley ARCO Federal Number
16 1, is located in the channel sequence. You can see
17 excellent porosity on that log. Gamma-ray response is very
18 clean, and due to its performance -- It's made over 3 BCF
19 of gas, and it's been an excellent performer, and it
20 appears to be in the part of the section that contains the
21 excellent permeability.

22 The next well on the cross-section is the DWU
23 Federal Number 4. You'll also note that it has excellent
24 porosity on the logs. That's a neutron density log.
25 However, the gamma ray has a hotter gamma-ray response.

1 It's indicating a little bit shalier nature. And this is
2 in the overbank deposit. And that well performed very
3 poorly, made 200 million cubic feet.

4 This is not a simple matter of drainage from the
5 Parker and Parsley ARCO Federal Number 1. The well to the
6 north of the DWU Federal Number 4 is the DWU Federal Number
7 1. It also was a very poor performer, and it basically
8 came on at the same time as the ARCO Federal Number 1, and
9 it just was unable to complete due to low permeability in
10 that part of the section.

11 The next is our proposed Government "S" 9
12 location, where my interpretation indicates that we should
13 be in the porous and permeable channel.

14 And then the final well on the cross-section is
15 to the southeast in Section 2, the Hillin JCW State "2"
16 Number 1, which again is in the channel sequence and has
17 recovered 1.6 BCF of gas.

18 Q. When you're making recommendations to your
19 reservoir engineer by which he does his economic analysis
20 to determine whether or not there is sufficient potential
21 reserves to justify the risk of this wellbore, you've
22 identified for him an opportunity in the Bone Springs,
23 you've identified an opportunity at this well location in
24 the Morrow. What will be the next reservoir for which you
25 have an opportunity identified?

1 A. I have the Strawn mapped and can identify an
2 opportunity there.

3 Q. Let's look at that, then. That will be Exhibit
4 Number 6. Again, identify the display, and then we'll talk
5 about your conclusions.

6 A. Mr. Examiner, Exhibit 6 is an isopach of the
7 clean carbonate in a particular producing mound in the
8 Strawn. The Strawn produces from algal mound buildups, and
9 I've identified one particular mound which is productive in
10 the immediate area and mapped the amount of clean carbonate
11 in it based on a gamma-ray cutoff.

12 Also included is a structure map which really --
13 This is a stratigraphic trap, and the structure is just
14 added for completeness.

15 You'll note on this map that the producing wells
16 from the Strawn are marked in red, and in the vicinity of
17 the proposed Government "S" 9 to the east in Section 35
18 there's an excellent Strawn well that's made over a BCF.
19 Due south of it in Section 2, there's an excellent Strawn
20 well that's made 3 BCF. And due south of our proposed
21 Government "S" 9 location there's a very poor Strawn well
22 that's made 147 million.

23 Within this Strawn sequence, I can predict where
24 the clean carbonate will occur.

25 Q. And how have you demonstrated that on Exhibit

1 Number 6?

2 A. Based on the mapping of the clean carbonate
3 throughout the area and shaping the mound in a fashion to
4 similarly better expose examples.

5 Q. So when we look at the display, if we're looking
6 at footages of clean carbonate in excess of ten feet, that
7 is what has been shaded in blue?

8 A. Yes, sir.

9 Q. But that gives you no indication of what is going
10 to be the relative porosity development within the blue
11 area?

12 A. No, sir, that's a very risky aspect of this play.
13 I can identify where the mound is, but I can't identify
14 where the porosity development in the mound is. There's
15 several wells -- for example, in Section 4, the Winchester
16 Federal Number 1, which had excellent well development but
17 it was tight. Likewise, our Government "S" Number 1 in
18 Section 3 south of our location was also tight.

19 So I can tell you that there's a chance if there
20 were to be any Strawn porosity development, it would be
21 within the blue area.

22 Q. Describe for the Examiner why you have concluded
23 geologically that it is not suitable to locate this
24 wellbore at a standard location to penetrate and
25 potentially produce the Strawn reservoir.

1 A. For the Strawn, the aspects of the Strawn are
2 such that the risk is so great on being able to predict
3 porosity development that I cannot really comment on the
4 relative value of an orthodox versus an unorthodox, it's
5 such a high-risk play. We can get Strawn contribution if
6 we take a well deep, but there's no way that the economics
7 for a Strawn would support a stand-alone location at an
8 orthodox location. It's such a risky play that the
9 orthodox location has no economic value unless it's
10 packaged with the other zones.

11 Q. Do you recall, Mr. Doty, if the Division has
12 assigned a pool nomenclature to the Strawn reservoir in
13 this area?

14 A. Yes, sir.

15 Q. If my memory serves me right, I think it's the
16 Winchester-Strawn Gas Pool, but I could be mistaken. Is
17 that --

18 A. That's correct.

19 Q. -- the reservoir?

20 A. Yes, sir.

21 Q. All right. Having now defined those three
22 reservoirs we've just described, what is the remaining
23 reservoir that you've analyzed with regards to this
24 location?

25 A. Yes, sir, I've made a map on the Wolfcamp

1 reservoir.

2 Q. Well, let's talk about that. If you'll turn to
3 Exhibit 7, let's look at the Wolfcamp. Again, when the
4 Examiner directs his attention to the Wolfcamp, what
5 particular nomenclature within a pool description will the
6 Division know this Wolfcamp reservoir?

7 A. Let's see --

8 Q. I think it should be the North Burton Flat-
9 Wolfcamp Gas Pool?

10 A. Yeah, I'm trying to just confirm that myself.
11 Mr. Catanach, I'll have to examine Exhibit 1 to confirm
12 that on what specific --

13 Q. Well, let's leave that point for a moment, and
14 let's look -- Without regard to a specific name, describe
15 for us the Wolfcamp analysis that you've gone through and
16 what conclusions you've reached.

17 A. Yes, sir, I've constructed a net-pay map of the
18 Wolfcamp. The Wolfcamp in this portion of the reservoir,
19 in this portion of Eddy County, is fairly complex. It's
20 quite a bit different than North Burton Flat to the south.
21 The porosity distribution is a bit more erratic, located in
22 smaller algal mounds.

23 I have been able to construct a net-pay map,
24 however, that seems to fairly well define the producibility
25 of the reservoir. You'll notice the red circles are the

1 wells that are produced from this reservoir. None of these
2 wells are currently active. The field's been basically
3 abandoned, but there have been wells that have produced.

4 For example, in Section 35, the DWU Federal
5 Number 2 has produced 712 million, to the southeast, 1.5
6 BCF. Southwest of that in Section 35, the Dero Federal "A"
7 Com Number 1 has produced 520 million. And then over in
8 Section 34, the DWU Federal Number 4 has produced over 1.2
9 BCF.

10 So -- Also, our Government "S" Number 9 location
11 appears to be within that 30-foot contour, so there's an
12 excellent chance for reservoir development in the Wolfcamp.
13 That is the only chance for a Wolfcamp reservoir in that
14 section. The orthodox locations are out of the Wolfcamp
15 development.

16 There is a fair amount of risk on what's left in
17 that reservoir after years of depletion from the offset,
18 so...

19 Q. When you look at a net-pay isopach for the
20 Wolfcamp, what cutoff values did you use to get a net-pay
21 map?

22 A. I used a 5-percent porosity cutoff on the
23 Wolfcamp, and I believe 30 feet of net pay represents the
24 areal extent of the best production or the economic
25 production in the Wolfcamp.

1 Q. You described this as having a complex Wolfcamp
2 depositional environment. What are you saying?

3 A. It's not a specific mound that's producing.
4 There are several stacked carbonate mounds that are very
5 thin. So I can't particularly -- I can't predict a
6 continuous porosity zone that's continuous throughout that
7 area.

8 Q. Is the net pay, then, in terms of thickness a sum
9 of those various Wolfcamp lenses?

10 A. Yes, sir, exactly.

11 Q. And that adds a significant factor of risk in
12 determining well locations?

13 A. Yes, sir.

14 Q. Describe for us, then, in conclusion why you have
15 chosen the proposed unorthodox location as being
16 substantially preferable to the closest standard location.

17 A. Yes, sir. We feel like we have one viable Bone
18 Spring location remaining on our leasehold in Section 3,
19 which is the northeast quarter of Section 3, the Government
20 "S" 9 location. We also feel that that location is near
21 the edge of the Bone Spring Pool, and there's a substantial
22 risk associated with that, but we do feel like there are
23 recoverable Bone Spring reserves at that location.

24 Q. If you are required to drill at a standard
25 location, as opposed to this proposed unorthodox location,

1 would it be a risk that you would assume to drill this
2 well?

3 A. No, sir, we wouldn't have the Bone Spring
4 potential to back us up to increase the chance for an
5 economic payout.

6 Q. So you would simply pass on the opportunity to
7 drill for this reservoir?

8 A. Yes, sir, those reserves would not be recovered.

9 We also feel like we have substantial potential
10 for a Morrow reservoir, but only at the unorthodox
11 location. The orthodox location left to us in Section 3
12 are in the insufficient kind of rock to produce those
13 Morrow reserves.

14 We feel like the Strawn is very risky but may
15 contribute to the economics of this project, and we feel
16 like we do have an opportunity for some Wolfcamp reserves
17 that could also contribute, but again only at the
18 unorthodox location.

19 Q. When we look at the proposed spacing unit for the
20 deep gas, you're proposing that this be oriented to the
21 north half of Section 3?

22 A. Yes, sir.

23 Q. Within that spacing configuration, will this be
24 the only deep gas wellbore producing if it is in fact
25 capable of production?

1 A. Yes, sir.

2 Q. So these other wells that we see on this Wolfcamp
3 display and the other displays have been abandoned
4 wellbores?

5 A. Yes, sir.

6 Q. That completes your geologic exhibits, does it
7 not, Mr. Doty?

8 A. Yes, sir.

9 Q. Summarize for us your geologic conclusions with
10 regards to the Application.

11 A. Therefore we feel like we have reserves that we
12 can recover from both the Bone Spring and from the deeper
13 zones. However, the risk is sufficient and also the
14 geologic model is such that only at the unorthodox location
15 can these reserves be recovered.

16 MR. KELLAHIN: That concludes my examination of
17 Mr. Doty.

18 We move the introduction of his Exhibits 1
19 through 7.

20 EXAMINER CATANACH: Exhibits 1 through 7 will be
21 admitted as evidence.

22 EXAMINATION

23 BY EXAMINER CATANACH:

24 Q. Mr. Doty, to make an economic well in the
25 Wolfcamp, how much pay do you think you need in that

1 interval?

2 A. Mr. Kovarik has summarized all that material.
3 I'm not sure if I recall exactly the results of his
4 analysis. If I might defer to his testimony...

5 Q. Okay, in the Wolfcamp there's currently no other
6 production in the north half of Section 3?

7 A. No, sir.

8 Q. Those wells have been abandoned?

9 A. Yes, sir, and in fact all the Wolfcamp producers
10 in that field are no longer active.

11 Q. That includes the wells that you've shown in
12 Section 34 and 35?

13 A. Yes, sir.

14 Q. And there's no Wolfcamp production in Section 2?

15 A. No, sir.

16 Q. Do you know what the closest Wolfcamp production
17 might be?

18 A. It would be Burton Flat, North Burton Flat, to
19 the south in Section 10 -- 10 and 11.

20 Q. Now, as I understand it, the Strawn -- You can't
21 really differentiate between a standard and an unorthodox
22 location in the Strawn --

23 A. No, sir, I can't.

24 Q. -- as to which would be better?

25 A. No, sir, I can't. I wish I could do more on

1 predicting the porosity development, but I haven't --
2 there's just -- there's nothing evident.

3 Q. The way you've got it mapped, it's possible that
4 you could have the same amount of net pay at both
5 locations; is that correct?

6 A. Net clean carbonate, yes, sir. The mound is
7 probably at the orthodox location, but I have no --

8 Q. Typically --

9 A. -- evidence of that.

10 Q. Yeah. Typically in Strawn algal mounds, don't
11 you have a better porosity development toward the center of
12 the mound?

13 A. Yes, sir. I was disappointed on this well in
14 Section 4, however, the Winchester Federal Number 1. It
15 failed and it was in the heart of the mound. That's a very
16 disappointing well.

17 There's also a well to the north in Section 33
18 with 26 feet of clean carbonate, but again tight. So this
19 is a very risky development.

20 So -- For some reason, the thickest part of the
21 mound is tight, and I don't know if that's important or
22 not. That may or may not be significant. I'm defaulting
23 to serendipity on porosity distribution within the Strawn
24 mound.

25 Q. The Government "S" Number 1 well, it's no longer

1 producing from the Strawn?

2 A. Yes, sir.

3 Q. It's been abandoned?

4 A. Yes, sir.

5 Q. So there's no Strawn production in the north
6 half?

7 A. No.

8 Q. In Section 35, do you know if that well is still
9 producing from the Strawn?

10 A. No, sir, the only active well in the Strawn is
11 the one in Section 2, the JCW State "2" Number 1.

12 Q. And that's a Hillin well?

13 A. Yes, sir. Oxy has an interest in that well also.

14 Q. Is that well still producing at pretty good
15 rates, or --

16 A. Its current is about 300 MCF a day. That well is
17 on Exhibit 5, cross-section A-A', and it shows its current
18 rate as 316 million cubic feet a day, which is obviously
19 wrong.

20 Q. Okay.

21 A. I can correct that, take out an M.

22 Q. Okay, in the -- Let's talk a little bit about the
23 Morrow, I guess.

24 Let me ask you this first. What would you
25 consider to be the primary and secondary targets in this

1 well?

2 A. Actually, I think the primary is the Morrow and
3 the Bone Spring, those two. Secondary would be Wolfcamp
4 and Strawn.

5 Q. Okay. Within the channel portion of that
6 reservoir and the overbank portion, what's the difference
7 in the permeabilities?

8 A. I don't have any measurements. What I do have
9 is -- Mr. Kovarik has an exhibit that shows a cumulative
10 rate-time plot on the ARCO Federal Number 1, that excellent
11 well up in Section 34, and the DWU Federal Number 1. On
12 the logs those wells look very similar, very similar
13 porosities, just that the overbank -- my interpretation of
14 the overbank is shallier. And it's clearly -- Those wells
15 were totally different in their producing capabilities.
16 The ARCO Federal was an excellent well, it came on the same
17 time as the DWU Federal Number 1, and it was just unable to
18 compete.

19 But I don't have any measurements of
20 permeability.

21 Q. The -- That overbank portion that you have mapped
22 in the northern part of that structure seems to follow that
23 30-foot contour line, and then when you get down into
24 Section 3 it takes off?

25 A. Yes, sir.

1 Q. How do you explain that?

2 A. That's an observation. In Section 35 I have a
3 well, the Dero Federal "A" Com Number 1, with 22 feet of
4 sand, but also excellent recoveries. And as we start to
5 get closer to the channel mouth bar it's just flat out
6 cleaner sand down there. It's an observation beyond that.
7 That's what I observe. I don't know exactly the process
8 that does that.

9 Q. So that interpretation, is it based on that well
10 in Section 35?

11 A. Yes, sir, I might point out that the well in
12 Section 3, the Oxy Government "S" Number 2, is not
13 producing from this specific sand, it's producing from a
14 deeper Morrow sand. I should have noted that, so it's not
15 germane to this specific sand.

16 Q. I'm sorry, the well in Section 2?

17 A. No, I'm sorry, the one in Section 3, in the south
18 half of Section 3, the Government "S" Number 2. That isn't
19 producing from this specific sand; that's producing from a
20 Morrow "A" sand that isn't productive in any of the other
21 wells. That's an anomalous well, that's the only well in
22 the area that produces from that specific sand.

23 So the volumes recovered from that well do not
24 reflect its position on the map, because it's another sand.

25 Q. Offset Morrow production, we've got -- Are all

1 those wells producing currently, that you've shown in
2 Section 34, 35 and 2?

3 A. No, sir, the ARCO Federal Number 1, the Parker
4 and Parsley well, at the A location on that cross-section,
5 that's currently active in the Winchester Morrow.

6 Q. Arco Federal Number 1?

7 A. Yes, sir.

8 Q. That's a current producer in the Morrow?

9 A. Yes, sir. It's near depletion and 8 MCF a day is
10 the current rate.

11 The other two wells in Section 34 are no longer
12 active in the Morrow. They're now Bone Spring wells. Oxy
13 now operates that lease.

14 In Section 3, that well that we just talked
15 about, the Government "S" Number 2, that's still an active
16 Morrow well on a south-half spacing unit. Again, that's
17 not in the -- in that particular sand, it's not producing
18 from that particular sand.

19 And both wells in Section 35 are still active in
20 the Morrow, the Dero Federal "A" Com Number 1 in the
21 southwest quarter and also the Dero Federal Number 1 in the
22 southeast quarter.

23 Q. And the well in Section 2?

24 A. Yes, sir, the well in Section 2 is a Strawn well,
25 the one in the north half of 2. That's active in the

1 Strawn, it's no longer active in the Morrow.

2 The well in the south half of 2, that Boatright
3 Number 1 JCW State, is active in the Morrow. That's a very
4 poor well. It's in the -- what I'm interpreting as the
5 marine cemented channel mouth bar.

6 Q. So the well in the north half of Section 2,
7 that's been depleted in the Morrow?

8 A. Yes, sir.

9 Q. Okay.

10 A. That well had a very strange production history.
11 That well was depleted like in two years, whoosh. And
12 subsequent to that, the well in Section 5 was developed,
13 and it's proved to have recovered additional reserves that
14 were not drained by that well in Section 2.

15 Q. I believe you said that you have -- or there's
16 Bone Spring wells that have less than 30 feet of pay that
17 are --

18 A. Yes, sir.

19 Q. -- that are noneconomic?

20 A. Yes, sir.

21 Q. There's just one in Section 3; is that correct?

22 A. Yes, sir. There's one in Section 34. It's a new
23 well, the Parker and -- well -- Kind of lost in the brown.
24 It's the Parker and Parsley ARCO Federal Number 2. Oxy
25 participated in that well, and it's a marginal well. I

1 can't specifically say if -- you know, I don't have an
2 economics run for post-audit, but it was a very
3 disappointing well.

4 We also have two wells in Section 4, which again
5 are lost in the brown. On Exhibit Number 1, they're the
6 Strata Aguila Federal and Garza Federal, both of which had
7 -- I think one had nine feet of pay, the other one had
8 three feet of pay, which were very disappointing also, in
9 the Bone Spring.

10 Q. So you feel like you need at least 30 feet?

11 A. Yes, sir. That seems to be the best estimate for
12 the economic cutoff at this time.

13 Q. Mr. Doty, do you know how the well is going to be
14 completed?

15 A. We really don't know. It just depends on what we
16 encounter. We would probably -- If possible to dual some
17 of the zones mechanically without damaging the producing
18 characteristics, we may attempt that.

19 We are always concerned, however, about making a
20 completion in the Morrow and then having to get it wet and
21 to open up another zone and plumb the well for a dual
22 completion.

23 The basis of our risk analysis, however, is that
24 when we stack the potentials for all these zones, we then
25 can add value sufficient to economically justify the

1 project. We probably won't -- Obviously we won't produce
2 all the zones at the same time. If we have a Morrow -- If
3 we have a Morrow zone, we will start with Morrow, because
4 we are gravely concerned about damage to the Morrow zone.

5 Q. Do you feel like any single zone would justify
6 the drilling of a stand-alone well?

7 A. No, sir. And it sort of comes into how we run
8 our risk economics.

9 Well, this is Mr. Kovarik's testimony. I'm way
10 ahead of him. Maybe I should defer to him.

11 Q. That's fine. If you want to, you can --

12 A. Yeah, I'll just...

13 EXAMINER CATANACH: Mr. Kellahin, would it be
14 this witness or the next witness that will talk about
15 offset operators? Do you --

16 MR. KELLAHIN: In terms of who they are?

17 EXAMINER CATANACH: Uh-huh.

18 MR. KELLAHIN: I believe Mr. Doty's map will
19 reflect their identity. We have a certificate of mailing
20 as to all those operators. I'm not aware of any objection
21 to any of those parties.

22 There's an Oxy landman present, as well as Mr.
23 Foppiano who's worked on the notices, any one of whom could
24 identify those parties, but I believe Mr. Doty could
25 probably tell you.

1 EXAMINER CATANACH: Okay. Well, let's just go
2 with that, then.

3 Q. (By Examiner Catanach) Mr. Doty, can you tell me
4 who the offset operators in the various zones would be?

5 A. To the northeast, in the east half of Section 34,
6 Oxy is the operator of that lease. So we now operate the
7 DWU Federal Number 4 and the DWU Federal Number 1. Those
8 are now Bone Spring completions.

9 The west half of Section 34, Parker and Parsley
10 operates that Bone Spring location and the Morrow location.
11 Oxy has an interest in that Bone Spring location.

12 Penroc is the operator in the west half of
13 Section 35, in that Morrow well, and we don't have an
14 interest in that.

15 And Hillin is the operator for that Strawn well
16 in the north half of Section 2, and Oxy has an interest in
17 that also.

18 I'm not really sure about the south half of
19 Section 2. It says Howard Boatright.

20 Q. Okay, I'm not sure I'm concerned with the south
21 half of Section 2.

22 A. Yes, sir.

23 Q. As far as you know, there's not a west-half
24 standard proration unit, Section 2, dedicated to anything?

25 A. Sir, I'm making judgment based on location of the

1 well, and my assumption based on that is that it's a north-
2 half laydown.

3 Q. All these offset operators have been notified of
4 your Application?

5 A. Yes, sir, and we have spoken to Mr. Hillin about
6 it, and also one of his partners spoke to me and he agreed
7 that we were trying to get something done by testing these
8 deep zones with that last Bone Spring. So otherwise we
9 didn't do that. This area is over-width on the deep.
10 There are a fair amount of deep penetrations.

11 EXAMINER CATANACH: Okay, I think that's all I
12 have.

13 MR. KELLAHIN: For additional clarification, Mr.
14 Examiner, when you look at Section 2, we identified Hillin
15 as the operator of the Strawn. As to other reservoirs, we
16 have notified the adjoining lessee in Section 2.

17 So when you look at our notice list, you're going
18 to find some additional names. Those names reflect the
19 base lessee or mineral owner, in addition to the operator
20 of that section.

21 EXAMINATION

22 BY MR. CARROLL:

23 Q. Okay, who is the operator in the west half of
24 Section 35?

25 A. Penroc.

1 MR. CARROLL: I don't see a copy of the notice
2 sent to Penroc here, or the receipt.

3 MR. KELLAHIN: If you'll give us a moment, we'll
4 confirm. It says Penroc Oil Company at this point. We
5 need to confirm that that's in fact the right
6 identification for that party. I'm not certain it's
7 correct, Mr. Carroll. We'll check on that.

8 EXAMINER CATANACH: This witness may be excused.

9 MR. KELLAHIN: All right. We'd like to call Mr.
10 Mike Kovarik. He spells his name K-o-v-a-r-i-k.

11 MICHAEL KOVARIK,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Kovarik, for the record, sir, would you
17 please state your name and occupation?

18 A. My name is Michael Kovarik. I'm a reservoir
19 engineer with Oxy USA, Inc., in Midland, Texas.

20 Q. Mr. Kovarik, on prior occasions have you
21 testified before the Division as a petroleum engineer?

22 A. No, I have not.

23 Q. Summarize for us your education.

24 A. I have a bachelor's degree in chemistry I
25 received from Marietta College in 1979, a bachelor's degree

1 in petroleum engineering, also from Marietta College, in
2 1981, and a master's in business administration I received
3 from the University of Tulsa in 1989.

4 Q. Summarize for us your employment.

5 A. I'm -- My history?

6 Q. Yes, sir.

7 A. Okay. I began work with Cities Service in Tulsa
8 in the Research and Technology Center. I spent two years
9 there. I was transferred from that position to -- again,
10 in Tulsa, with the Reserves Valuation Group where I was
11 responsible for calculating reserves for SEC reporting and
12 for financial reporting. I spent eight and a half years in
13 that position, was transferred to Midland as a reservoir
14 engineer in late 1991, and that's the position I currently
15 hold.

16 Q. When the Examiner expresses interest in the
17 economic viability with the appropriate risks attached to
18 each of these reservoirs for wells drilled at this proposed
19 unorthodox location, versus a standard location, that is a
20 topic within your expertise?

21 A. Yes.

22 Q. In fact, for this well, as well as many other
23 wells, that is one of your primary duties, is it not?

24 A. Yes, it is.

25 Q. Have you conducted such an economic investigation

1 with regards to this particular activity that Mr. Doty has
2 described for us?

3 A. Yes, I have.

4 MR. KELLAHIN: We tender Mr. Kovarik as an expert
5 engineer.

6 EXAMINER CATANACH: He is so qualified.

7 Q. (By Mr. Kellahin) Before we look at the
8 displays, give us a general understanding and a sense of
9 what you examined and what your ultimate conclusion was.

10 A. Well, my goal -- Well, in order for Oxy to assume
11 the risk of drilling this well, we've got to be able to
12 spread the risk throughout the hole, from the Bone Springs
13 into deeper zones.

14 Q. Did you ultimately conclude that you could not
15 economically justify and propose to your management the
16 drilling of this well, if it was a stand-alone well for any
17 reservoir?

18 A. Yes, I did.

19 Q. Regardless of whether it's at a standard location
20 or at this proposed unorthodox location?

21 A. Yes, that's true.

22 Q. And what was your conclusion?

23 A. My conclusion was that Oxy -- It's not an
24 economically justifiable project for Oxy to drill a well to
25 the Morrow, to the Strawn, to the Wolfcamp or the Bone

1 Springs, either in a standard deep location or in the
2 standard Bone Springs location on their own.

3 Q. For example, the Examiner was interested in the
4 Strawn formation where he was looking at Mr. Doty's
5 isopach. It shows a certain thickness which makes no
6 distinction in the clean carbonate between the standard
7 location and the unorthodox location. Under either
8 analysis that you have made with regards to that location,
9 can you justify that well as a stand-alone well in the
10 Strawn?

11 A. No, I can't, because -- although Mr. Doty mapped
12 the clean carbonate, he testified that he cannot map the
13 porosity. It's too erratic, and it's a great source of
14 risk in drilling a Strawn well in either location.

15 Q. With that exception, then, you need to package
16 all these other reservoirs at the proposed unorthodox
17 location?

18 A. Yes, I do.

19 Q. And when you assign the appropriate level of
20 risk, it becomes a project that you could fund and drill at
21 that unorthodox location if it includes all these
22 reservoirs?

23 A. Yes, if -- There's inherent value in the Morrow
24 and the Wolfcamp and the Strawn and the Bone Springs, but
25 there's risk involved in trying to extract that value.

1 If we are able to recognize the potential of
2 those zones with the cost of one well, even with the heavy
3 amount of risk that's involved in each of the zones, it
4 makes it an economically justifiable project.

5 Q. All right. We'll commence the details of your
6 reasoning that got you to those conclusions.

7 Before we start that, let's look at Exhibit 8 and
8 have you help us fit this exhibit into the analysis of the
9 project. When we look at Exhibit 8, what are we seeing?

10 A. Exhibit 8 is a production curve for five Morrow
11 wells. If you can refer, please, to Mr. Doty's exhibit --
12 Which one is that?

13 Q. It's his Morrow map, it's his Exhibit Number 4.

14 A. Exhibit Number 4, the lower Morrow "B" net sand
15 isopach.

16 Q. He was particularly concerned about what was
17 happening in Section 34 with relation to the ARCO Federal 1
18 well, and then that Reeves Federal 4?

19 A. Yes. These production curves graphically
20 illustrate what Mr. Doty testified to with respect to
21 depositional environment, the main channel portion of the
22 reservoir and the bank deposits.

23 Q. And how is that illustrated?

24 A. Well, if we can look in Section 34, the ARCO
25 Federal Number 1 well, on Mr. Doty's map, on Exhibit Number

1 8 the ARCO Federal Number 1 production curve is the black
2 curve that begins approximately 1973, and you'll notice
3 that it was a very good well. We could tell that by the
4 cumulative production of 3.1 BCF.

5 Q. Not only does it have a cum production that's
6 high, its initial rate was higher than the other wells?

7 A. Its initial rate approached 2 million cubic feet
8 per day.

9 Q. And he's concluded that that well was in the best
10 portion of reservoir development for the lower Morrow "B"
11 channel?

12 A. That's true.

13 Q. And he distinguished it from what other well?

14 A. He distinguishes this from the DWU Federal Number
15 1 and the DWU Federal Number 4 well, which are depicted in
16 the bank deposits on the map.

17 Q. And he concluded that that was in a lower
18 permeability area in this overbank sand, and it was not as
19 successful. How does Exhibit 8 authenticate that
20 conclusion?

21 A. Exhibit 8 shows the production curve for the DWU
22 Federal Number 1 well as the red curve which begins in late
23 1973. It shows rapid decline and not very much cumulative
24 production.

25 And also, the DWU Federal Number 4 well is the

1 green curve, which begins the middle of 1980, and again
2 there's erratic, very low production in that well.

3 Q. Is there anything in the way these wells were
4 drilled, completed, tested, produced or otherwise operated
5 to account for the difference, other than a reservoir
6 explanation?

7 A. That's very possible.

8 Q. All right.

9 A. I haven't researched that.

10 Q. It appears, though, that on this information
11 that's displayed to you, one accounting factor could be
12 simply poor reservoir development?

13 A. Oh, absolutely, especially with the -- Mr. Doty's
14 examination of the wells and their logs and the
15 interpretation that he gives, it makes clear sense that
16 that would be the case.

17 Q. All right, let's turn to the economic analysis.
18 If you'll start with Exhibit Number 9, summarize for the
19 Examiner the reservoir data sheet shown on Exhibit 9.

20 A. Okay, the reservoir data sheet is basically an
21 information-only sheet, which shows the various zones in
22 question, Bone Springs, Wolfcamp, Strawn and Morrow, the
23 approximate depth that we'll be looking for in the
24 Government "S" 9 location, the date of first production for
25 the pools in question, their cumulative recoveries, number

1 of wells, current rates, and the drive mechanisms involved
2 in the reservoir.

3 Q. This is your data sheet by which, then, you
4 commenced to undertake your engineering investigations,
5 including your volumetric and any other method of analysis?

6 A. Yes.

7 Q. All right. Let's turn to Exhibit Number 10 and
8 have you identify and describe this display.

9 A. My first job was to calculate reserves for each
10 of the zones. I had several methods -- actually two
11 methods available to me in this case. They were
12 volumetrics and analogy.

13 This sheet, this table, is a summary of
14 volumetric calculations, rock and fluid properties that
15 went into the calculation of the reserves for each of the
16 zones in question.

17 Q. In each instance you've used your best
18 engineering judgment about the appropriate parameters to
19 use and list here that go into the volumetric calculation?

20 A. I've used the my best available knowledge and
21 information, and also the best available knowledge from the
22 geologic side, from Mr. Doty's interpretation, for each of
23 the zones.

24 One assumption in these volumetric calculations
25 has to do with pressure. I've assumed a virgin normal

1 hydrostatic gradient for initial pressure for all of these
2 zones.

3 This is a pretty good source of risk, because
4 we've had quite a bit of production out in the deeper
5 zones, it's a mature area for those zones, so there may be
6 the possibility of some depletion. So this is a source of
7 risk in the analysis for these reserves.

8 Q. To be consistent with volumetric methodology, you
9 would use the original pressure in the reservoir?

10 A. Yes.

11 Q. And then you would account for the fact that this
12 is a depleted Wolfcamp reservoir in assigning the
13 appropriate level of risk when you finish your economic
14 analysis?

15 A. That's exactly the methodology that we used, yes.

16 Q. To make sure the Examiner understands your
17 method, let's look at the acre-foot assumption and simply
18 go down the column that has Wolfcamp. For purposes of your
19 volumetrics, when we look at the Wolfcamp you've assumed
20 320 acres; is that not true?

21 A. Yes, I did.

22 Q. And when you look at Mr. Doty's Exhibit Number 7
23 for the Wolfcamp net pay isopach, you have made an
24 estimate, then, with regards to the uniform thickness to
25 assign within the 320 acres?

1 A. Yes, I did.

2 Q. And that assumption is that you've got a uniform
3 thickness in this volumetric container of a net height of
4 15 feet?

5 A. Yes.

6 Q. All right. So that assumption may be optimistic
7 as well?

8 A. That assumption has uncertainty to it.

9 Q. And as part of your risk factor to the economics,
10 you take that component into consideration?

11 A. Yes, absolutely.

12 Q. All right. And that's true with all these other
13 parameters and these other reservoirs; it's the same type
14 and same method?

15 A. It's true for the Bone Springs, the Strawn and
16 the Morrow also.

17 Q. All right. Let's look at what else you have to
18 work with in addition to the reservoir parameters for
19 volumetrics. If you'll turn to Exhibit 11, Mr. Kovarik,
20 describe for us the other parameters you've used.

21 A. Well, actually Exhibit 11 is the beginning of the
22 analogy.

23 Q. You have stapled to that a series of production
24 plots, have you not?

25 A. Yes, I do.

1 Q. And what do those represent?

2 A. The production plots that are attached to Exhibit
3 Number 11 are the results of decline curve analysis for the
4 active wells in the area surrounding the Government "S"
5 Number 9.

6 Q. And that will serve as one of the data points or
7 sources of engineering information that you've utilized
8 when you make the composite exhibit, which is the first
9 page of 11, and look at your forecast of cumulative and
10 ultimate gas recoveries?

11 A. Yes.

12 Q. All right. Summarize for us, then, the first
13 page of Exhibit 11.

14 A. The first page of Exhibit 11 is a summary table
15 for each of the wells in each of the zones surrounding the
16 Government "S" Number 9.

17 The first column shows the pool and the zone that
18 the well is in.

19 The second column states the well, we've got
20 cumulative production tabularized, and also ultimate
21 recovery. In the case of the inactive wells, the
22 cumulative production will equal the ultimate recovery for
23 the well. In the case of the active wells, the ultimate
24 recovery will equal the cumulative production plus
25 remaining reserves, determined by decline curve analysis,

1 the results of which are attached to the exhibit.

2 Q. All right. Having done that work, what then do
3 you do?

4 A. I determined ultimate recovery for each of the
5 individual wells and then summed or added together those
6 recoveries for each zone, such that I have a total ultimate
7 recovery for the Strawn, ultimate recovery for the Morrow,
8 ultimate recovery for the Wolfcamp, on a total basis for
9 the wells surrounding the Government "S" Number 9.

10 Q. All right, sir. Let's turn to Exhibit Number 12
11 and have you describe for us what, then --

12 A. Exhibit Number 12, then, is a compilation of
13 Exhibit Number 11. It's an average. What I did to come up
14 with an analog well for each of the zones was to take an
15 average of the production in each of the zones and called
16 that my analog well.

17 For example, in the Morrow, the first part of the
18 table, the total ultimate recovery for the eight offsetting
19 wells for the Government "S" Number 9 was approximately 12
20 BCF. 12 BCF divided by 8 is 1.5 BCF. That was my analog
21 estimate for recovery for the "S" 9 location.

22 Similar calculation for the Strawn and similar
23 for the Wolfcamp.

24 Q. All right. Now you've got your ultimate
25 recoveries calculated or estimated for the Wolfcamp, Strawn

1 and Morrow for this well at this location. What then do
2 you do?

3 A. Well, I have a volumetric estimate and I've got
4 an analog estimate.

5 Q. All right, let's look at the next exhibit, Number
6 13, and have you identify that for us.

7 A. Exhibit Number 13 is a table which -- it shows in
8 the shaded area the reserves that were used in the economic
9 analysis for each of the zones. Let's work from top to
10 bottom here.

11 Morrow, for example, the volumetric estimate was
12 approximately 3.9 BCF. My analog well was 1.5 BCF.
13 Because there's inherent error bars with either of these
14 methods, with both of these methods, which one do you use?
15 Which one is more right? Which one is more wrong?

16 In this case, in the case of the Morrow, Strawn
17 and Wolfcamp, based on the geology and the location of the
18 well, I felt that they were equally valid, such that I
19 weighted the reserves estimate, the ultimate recovery
20 estimate, for each of the zones -- for each of the methods,
21 excuse me -- equally, so that I took my volumetric
22 estimate, my analog estimate, summed together, divided by
23 two. So I've got an equal weight for those methods.

24 Q. Is that a process that is accepted as a standard
25 process for economic analysis by engineers with your

1 experience doing this type of analysis?

2 A. Yes, I believe so.

3 Q. All right. Having done that, now, where does it
4 take you?

5 A. Well, again in the shaded area, you'll notice --
6 Those are the reserves that I used to calculate economics
7 for the Morrow, Strawn and Wolfcamp.

8 Bone Springs, on the other hand, you'll notice
9 that there's no analog reserve estimate. We -- In my
10 judgment, we have a good handle on the geology, on the
11 volumetrics surrounding -- in the Bone Springs, Old Millman
12 Ranch-Bone Springs.

13 The production characteristics of the wells
14 offsetting Government "S" 9 differ due to their structural
15 position. Therefore -- Also, the wells are relatively
16 young; there's not much production history to decline from.
17 Therefore, I felt that the volumetric estimate was the best
18 estimate to use and a analog estimate would mislead me.

19 Q. All right, let's go to the conclusion page, then,
20 which is marked as Exhibit 14, and have you summarize for
21 us how you've reached your conclusion and what that
22 conclusion is.

23 A. Okay. On the top -- This is a rather busy slide;
24 I don't want to get lost in it too much, because it's very
25 important. But please, if we could look at the top of the

1 slide, above the assumptions, these are the conclusions
2 that we came to.

3 On the left I've got listed the various zones,
4 Morrow, Strawn, Wolfcamp and Bone Springs. To the right of
5 that --

6 Q. The target MCF represents what? Recoverable gas
7 for that spacing unit?

8 A. Yes, that's a net economic recovery that I would
9 expect, based on the volumetric and analogy reserves
10 calculations.

11 Q. And then the next one -- That's an oil-reserve
12 number in thousands of barrels?

13 A. Yes, the target reserves. These are the high-
14 case reserves, okay? These are unrisksed, best-case
15 reserves in my estimation that we would expect from any of
16 these zones.

17 Q. Now, engineers like you doing economic analysis
18 are going to at this point determine a risk factor to
19 assign to these various reservoirs?

20 A. As Mr. Doty testified, the risk involved in this
21 rather mature field with a lot of depositional -- strange
22 things going on, there's a lot of risk involved.

23 Q. Is there a standard acceptable engineering method
24 by which to categorize into different categories the levels
25 or the degrees of risk per reservoir?

1 A. Yes, there is.

2 Q. And do you have a reference paper here that will
3 verify the levels of risk that you've chosen for these
4 reservoirs?

5 A. I do, Exhibit Number 15, if we could turn to
6 that, please.

7 Q. And what is that, sir?

8 A. Exhibit 15 is the Fourteenth Annual Society of
9 Petroleum Evaluation Engineers Survey of Economic
10 Parameters Used in Property Evaluations, dated June, 1995.

11 Q. So if the Examiner should choose to do so, he can
12 read this paper, he can find out the definition for the
13 Morrow formation where you categorize that probable
14 undeveloped; is that this --

15 A. Yeah.

16 Q. What's the summary here?

17 A. Can I step back -- Can I step back for one
18 second, please?

19 Q. Give me the identification --

20 A. Oh, I'm sorry.

21 Q. -- of these codes.

22 A. Okay, yeah, the reserves category.

23 Q. Yeah.

24 A. Yeah, if we could step back to Exhibit 14 here --

25 Q. Yeah, look at that.

1 A. The reserves category for the Morrow --

2 Q. Yes.

3 A. -- probable undeveloped.

4 Q. What's the next one?

5 A. Possible undeveloped. The next one for the
6 Wolfcamp is also possible undeveloped. And the Bone
7 Springs is proved undeveloped.

8 Q. These categories plus additional categories are
9 all described in the paper, the technical paper?

10 A. They are summarized under -- The risk factors
11 associated with these reserves categories are summarized in
12 the paper, yes.

13 Q. All right. And it's a method of categorizing or
14 assigning various degrees of risk to these reservoirs that
15 is a standard method of doing this?

16 A. Yes.

17 Q. And when you then apply the risk factor
18 percentage associated with a probable undeveloped, it's
19 this approximately 20-percent risk?

20 A. There's 20-percent risk involved with a probable
21 undeveloped.

22 Q. All right. Follow that line across and finish
23 the math for us then.

24 A. Okay. If I could step back, please. I
25 categorized the reserves, okay. I want to make sure this

1 is clear on the reserve classifications. I classified the
2 Morrow as probable undeveloped, and I'd like to give you
3 some of the reasons for that.

4 There's Morrow production in the zone that we're
5 trying to hit in the area. However, it's still risky.
6 There's risk of us drilling into the bank deposit, into
7 this play deposit, there's depletion risk associated with
8 this play, but there is good Morrow production. Therefore,
9 I categorize it as probable.

10 In the Strawn and the Wolfcamp, I felt that there
11 was more risk involved in those reservoirs. Those were
12 classified, therefore, as possible undeveloped.

13 Bone Springs, we've got a pretty good handle on
14 the geology. There's offsetting production, and I could
15 classify that as proved undeveloped.

16 And then the risk factors for those reserves
17 categories were then multiplied by the target reserves
18 number to get a risked reserves and risk production
19 schedule for each of the zones.

20 I then -- I wanted to see -- to answer one of
21 your previous questions, is it economical for Oxy to drill
22 a well on its own? By doing an economic analysis on the
23 risked reserves, then, we would be able to tell that.

24 So if I used the capital cost for a Morrow
25 completion and the risked reserves for the Morrow zone, the

1 rate of return of that project would be negative, the net
2 present value would be a negative \$300,000-plus.

3 Q. All right. When you do the math, you go down to
4 the assumption, you pick out the capital cost for the
5 Morrow completion, the \$655,000, you do the calculation.
6 You're going to come up -- If it's a Morrow stand-alone,
7 it's going to be a negative deal of \$328,000?

8 A. That's correct.

9 Q. You can't do it, right?

10 A. You cannot do it.

11 Q. And so you go over here and you put a negative,
12 and that's the big black letters?

13 A. The big black letters refer to a negative rate of
14 return. It's an uneconomically justifiable project.

15 Q. What is the meaning, then, of the next two
16 columns where we have net gas and net oil? What do those
17 mean?

18 A. The net gas reserves are the risked net reserves.
19 And part of the assumptions here, I've used a working
20 interest of 100 percent and net revenue interest of 82.5
21 percent. So that's what those reserves relate to.

22 Q. All right. So you go down each of the
23 formations, you do the same analysis, you find the
24 appropriate category of risk which you've just described,
25 and in each individual zone, then, a stand-alone well is a

1 negative rate of return, and therefore you can't do it?

2 A. That's correct.

3 Q. What happens when you sum them?

4 A. If I sum the values -- or actually sum the
5 reserves of each of the zones and take the capital cost for
6 a deep well for a Morrow completion, calculate economics
7 based on those assumptions, we've got a 28-percent rate of
8 return project with a net present value of \$117,000 --

9 Q. The conclusion --

10 A. -- at 15 percent.

11 Q. The conclusion being -- ?

12 A. The conclusion being, we cannot drill
13 economically for the wells -- for the zones individually.
14 It's a loser project.

15 However, if we are allowed to access the
16 potential value, the risk value of each of these zones,
17 then we can economically justify doing the project.

18 Q. And you're satisfied and you can defend the
19 specific category of reserve risk that you've assigned to
20 each of the four reservoirs that's shown in the fourth
21 column?

22 A. Yes.

23 MR. KELLAHIN: All right, that concludes my
24 examination of Mr. Kovarik.

25 We move the introduction of his Exhibits 8

1 through 15.

2 EXAMINER CATANACH: Exhibits 8 through 15 will be
3 admitted as evidence.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. Mr. Kovarik, your risk factor that you've used in
7 this calculation has been determined from data or
8 parameters in here --

9 A. Yes, sir.

10 Q. -- this paper? Okay.

11 Why does your target MCF differ from your reserve
12 calculations on Exhibit 13?

13 A. The target MCF on Exhibit 14 is a net number,
14 using the .825 net revenue interest that's shown in the
15 assumptions.

16 And it's also an economic reserve number, such
17 that I performed economics on each of these, and if they
18 were cut off economically prematurely before producing the
19 total volumetric/analogy reserves, then there would be a
20 source of difference there also.

21 So the reserves you see on page 13 -- excuse me,
22 Exhibit 13, would be gross, 100 percent.

23 Q. In your analysis, do you feel like you need all
24 four zones to make this an economic venture?

25 A. Yes, I do.

1 Q. On your decline curves, on Exhibit Number 8, the
2 DWU Federal Number 4, how come we only show three different
3 points of production on that green curve? Is that --

4 A. It's very erratic production. I don't know
5 specifically the answer to that.

6 Q. Well, should that have been a continuous green
7 curve on that?

8 A. If it produced for those years in between, it
9 would have been a continuous curve, yes, but apparently it
10 had not.

11 It's possible -- I limited my plot from between
12 10 MCF a day to 10,000 MCF a day. If the points were out
13 of that range, then the curve would be lost. It's possible
14 that the well produced below 10 MCF a day during those
15 periods.

16 Q. Is it also your opinion that -- Is it likely that
17 this well is going to be a dual completion in the Bone
18 Spring and the Morrow?

19 A. I can't say that for sure. As Mr. Doty testified
20 earlier, the Morrow is a very tricky formation. If it's
21 messed with too much, if the wrong chemicals and/or water
22 are left on the formation too long, you experience clay
23 swelling, which ruins your zone.

24 I don't know if -- It depends on the well. We
25 have to see what the well will give us and work at it from

1 that perspective.

2 Yes, it would be nice, it would be nice if we
3 could do that, but we're not going to risk a good Morrow
4 completion, I don't think, in my mind, in my opinion, for
5 the potential. It would be nice to do that, though.

6 EXAMINER CATANACH: I have nothing further of Mr.
7 Kovarik.

8 MR. KELLAHIN: Mr. Examiner, I have verified the
9 notice issue.

10 For clarity in the record, the Application has
11 attached to it an Exhibit B, which is in three parts. Page
12 3 of Exhibit B to the Application are the working interest
13 owners in Section 35 that would be affected by the
14 unorthodox location. All those parties, starting with
15 Asher Resources down through Weil, were notified. This
16 list failed to include Penroc. We will reconfirm if we've
17 missed anyone else, and we'll provide the notice. But Mr.
18 Carroll is correct, Penroc was inadvertently not noticed,
19 and we need to take care of that.

20 We will contact -- It's Merchant, I think, with
21 Penroc. We'll contact him and see if we can get a waiver
22 from him short of the normal 20-day notice. If not, then
23 we're obligated to wait the notice period.

24 EXAMINER CATANACH: Would you suggest we continue
25 it for two weeks and you try and get that?

1 MR. KELLAHIN: Yes, sir, let's try that, and if
2 that's inadequate I'll report to you and we'll determine
3 how to satisfy the notice requirement. So if you'll leave
4 this record open for us for two weeks, we'll report to you
5 on the notice.

6 EXAMINER CATANACH: Okay, this case will be
7 continued till the February 8th hearing, and we'll deal
8 with it then.

9 (Thereupon, these proceedings were concluded at
10 9:35 a.m.)

11 * * *

12
13
14
15
16
17
18
19
20 I do hereby certify that the foregoing is
21 a complete record of the proceedings in
22 the Examiner hearing of Case No. 11453,
heard by me on February 25 1976.

23 David R. Catanch, Examiner
24 Oil Conservation Division
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 27th, 1996.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998