


STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF BONNEVILLE FUELS)
CORPORATION FOR POOL CONTRACTION, POOL)
CREATION, AND SPECIAL POOL RULES, LEA)
COUNTY, NEW MEXICO)

CASE NO. 11,493

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

May 2nd, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, May 2nd, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

May 2nd, 1996
Examiner Hearing
CASE NO. 11,493

| | PAGE |
|---------------------------------------|------|
| EXHIBITS | 3 |
| APPEARANCES | 3 |
| APPLICANT'S WITNESSES: | |
| <u>BOB KOZAREK</u> (Geologist) | |
| Direct Examination by Mr. Carr | 5 |
| Examination by Examiner Stogner | 17 |
| <u>ROBERT A. SCHWERING</u> (Engineer) | |
| Direct Examination by Mr. Carr | 22 |
| Examination by Examiner Stogner | 46 |
| REPORTER'S CERTIFICATE | 50 |

* * *

E X H I B I T S

| Applicant's | Identified | Admitted |
|-------------|------------|----------|
| Exhibit 1 | 7 | 17 |
| Exhibit 2 | 8 | 17 |
| Exhibit 3 | 10 | 17 |
| Exhibit 4 | 13 | 17 |
| Exhibit 5 | 25 | 46 |
| Exhibit 6 | 28 | 46 |
| Exhibit 7 | 32 | 46 |
| Exhibit 8 | 42 | 46 |
| Exhibit 9 | 16 | 17 |

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 2:08 p.m.:

3

4

5

6 EXAMINER STOGNER: This hearing will come to
7 order.

8 At this time I'm going to call, on the top of
9 page 2, Case Number 11,493.

10 MR. CARROLL: Application of Bonneville Fuels
11 Corporation for pool contraction, pool creation, and
12 special pool rules, Lea County, New Mexico.

13 EXAMINER STOGNER: At this time I'll call for
14 appearances.

15 MR. CARR: May it please the Examiner, my name is
16 William F. Carr with the Santa Fe law firm Campbell, Carr,
17 Berge and Sheridan.

18 We represent Bonneville Fuels Corporation, and I
19 have two witnesses.

20 EXAMINER STOGNER: Are there any other
21 appearances in this matter?

22 Will both witnesses please stand to be sworn at
23 this time?

24 (Thereupon, the witnesses were sworn.)

25 EXAMINER STOGNER: Mr. Carr?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BOB KOZAREK,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your name for the record, please?

A. Bob Kozarek, K-o-z-a-r-e-k.

Q. Mr. Kozarek, where do you reside?

A. Denver, Colorado.

Q. By whom are you employed?

A. Bonneville Fuels, as a senior geologist.

Q. Have you previously testified before the New Mexico Oil Conservation Division?

A. Yes, I have.

Q. And at the time of that testimony, were your credentials as an expert witness in petroleum geology accepted and made a matter of record?

A. Yes, they were.

Q. Are you familiar with the Application filed in this case on behalf of Bonneville Fuels Corporation?

A. Yes, I am.

Q. And have you made a geological study of the area surrounding the South Humble City-Strawn Oil Pool?

A. Yes, I have.

Q. Are you prepared to present the results of that

1 study to Mr. Stogner today?

2 A. Yes, I am.

3 MR. CARR: Are the witness's qualifications
4 acceptable?

5 EXAMINER STOGNER: They are.

6 Q. (By Mr. Carr) Mr. Kozarek, could you briefly
7 summarize for Mr. Stogner what Bonneville seeks with this
8 Application?

9 A. Bonneville requests from the OCD a contraction of
10 the South Humble City-Strawn Oil Pool, creation of a new
11 pool for the production of hydrocarbons from the Strawn
12 formation, and promulgation of special pool rules and
13 regulations for this pool, which provide for 80-acre
14 spacing or proration units, special well-location
15 requirements, special depth bracket allowable provisions,
16 and a special gas-oil ratio for the pool of 8000 cubic feet
17 of gas for each barrel of oil produced.

18 Q. Mr. Kozarek, could you review for the Examiner
19 the current rules that govern development of the South
20 Humble City-Strawn Oil Pool?

21 A. There are special pool rules that provide, among
22 other things, an 80-acre spacing which would provide for
23 either laydown or standup 80-acre units, either the north
24 half, the south half, the east half or the west half of the
25 quarter section, and there's a depth-bracket allowable of

1 445 barrels of oil per day per 80-acre spacing unit.

2 Q. So basically what we're doing is seeking the
3 contraction of a -- out, of a certain portion of the South
4 Humble City-Strawn Oil Pool?

5 A. That's correct.

6 Q. And we're asking that that acreage be established
7 as a new pool for production from the Strawn?

8 A. Correct.

9 Q. We're also asking that 80-acre spacing, the well-
10 location requirements and the depth bracket allowable that
11 had been applicable in the South Humble City-Strawn also
12 remain applicable to the development of the new pool; is
13 that right?

14 A. Yes, that's correct.

15 Q. In fact, there has been development in this
16 proposed pool under those rules to date; isn't that --

17 A. Yes, there have been.

18 Q. All right. Let's go to the exhibits you've
19 prepared for the hearing. But first, could you just
20 explain to the Examiner when the South Humble City Strawn
21 Pool was created?

22 A. March 1, 1982, and that was Order Number R-6913.

23 Q. Let's go to Bonneville Exhibit Number 1, the land
24 map. Would you identify and review that for the Examiner?

25 A. Yes, this Exhibit Number 1 is a land map that

1 shows all the well spots within the South Humble City Pool
2 area, which is in Township 17 South, Range 37 East, Lea
3 County, New Mexico.

4 It has the operators of all the currently
5 producing wells within the unit listed, and it shows the --
6 in the even-dashed outline it shows the existing South
7 Humble City-Strawn Pool, which is the larger unit that's
8 shown on this map, that incorporates the south half of
9 Section 12, the north half of 13, and southwest quarter of
10 13, and all of Section 14.

11 And then also with the intermittent dashed
12 pattern it shows the proposed Southwest Humble City-Upper
13 Strawn Oil Pool, which would include the west half of 14,
14 the southeast quarter of 14, and the west half, southwest,
15 of Section 13.

16 Q. Let's now go to your porosity map, Exhibit Number
17 2. Would you review this for Mr. Stogner?

18 A. Yes. This is a summation of the porosity feet of
19 the upper Strawn limestone in the South Humble City Pool,
20 the existing and the proposed Southwest Humble City Pool.

21 It's kind of easy to tell the difference between
22 that part which was -- 3-D seismic was used on and that
23 part which was just subsurface information, the part with
24 all the squiggles, or the part where we used the 3-D
25 seismic.

1 And the summation of the porosity feet was used
2 -- we used a 4-percent net porosity cutoff. The porosity
3 was calculated every two feet and then summated, and
4 there's a contour interval of four.

5 For example, at the Lottie York Number 3
6 location, we had a value of 20.5. That would be equivalent
7 to 20.5 feet of 100-percent porosity, or 205 feet of
8 average 10-percent porosity.

9 Q. And that was in the northeast of the southwest of
10 14; is that correct?

11 A. Correct. These -- The upper Strawn in this area
12 are foraminiferal algal mounds, and what this shows is that
13 there are a number of discrete -- laterally discrete and
14 separate mounds which each create their own oil pool.

15 Q. If we look at this exhibit, then, you have been
16 able to map the individual mound that you're proposing to
17 include in the new pool, and that's the mound that extends
18 across the south half?

19 A. Correct, that would be in the south half of
20 Section 14, and going into the west half, southwest,
21 primarily, of Section 13, and includes, as far as producing
22 wells, it includes the Yates Number 1 Bureaucrat, our
23 Lottie York Number 1, 2 and 3 wells, and the Norris Number
24 4 well, and then an edge well, the Norris Number 1, which
25 was a -- actually a lower Strawn sand producer.

1 Q. Mr. Kozarek, let's go to the northwest-southeast
2 cross-section, Exhibit Number 3.

3 A. Okay.

4 Q. Would you review that for Mr. Stogner?

5 A. Yes, this is called a longitudinal cross-section
6 that goes through the proposed Southwest Humble City-Upper
7 Strawn Pool.

8 As you can see, there's a locator map on the
9 lower left corner, and the cross-section A-A' is basically
10 a west-to-east cross-section and incorporates all the wells
11 that are within the Southwest Humble City-Upper Strawn
12 Pool, and then an edge well and a well which we feel is not
13 part of the same pool.

14 If we look at the -- start with the dryhole on
15 the -- to the west, the far left, the AnSon Number 1-15
16 [sic] Shipp -- Well, I'd like to also point out that this
17 is a stratigraphic cross-section, and it's hung from the
18 top of the lower Strawn sand, and it was hung in this
19 fashion so that we could see the growth of this mound
20 interval, this upper Strawn mound interval.

21 And if you were to just kind of trace with your
22 finger the distance, the thickness between the datum, the
23 lower Strawn sand and the top of the Strawn, you'll see
24 that there's considerable thickening and thinning of that
25 interval.

1 Coincidental with that thickening, when it's
2 thick we also get to be -- that's where the porosity
3 development occurs also.

4 But if we start at the Anson Number 1 Shipp, we
5 see a relatively thin upper Strawn development, and tight.

6 We go to the Yates Number 1 Bureaucrat, and we've
7 thickened that interval considerably, and we start to get a
8 certain amount of porosity development in the upper part of
9 the section in that wellbore.

10 Then from there to the Lottie York Number 3 well,
11 which has -- it's probably as thick of a section of upper
12 Strawn as is present in this area.

13 And you can see that not only is the overall
14 section thick, but there's a considerable amount of
15 porosity. It would be -- On the right-hand track on the
16 neutron density porosity log, the center line is 10
17 percent, so you can see that we have a lot of porosity
18 greater than 10 percent.

19 I'd also like to point out that we paid special
20 attention to the upper part of this section, and if you
21 look at the response of the neutron density curves there,
22 you can see quite a bit of separation between the neutron
23 and the density, the density reading higher than the
24 neutron, which is indicative of gas effect. And we went to
25 pains to stay away from that part to -- part of the

1 section, in order to keep our gas production down as low as
2 we possibly could.

3 Q. That's why the perforations on this exhibit are
4 shown as low as they are --

5 A. Correct.

6 Q. -- in the interval?

7 A. Correct.

8 From that well, we go to a well that's still well
9 within the mound, but not quite as thick, and you can see
10 that it's -- the Strawn has thinned down and the porosity
11 is not quite as great either.

12 Back up to the discovery well for the field, the
13 Lottie York Number 1 well, and that is a very comparable
14 well to the Lottie York Number 3.

15 Then to the Norris Number 4 well that we had just
16 recently completed. When this cross-section was done, we
17 didn't have an IP for it, but it was approximately 107
18 barrels of oil per day and 140 MCF of gas.

19 Once again, this is a relatively thick well with
20 good porosity section, and also note again that there is a
21 fair amount of spread between the neutron and the density
22 porosity curves, which is indicative of gas -- a factor,
23 gas cap in this area, and that we once again concentrated
24 on getting our perforations as low as we possibly could in
25 the upper Strawn interval, the upper Strawn section.

1 Then finally to the Norris Number 2 well, which
2 has several lines of evidence that it is not part of the
3 same pool as the Lottie Yorks 1, 2 and 3 and the Norris 4.

4 One is a core study that was done which indicates
5 that this is part of talus -- distal talus slope deposit,
6 that is, that these mounds were actively growing, and then
7 as they grew, with the wave energy, parts of them would
8 break off and then fall down the slope, and that this was
9 more -- this was a product of this growth that occurred
10 over in this mound. But really it wasn't growth in this
11 area, it was more of a transportation process that was
12 involved. These were all formed more or less in place, and
13 these were transported down the slope somewhat.

14 Additionally, we have pressure data which
15 indicates that these two are in much different pressure
16 regimes, the Norris 2, from any of the other Lottie York
17 wells or the Norris Number 4 well.

18 Q. All right, let's go to Exhibit Number 4. This is
19 also a stratigraphic cross-section, is it not?

20 A. Correct, it's a north-south stratigraphic cross
21 section. Once again the datum is the top of the lower
22 Strawn sand, and this is -- the other was longitudinal;
23 this would be axial, and it goes directly across to upper
24 Strawn algal foraminiferal mounds.

25 We have a hole in it?

1 EXAMINER STOGNER: We have a drilling rig --

2 THE WITNESS: We've got plenty of others.

3 EXAMINER STOGNER: -- on the Lea Farms Number 2.

4 THE WITNESS: I don't think we need to worry
5 about extras.

6 Q. (By Mr. Carr) Please go ahead.

7 A. Okay. This cross-section, B-B', south to north,
8 shows -- it has the same features as we saw in the other,
9 except it's now cutting perpendicular to the long axis of
10 these mounds, and so we're going up and over them in a
11 short distance, a much shorter distance than we saw in the
12 other direction.

13 Starting with the Inexco Number 1 Dougherty well,
14 we have a thin, tight upper Strawn section.

15 Back to the Lottie York Number 1, once again a
16 thick porous mound well.

17 To a critical well, the Norris Number 1, which is
18 relatively thin but did have a little bit of porosity
19 development in it. It's shown as an abandoned well. This
20 well never was productive or capable of production out of
21 the upper Strawn. It was a lower Strawn sand producer.

22 And then further to another dryhole, the Inexco
23 Number 1 Lea Farms, relatively thin and tight upper Strawn
24 facies.

25 And then back up to the Lea Farms Number 2,

1 thicker, some porosity development within it.

2 And it may be interesting to note that if you see
3 the difference between the Lottie York Number 1 where we
4 have porosity development from essentially the top of the
5 lower Strawn throughout that upper -- excuse me, from the
6 top of the upper Strawn section on down, we don't have that
7 same situation in the Lea Farms Number 2. There's a fair
8 amount of tight upper Strawn rock before we get to the
9 porous reservoir rock. That, to me, may indicate that
10 there are two different mound facies that are developed
11 within this area. The one to the south, where the Lottie
12 York Number 1 is, may have been more actively developing.

13 And then just from that well to another tight
14 well, the Lea Farms Number 3.

15 But the important thing is, the Norris Number 1
16 and the Lea Farms Number 2, there's a gap of several
17 thousand feet, with tight upper Strawn -- tight and thin
18 upper Strawn facies. That's not mound; it's an intermound
19 facies there. So it gives credibility on the subsurface to
20 the -- what we're seeing on the 3-D seismic and what Mr.
21 Schwering will later support with engineering evidence that
22 these are indeed two separate mounds.

23 Q. Mr. Kozarek, what conclusions have you reached
24 from your geological study of this portion of the Strawn
25 formation?

1 A. That there are several discrete individual
2 mounds, upper Strawn mounds, that are present in this area,
3 and that they would then be separate -- as well as separate
4 mounds, they are also separate sources of supply.

5 Q. From a geological point of view, is the area that
6 Bonneville is proposing be contracted from one pool and
7 created as another, is that area a separate and distinct
8 reservoir?

9 A. Yes, it is. The proposed Southwest Humble City
10 Pool has geologic, geophysical and engineering evidence to
11 indicate that it is a separate and distinct pool from the
12 remainder of the South Humble City Strawn Pool.

13 Q. Is Bonneville Exhibit Number 9 an affidavit
14 confirming that notice of this Application has been
15 provided to all affected interest owners, as required by
16 Oil Conservation Division Rules?

17 A. Yes, it is.

18 Q. And to whom was notice provided?

19 A. To all operators in the pool, to all operators of
20 Strawn wells outside the pool but within a mile thereof,
21 and all unleased mineral owners in the pool.

22 Q. Will Bonneville Fuels Corporation call an
23 engineering witness to review that portion of the case?

24 A. Yes, we will.

25 Q. Were Exhibits 1 through 4 and 9 either prepared

1 by you or compiled at your direction?

2 A. Yes, they were.

3 MR. CARR: At this time, Mr. Stogner, we would
4 move the admission into evidence of Bonneville Exhibits
5 Numbers 1 through 4 and 9.

6 EXAMINER STOGNER: Exhibits 1 through 4 and --
7 what did you say about Number 9?

8 MR. CARR: And 9

9 EXAMINER STOGNER: -- and 9, will be admitted
10 into evidence at this time.

11 MR. CARR: That concludes my direct examination
12 of Mr. Kozarek.

13 EXAMINATION

14 BY EXAMINER STOGNER:

15 Q. Let's see, a couple of things. I want to refer
16 to Exhibit Number 1.

17 A. Okay.

18 Q. And also your cross-sections. The two main pods,
19 if you will, and I'll call the South Humble City --

20 A. Would that be Exhibit Number 2, the ϕ h map?

21 Q. Yes, I'm sorry, yes.

22 A. Okay, that's fine, no problem.

23 Q. Number 2, I apologize.

24 You've essentially separated these two pods here.

25 And when I say "pods" the one up to the north, in most of

1 Section 13 --

2 A. Correct.

3 Q. -- where essentially the current South Humble
4 City-Strawn, and then the other pod down toward the south
5 that takes in the south part of 14 and the southwest
6 quarter of 13 -- does that break in between or that space
7 in between or the impermeable area, if you will, between
8 those two, does that show up in your 3-D seismic?

9 A. There are some -- There's room for latitude on
10 the interpretation of the seismic in that area. Certainly
11 from at least -- from a little bit within the section line,
12 and then west of there, it is.

13 As we get back to the east, the definition gets a
14 little bit fuzzier. It's what -- It's a result of the fact
15 that the overall Strawn -- the seismic is actually seeing
16 the entire Strawn interval from the top of the Strawn to
17 the top of the Atoka. And as we go to the east, the lower
18 Strawn sand is thickening, and we have not been able to
19 back that response of the lower Strawn thickening out of
20 what we see as -- for the entire isochron, or the entire
21 interval of the Strawn in this area.

22 So we haven't been able to resolve it, but you
23 can see that we have good evidence for, at the Norris
24 Number 1, and then the Norris Number 3 well, which is the
25 dryhole that's in the southeast -- excuse me, the northwest

1 of the southeast of Section 13, is also a thin, tight upper
2 Strawn well.

3 So we do lack a little bit of evidence for that
4 in there, but we feel like it's pretty well borne out by
5 the seismic evidence.

6 And then we use the core data that we had to
7 separate out the proposed southwest Humble City Pool,
8 that's -- in the Lottie York wells and the Norris Number 4
9 well, from the Norris Number 2 well.

10 Q. Okay. Now, the cores were from which wells?

11 A. We had cores from the -- core data from the
12 Lottie York Number 1, which is the discovery well, and the
13 Number 2, and -- Excuse me, we did not have it from the 1,
14 we had it from the Lottie York Number 2 and the Norris
15 Number 2.

16 And they showed distinctly different depositional
17 environments, one being part of this mound, which was
18 actively accreting, growing up from the sea floor, and
19 another one, the Norris 2, would show that it was debris
20 that had been broken off this actively accreting mound and
21 then carried downslope and deposited in the location of the
22 Norris Number 2.

23 Q. Did you have privy to a core in the northern
24 portion or in the South Humble-Strawn Pool?

25 A. Yes. Now, I can't recall offhand if it's the Lea

1 Farms or the Ashland Federal, though, but one of those two
2 producing wells that is in the north half of 13 or 14.

3 Q. And both of those wells were in the Reef?

4 A. Definitely in the mound facies, right. The Reef
5 or mound facies.

6 Q. Could you tell by your investigation if the two
7 pods were formed about the same time period? Well,
8 obviously they were, but identical time periods or one a
9 little bit afterwards

10 A. I think they're pretty much -- You can't exactly
11 tell that from the core, but from the other subsurface
12 studies that I've done, I've zoned out this interval and
13 there are at least three distinct phases of mound
14 development.

15 But the one that is present in the Lea Farms
16 Number 2 was also active in the -- for instance, the Lottie
17 York Number 1, at more or less the same time.

18 Q. Now, I notice on a couple of instances in the
19 cross-section -- I'm looking at B-B', over toward the left-
20 hand side, and the second well, that's that Bonneville
21 Fuels Corporation Lottie York Number 1 --

22 A. Got it.

23 Q. -- you have the main body, and then underneath it
24 there's a smaller --

25 A. There is a small porosity development there, and

1 we've speculated on that, and we kept thinking we'd
2 probably see it, and -- where we had a really hot seismic
3 response, like on the Lottie York Number 3, and we have not
4 seen it in any other wellbore or really for -- to my
5 knowledge, any wellbore within this township. And there's
6 some production to the north up in the Shipp field. I
7 haven't seen it up there either.

8 So it's kind of enigmatic. It might just be a
9 little local -- or real local. It does not map outside the
10 immediate vicinity of the Lottie York Number 1, and we
11 don't think it is necessarily part of the oil column that's
12 present in the Lottie York Number 1 either.

13 EXAMINER STOGNER: Okay. I have no other
14 questions of this witness.

15 MR. CARR: That concludes our presentation with
16 this witness.

17 At this time we call Mr. Bob Schwering
18 (Off the record)

19 MR. CARR: Mr. Stogner, as we go through the
20 engineering presentation, you might want to keep that
21 porosity map out because we're going to be relating back to
22 that.

23 EXAMINER STOGNER: Exhibit Number 2 is what
24 you're referring to?

25 MR. CARR: Yes, sir. Yes, sir.

1 ROBERT A. SCHWERING,

2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your name for the record, please?

7 A. My name is Robert A. Schwering.

8 Q. Where do you reside?

9 A. I live in Golden, Colorado.

10 Q. By whom are you employed?

11 A. I'm employed by the Bonneville Fuels Corporation.

12 Q. And what is your current position with Bonneville
13 Fuels Corporation?

14 A. I am operations manager for the south area.

15 Q. Are you a geologist?

16 A. No, sir.

17 Q. You're a petroleum engineer?

18 A. I am a petroleum engineer.

19 Q. Have you previously testified before the New
20 Mexico Oil Conservation Division?

21 A. No, sir, I have not.

22 Q. Could you summarize briefly your educational
23 background?

24 A. I graduated from the New Mexico School of Mines,
25 Institute of Mining and Technology in 1980 -- 1981. I was

1 a *cum laude* graduate that year.

2 Q. While with the School of Mines, did you also
3 teach certain classes?

4 A. Yes, sir, I taught mud lab.

5 Q. Would you review your work experience for Mr.
6 Stogner, please?

7 A. Yes, sir, from June of 1981 until the end of
8 1991, I worked 11 years for the Arco -- 10 1/2 years for
9 the Arco Oil and Gas Company in a position as either a
10 drilling engineer or a drilling foreman, field supervisor.

11 Subsequent to that, for 3 1/2 years, I was a
12 consultant in Colorado.

13 Subsequent to that, I have worked for the
14 Bonneville Fuels Corporation for a period of about a year
15 and three quarters.

16 Q. Are you a registered petroleum engineer?

17 A. Yes, sir, I received my license in 1992 in the
18 State of Colorado and my number is 23108.

19 Q. Are you familiar with the Application filed in
20 this case on behalf of Bonneville Fuels Corporation?

21 A. Yes, sir, I am.

22 Q. Have you made an engineering study of the area
23 surrounding the South Humble City-Strawn Oil Pool?

24 A. Yes, sir, the engineering study I have performed
25 has been focused primarily on what we are calling the

1 Southwest Humble City-Upper Strawn Formation Pool.

2 Q. And are you prepared to present the results of
3 that study to Mr. Stogner?

4 A. Yes, sir, I am.

5 MR. CARR: Mr. Stogner, we tender Mr. Schwering
6 as an expert in petroleum engineering.

7 EXAMINER STOGNER: You graduated what, *cum laude*?

8 THE WITNESS: (Nods)

9 EXAMINER STOGNER: Well, I don't remember much of
10 that now, Mr. Schwering. I guess I just graduated that
11 same time.

12 THE WITNESS: Well, I wasn't there, in fact. I
13 was in an interview.

14 EXAMINER STOGNER: Well, that's probably why I
15 didn't remember it.

16 So qualified.

17 MR. CARR: We would note that Mr. Schwering also
18 in his career as an instructor, instructed Mr. Catanach,
19 and we're not --

20 EXAMINER STOGNER: We won't hold that against
21 him. He's still an expert witness, Mr. Carr.

22 Q. (By Mr. Carr) Mr. Schwering, have you prepared
23 exhibits for presentation in this hearing?

24 A. I think I have.

25 Q. Could you refer to what's been marked as

1 Bonneville Exhibit Number 5, identify that and review it
2 for the Examiner?

3 A. Yes, sir, I prepared Exhibit Number 5, which is a
4 current reservoir survey, reservoir pressure survey, in the
5 vicinity of the proposed Southwest Humble City Pool. The
6 reservoir survey was conducted on wells that are operated
7 by the Bonneville Fuels Corporation.

8 The Lea Farms Number 2 well was shut in from
9 3-4-96 to 3-11-96, and it had a P*, or pseudo-ultimate
10 reservoir pressure, of approximately 391 p.s.i.a.

11 The Norris Number 2 was the next well we tested.
12 It had a pseudo-ultimate reservoir pressure of 192 p.s.i.a.
13 on a seven-day test conducted between March the 4th and
14 March the 11th of this year.

15 Subsequent to that, and as soon as we had
16 finished completion operations on the new Norris Number 4
17 well, we shut in the proposed Southwest Humble City field,
18 the part that we control and produce, and obtained some
19 pressure data in that field.

20 The buildup on the Norris Number 4, a brand-new
21 well at the east end of our reservoir, or our easternmost
22 well in that reservoir, built up to a P* of 1160 p.s.i.a.
23 and actually broke over in late time, which indicates that
24 this may in fact be a real good estimate of the reservoir
25 pressure. The other P*'s are probably high estimates of

1 reservoir pressures, because they had not built up to the
2 point where they broke over.

3 The Lottie York Number 3 indicated a P* of
4 approximately 1240 p.s.i.a. on a 7-day buildup. On the
5 Lottie York Number 1 -- and that well, by the way, the
6 Lottie York Number 3, is at the west end of the reservoir,
7 and those two wells, the maximum pressures they achieved
8 during buildup and the P*'s they achieved are both within
9 10 percent of each other, and they're at the east and west
10 end of the reservoir.

11 The Lottie York Number 1 Lottie York Number 2, I
12 shot fluid levels on those wells on the 25th of March,
13 1996, and calculated the maximum pressure in those wells.
14 The Lottie York Number 1 had built up to 1178 p.s.i.a., as
15 near as I could calculate, off the fluid level. And the
16 Lottie York Number 2 had built up to 1027 p.s.i.a.

17 I'd like to note that the Lottie York Number 2 is
18 still building at about 30 p.s.i. per day, and that that
19 well has the least permeability of any of the wells we have
20 in the reservoir, and consequently, you would expect it to
21 build up slower than the other wells.

22 That concluded the seven-day shut-in that we run
23 in the field to determine what the reservoir pressure might
24 be.

25 At this time, I'd like to detail the significant

1 engineering conclusions I can draw from the data.

2 The first conclusion, and the most significant,
3 is that the proposed Southwest Humble City-Upper Strawn
4 Formation Pool is a hydraulically distinct reservoir with
5 an average reservoir pressure of approximately 1160 to 1250
6 p.s.i.

7 The four wells in this pool that are operated by
8 BFC are well connected hydraulically. The maximum buildup
9 pressure at the Lottie York Number 3 is within 10 percent
10 of the buildup pressure in the Norris 4, even though these
11 wells are at opposite ends of the reservoir.

12 The two wells evaluated outside the pool are in
13 structurally distinct reservoirs which are hydraulically
14 disconnected from this pool. The Norris Number 2 reservoir
15 pod has a P* of approximately 185 p.s.i., and the Lea Farms
16 has a P* of approximately 385 p.s.i. And Mr. Stogner, I
17 believe I got my a's and g's crossed up with the word
18 processor there.

19 Item number 4, the closer proximity -- Or
20 conclusion number 4 is, the closer proximity of the Norris
21 Number 2 well to the proposed Southwest Humble City-Strawn
22 Pool, along with the lower pressure of that reservoir pod,
23 supports the assumption that these reservoirs, being the
24 reservoir pods in the South Humble City, are hydraulically
25 distinct from the reservoir pod which we characterize as

1 the Southwest Humble City Pool.

2 Q. And in reaching those conclusions, you've used
3 standard and accepted engineering calculations, have you
4 not?

5 A. Yes, sir, I used the semi-log analysis techniques
6 out of Robert C. Earlougher's book, *Advances in Well Test*
7 *Analysis*, which is the industry standard.

8 I would like at this time to comment that if it's
9 so desired by the NMOCD and they need to look at the
10 buildup analyses, that I will make copies of that available
11 as soon as this hearing is ended, if that's your direction.

12 EXAMINER STOGNER: So noted, but at this time I
13 don't believe so.

14 THE WITNESS: All right.

15 Q. (By Mr. Carr) Mr. Schwering, let's take a look
16 at the boundary calculations now, and I would ask you to
17 review your Exhibit Number 6 for the Examiner.

18 A. Yes, sir. Exhibit Number 6 is the reservoir
19 boundary confirmation that we got out of certain well tests
20 which I did analysis on.

21 These well tests -- What you're looking for
22 there, Mr. Examiner, is, in the late time in the buildup,
23 on a semi-log plot, you'll get a slope doubling. From more
24 or less a linear slope with so many p.s.i. per cycle, you
25 will get about a doubling in the slope, and that will

1 provide you a way to calculate a distance to that boundary,
2 based on what you understand about other reservoir
3 parameters.

4 Well, in the history of this reservoir, there
5 have been three well tests that I'm aware of that have
6 allowed the calculation of boundaries, and those three well
7 tests are as follows.

8 The first well test indicating boundaries was the
9 second well test run on the Lottie York Number 1, between
10 December 12, 1982, and December 15, 1982. The P* that was
11 achieved at that time was 3092 p.s.i.a.

12 The nearest measured boundary that could be
13 scaled off of Exhibit Number 2 there was 507 feet. The
14 nearest well-test calculated boundary was 468 feet, that
15 being the boundary to the north of the Lottie York Number 1
16 well. And in fact, that's a real close correspondence
17 between where that boundary shows up by Mr. Kozarek's
18 interpretation of the seismic of the well log data, and
19 where that boundary calculates to be.

20 The Lottie York Number 2, during its initial shut
21 in, gave evidence of two boundaries. The nearest measured
22 boundary on the interpretation map you have is 275 feet to
23 the north of the Lottie York Number 2. The nearest well-
24 test calculated boundary is 90 feet. There is a second
25 well-test calculated boundary which shows up, which is some

1 456 feet from the well. I cannot very well explain that
2 boundary, but I'll go into that in just a few minutes.

3 The third test which showed a distinct boundary
4 was the pressure buildup test for the Lottie York Number 3,
5 which was just concluded between March 18th and 25th of
6 1996. I've already discussed the P*. The nearest measured
7 boundary to that well is some 482 feet to the north, and
8 the nearest well-test calculated boundary is some 151 feet.

9 I'd like at this time to address some conclusions
10 that I think I can usefully draw from that.

11 First, the most significant engineering
12 conclusion in evaluating the previously submitted data is
13 that the northern boundary is more or less repeatedly
14 confirmed by the well-test data, and while we don't see any
15 of the other boundaries in these calculations -- the
16 buildups were not long enough and the wells are not located
17 close enough to the other boundaries in the reservoir to
18 see those boundary effects.

19 The well-test -- The real significant conclusion
20 here is that the well-test calculated boundaries are all
21 closer to the subject wells, with one exception, than the
22 zero porosity thickness contours, which we present in
23 Exhibit Number 2, which would mean that those contours may
24 in fact extend out further than permeability in the
25 reservoir does. And this also lends credence to our

1 believing that these wells are in fact -- that the
2 reservoir pods are in fact separate and distinct and that
3 the Southwest Humble City reservoir pod we're addressing in
4 this action is distinct from the other reservoir pods.

5 At this time, I would like the -- Mr. Examiner to
6 cross out conclusion number 3, because I don't think I can
7 safely say very much at all about the two boundaries that I
8 see in the Lottie York Number 2 well test, other than to
9 state that one of those is closer than the northern
10 boundary, and I do not know what causes the second boundary
11 effect that I see there.

12 So if you would, sir, please remove that --

13 EXAMINER STOGNER: So noted.

14 THE WITNESS: -- because I think that conclusion
15 was inappropriate and hardly worth following.

16 Once again, I relied on standard well test
17 analysis technique used by Earlougher and detailed in
18 *Advances in Well Test Analysis*, and I am more than happy to
19 make copies of the boundary calculations and those well
20 tests to the Commission if they would be desirous of having
21 those.

22 EXAMINER STOGNER: There again, Mr. Carr, I don't
23 think so.

24 Q. (By Mr. Carr) Mr. Schwering, let's take a look
25 now at the gas-oil ratio data, and I'd ask you to refer to

1 Bonneville Exhibit Number 7, identify that and review it
2 for Mr. Stogner.

3 A. Yes, sir. We're getting -- I lack one exhibit,
4 Bill.

5 Q. Do you need Exhibit Number 7?

6 A. No, Number 8. No, I've got it. There, forget
7 it.

8 Exhibit Number 7 is basic GOR data, which we have
9 acquired from the proposed Southwest Humble City Formation-
10 Upper Strawn Pool.

11 The Bonneville Fuels Corporation, as a part of
12 this action, has also requested a special limiting GOR of
13 8000 standard cubic feet per barrel for the newly
14 designated pool if the New Mexico OCD honors our request to
15 establish a new and separate pool.

16 A lot of the petrophysical data upon which a lot
17 of the well test calculations and in fact all the
18 calculations I've done in my reservoir study are based on,
19 come from a Core Lab differential analysis, numerical
20 simulation, undertaken in 1995, which was based on computer
21 simulation of the results of a 1982 flash liberation
22 analysis on a separator sample obtained from the Lottie
23 York Number 1.

24 The proposed pool was discovered by the Lottie
25 York Number 1 in 1982, and the following reservoir fluid

1 and pressure parameters have been determined.

2 The reservoir at discovery was an undersaturated
3 oil reservoir. Initially reservoir pressure was 3715
4 p.s.i. Bubble-point pressure was 2987 p.s.i. And the
5 dissolved gas in the oil was about 1190 standard cubic feet
6 per stock tank barrel of oil originally in place.

7 The average reservoir pressure is estimated to
8 have declined below the bubble point pressure in
9 approximately June of 1983. Since that time, as pressure
10 has dropped in the reservoir, gas has been evolving in the
11 reservoir as a separate phase. Prior to that time, there
12 was single-phase flow in the reservoir; only oil was
13 mobile.

14 Two volumetric calculations of original oil in
15 place, based approximately on an unrefined version of
16 Exhibit Number 2, bracketed the oil in place at between
17 9.08 and 10.57 million stock tank barrels of oil
18 originally.

19 My material balance calculation, prior to the
20 bubble-point pressure, seems to indicate an initial
21 reservoir volume of some 9.6 million stock tank barrels of
22 oil, with a corresponding complement of 11.42 billion cubic
23 feet of natural gas.

24 Production and well test data available to the
25 Bonneville Fuels Corporation indicated that as of March

1 18th, 1996, approximately 1.58 million stock tank barrels
2 of oil had been produced out of the reservoir.

3 Approximately 2.76 BCF of gas had been produced,
4 including estimated wastage at the tanks.

5 Approximately 115,000 stock tank barrels of water
6 had been produced, indicating very little evidence of a
7 water drive. And the average water pressure since 1-1-82
8 has declined to approximately 1200 p.s.i.

9 The dissolved gas complement at 1200 p.s.i.,
10 based on the fluid analysis work, is approximately 626
11 standard cubic feet per stock tank barrel of oil remaining.

12 Simple computations indicate that the following
13 data are true as of March 18, 1986

14 Produced gas originally dissolved in the oil
15 which has been produced, approximately 1.88 BCF.

16 Remaining oil in place, approximately 8.02
17 million stock tank barrels of oil.

18 Dissolved gas remaining in that oil at 1200
19 p.s.i., 5.02 BCF.

20 Gas liberated from oil remaining in the
21 reservoir, 4.53 BCF.

22 Free gas produced to date, .88 BCF. Free gas
23 remaining in the reservoir as a unique or gas phase, 3.65
24 BCF.

25 Clearly until this time, the location of wells

1 has allowed free gas to accumulate in the reservoir, and
2 this gas expansion has acted to improve the recovery of
3 oil.

4 With the implementation of a 3-D seismic survey
5 and the accurate definition of the areal extent of the
6 reservoir, Bonneville Fuels has recently drilled two new
7 wells in the reservoir, the Lottie York Number 3 and the
8 Norris 4, in order to protect correlative rights and
9 properly develop the reservoir for optimum drainage under
10 depletion drive pressure decline, the primary production
11 mechanism.

12 In the drilling of the Lottie York Number 3, an
13 induced gas cap was discovered in a DST in the top section
14 of the upper Strawn. Effort was expended to understand the
15 log character of the gas-cap reservoir segments, which
16 involved interpretation of both the neutron density curve
17 separation, as well as a micro- -- an MSFL and deep
18 induction curve separation that we saw on the induction
19 suite.

20 This allowed us to avoid perforating the existing
21 gas cap when those two wells were completed, and we did in
22 fact perforate low in the section, and to the best of our
23 ability, given the mechanical limitations of the well, have
24 avoided excess gas production.

25 Attached to this exhibit are a spreadsheet and

1 three graphs. The spreadsheet computes the GOR between
2 January 1, 1995, and March 18, 1996, of the three wells BFC
3 had in the Southwest Humble City Pool prior to 3-15-96.

4 Graph I presents the GOR behavior of the Lottie
5 York Number 1, Number 2 and Number 3 wells, since January 1
6 of 1995.

7 Graph II presents the instantaneous producing GOR
8 of the reservoir since the field was completed in 1-15 of
9 1982, along with the cumulative producing GOR and an
10 estimated decline of reservoir pressure across that time.

11 Graph III presents the GOR behavior of the Norris
12 Number 4 well since its recent completion.

13 Inspection of Graph I indicates that the Lottie
14 York Number 1 well has an average GOR of approximately 4200
15 standard cubic feet per stock tank barrel of oil, across
16 the last 12 months, or eight months during which it
17 produced -- that's -- no, across the last 12 months, pardon
18 me.

19 In the last 12 months, this has been
20 significantly exceeded as the well's bottomhole pressure
21 became too low to lift oil effectively with a plunger lift
22 installation. We undertook significant fishing operations
23 and finally cleaned up the wellbore and installed a beam
24 pump, at which time the well returned to a GOR of
25 approximately 3500 standard cubic feet per stock tank

1 barrel of oil.

2 The Lottie York Number 2 GOR is steadily
3 increasing due to effects of increased drawdown caused by
4 improvement of the Lottie York Number 1 well and completion
5 of the new Lottie York Number 3 well. When the Lottie York
6 Number 1 well was crippled, the Lottie York Number 2 well
7 GOR decreased.

8 The Lottie York Number 2 well has an average GOR
9 at this time of approximately 3000 standard cubic feet per
10 stock tank barrel of oil.

11 The Lottie York Number 3 GOR has steadily
12 increased through its nine-month life to approximately 4200
13 standard cubic feet per stock tank barrel of oil.

14 The high GOR prior to the shut-in test on
15 3-18-95, during the last two months prior to that test, was
16 due to downhole pump failure, which we discovered when we
17 pulled the well for the pressure buildup.

18 Inspection of Graph II indicates that field
19 instantaneous producing GOR has steadily increased through
20 the life of the field. The GOR originally, or listed as
21 RSI, was about 1200 standard cubic feet per stock tank
22 barrel, which confirms the fluid analysis data that we got
23 from Core Lab. And the period of time in which the GOR
24 stayed around 1200 standard cubic feet per barrel was
25 essentially from January, 1982, to late 1987.

1 The GOR for the last year, for the entire field,
2 has averaged about 4000 standard cubic feet per stock tank
3 barrel of oil. It has been higher significantly, going
4 almost to 5000 standard cubic feet per barrel in two short
5 periods in which the Lottie York Number 1 was crippled and
6 the Lottie York Number 3 had a downhole pump problem, which
7 we've since cured.

8 The shape of the cumulative producing GOR curve
9 indicates that free gas in the wellbore vicinities became
10 mobile in November, 1984, and that free gas in the
11 reservoir generally became mobile in August of 1988. And
12 you see that in the change in slope of that R_p curve and
13 its steady increase as reservoir life has progressed.

14 Inspection of Graph Number III indicates that the
15 GOR at the Norris Number 4 well, the new producer, is
16 steadily increasing and is currently at approximately 2000
17 to 2200 standard cubic feet per stock tank barrel of oil.
18 Some months must pass before the true characteristic GOR of
19 this well is evident.

20 The initial well test indicates this well
21 principally produces from fracture porosity, and its
22 behavior may be at substantial variance from other wells in
23 this reservoir, all of which produce primarily from
24 vugular-type porosity.

25 The engineering conclusions I can draw from this

1 are that an induced gas cap was discovered during the
2 drilling of the Lottie York Number 3, the log character of
3 principally gas-saturated zones has been recognized,
4 perforating those zones has been avoided in our production
5 practice, completion practice.

6 Number two, the original GOR of the reservoir in
7 the undersaturated state was 1190 standard cubic feet per
8 stock tank barrel of oil. This is confirmed by the
9 cumulative producing GOR curve.

10 The instantaneous producing GOR of the reservoir
11 has steadily risen through its life to its current value of
12 approximately 4000 standard cubic feet per stock tank
13 barrel.

14 Approximately 3.65 BCF of gas exists as an
15 independent phase in the reservoir. Gas cap expansion,
16 free gas expansion and gravitational segregation energy has
17 been used by BFC to optimize oil recovery from this
18 reservoir under the primary production mechanism.

19 Number three, optimum recovery from this
20 reservoir by the depletion drive mechanism will be
21 approximately 25 percent of the original oil in place if we
22 are real effective from here on out in preserving our gas
23 energy to the best of our ability.

24 Under this mechanism, the remaining primary oil
25 to recover is .82 million stock tank barrels of oil.

1 At the same time that we produce approximately
2 all of the remaining gas in place, or 8.66 BCF of gas, the
3 GOR inherent in the expected remaining producible reserves
4 makes the requested GOR of 8000 appropriate. That is, if
5 you take the 8.66 BCF and divide it by .82 million stock
6 tank barrels of oil, if we are able to optimize production,
7 we will achieve a GOR across the remaining life of the well
8 under primary mechanism of about 10,560 standard cubic feet
9 per stock tank barrel.

10 Number 4, additional wells were drilled to
11 optimize recovery and protect correlative rights in this
12 reservoir as soon as Bonneville Fuels Corporation confirmed
13 the validity of its seismic interpretation. Both new wells
14 have been selectively perforated to optimize oil recovery
15 at the base of the upper Strawn section.

16 While the additional drawdown of the reservoir
17 due to the new wells may accelerate GOR increase versus
18 time, the selective perforation of the wells and the
19 prospective abandonment of perforations when they gas out
20 should allow Bonneville Fuels to optimize oil recovery in
21 this reservoir by the depletion drive mechanism.

22 In proposing the special GOR of 8000 standard
23 cubic feet per stock tank barrel, Bonneville Fuels
24 Corporation is seeking a GOR that will allow optimum
25 reservoir recovery if the reservoir is produced to

1 depletion by the depletion drive mechanism.

2 Setting the special GOR at a realistic value,
3 below the remaining estimated recovery GOR of 10,560
4 standard cubic feet per stock tank barrel, will give the
5 Bonneville Fuels Corporation an incentive to take further
6 steps to optimize recovery from this reservoir as reservoir
7 performance and economics dictate recovery technique.

8 The standard state rule of 2000 standard cubic
9 feet for this depth of well per stock tank barrel of oil is
10 just too low for this reservoir at its current condition.
11 Only the new Norris Number 4 well is producing near the
12 limiting GOR of 2000 standard cubic feet per stock barrel
13 of oil.

14 The use of the 2000 standard cubic feet per stock
15 tank barrel of oil limiting GOR will only cause premature
16 abandonment of oil reserves and waste if it is not raised.
17 This will be further demonstrated in Exhibit Number 8.

18 A copy of the flash liberation analysis, the Core
19 Lab differential liberation analysis, the volumetric
20 reservoir estimates, the material balance estimate and an
21 individual well test will be made available to the
22 Commission if they feel they need them.

23 EXAMINER STOGNER: No, thank you.

24 THE WITNESS: It's pretty wordy.

25 Q. (By Mr. Carr) All right, Mr. Schwering, let's go

1 now to the GOR performance test on the Lottie York Number
2 3, and I'd ask you to refer to your Exhibit Number 8 and
3 review the results of that test for Mr. Stogner.

4 A. Yes, sir. Exhibit Number 8 is a GOR and
5 production performance test which Bonneville Fuels
6 undertook to run at the Lottie York Number 3 between April
7 1 and April 29, 1996, as soon as the well's pump problems
8 had been cleaned up and had been returned to production.

9 On 2-2-96 an allowable of 230 barrels of oil per
10 day was assigned to production at the Lottie York Number 3.
11 This allowable was based on the limiting GOR allowable of
12 2000 standard cubic feet per stock tank barrel of oil for
13 casinghead gas, and at this depth bracket that meant that
14 we had to keep our casinghead gas at 890 MCF per day or
15 less.

16 Mr. Sexton, the Hobbs District Supervisor, has
17 kindly permitted the Bonneville Fuels Corporation to
18 conduct appropriate production and production testing at
19 rates above this limiting GOR, in order to have all these
20 limiting-GOR issues addressed at this time.

21 The procedure was to produce casinghead gas up
22 the well annulus using various choke settings while oil was
23 beam-pumped up the tubing, until relatively stabilized oil
24 production and gas rates could be achieved, and then four-
25 to five-day intervals were averaged.

1 The purpose of this performance testing was to
2 determine the choke setting and really the back pressure
3 held against the well at which oil production was optimized
4 relative to gas production -- that is to say, at the choke
5 setting at which the GOR was minimized.

6 The production data in Table 1, I'd like to draw
7 your attention to the fact that there were two tests run
8 with 27/64-inch choke, because in the first pass that
9 proved to be the minimum GOR setting. At that choke
10 setting, the well averaged about 290 barrels of oil per
11 day, producing about 1275 MCF of gas per day, and the GOR
12 for the well was around 4200 standard cubic feet per stock
13 tank barrel of oil.

14 At lower choke settings, being -- and here I'd
15 like to reference you to Curve I -- at lower choke
16 settings, which on only two of the days got us below the
17 890-MCF-per-day requirement -- which, by the way,
18 corresponded with only 139 barrels of oil production -- At
19 lower choke settings, you can see that by holding
20 significantly larger amounts of back pressure against the
21 formation, the permeability to gas against that back
22 pressure is much higher than the permeability to oil, and
23 what you see is that the GOR is very high.

24 At a 20/64 setting, which gave us the only two
25 days when we met the state standard, we were up around 6000

1 standard cubic feet per stock tank barrel.

2 If we were to produce the well at any length of
3 time at that choke setting, with that back pressure, the
4 result would be that we would excessively deplete gas,
5 while inefficiently recovering oil, and thereby wasting
6 resource.

7 The engineering conclusions that I can draw are
8 -- some from previous testimony, which is that there's an
9 induced gas cap and 3.65 billion cubic feet of gas out
10 there. We need to utilize the energy from that gas to the
11 best of our ability to optimize the oil recovery.

12 That in fact, this well produces, with the lowest
13 GOR, at 27/64 inches. At a higher choke setting, which is
14 more unrestricted flow to the atmosphere, the gas tends to
15 outcompete the oil in getting into the wellbore, at 30/64
16 inches, and we see the bullet-shaped nature of Curve I.
17 And what that indicates to me is that if we were to open
18 the well to the atmosphere on the back side, we'd turn it
19 into a gas well in short order.

20 Neither can we choke it back too much. What we
21 have to do is from time to time conduct these little
22 production-optimization tests at the well and determine
23 what the optimum choke setting is in order to produce the
24 well at the lowest possible GOR.

25 The production tests for the GOR determination

1 was conducted in accordance with standard field practice,
2 and to the best of my knowledge, with due diligence. I
3 took the morning reports, but I was not out there adjusting
4 the choke.

5 Q. Mr. Schwering, Bonneville is asking this Division
6 to separate the South Humble City-Strawn Oil Pool into two
7 new ones; is that correct?

8 A. Yes, sir.

9 Q. You're asking that the new pool to be created
10 have a special gas-oil ratio set for that pool of 8000
11 to 1?

12 A. That is correct.

13 Q. And along with that, you're asking that the rules
14 that have been applicable to the South Humble City-Strawn
15 Pool -- that is, 80-acre spacing, defined spacing units,
16 and depth bracket allowable -- that those same rules remain
17 in effect for the new pool; is that correct?

18 A. That is correct.

19 Q. In your opinion, will the granting of this
20 request be in the best interests of conservation, the
21 prevention of waste and the protection of correlative
22 rights?

23 A. Yes, sir, I do strongly believe that to be the
24 case.

25 Q. Were Exhibits 5 through 8 prepared by you?

1 Q. Is the dryhole, okay.

2 A. -- Mr. Stogner.

3 Q. All right. So the Number 2 is the one that has
4 "4.75" number written beside it in Exhibit Number 2?

5 A. That is correct, sir.

6 Q. Okay.

7 A. I'm sorry these were not labeled. That's
8 oversight on my part. I should have provided a map.

9 Q. Did you also run similar tests -- and show the
10 reservoir pressure data, but did you run similar tests,
11 like the information on your Exhibits Number 6, 7 and 8, on
12 that Number 2 well, Lea Farms --

13 A. Yes, that built up to 395 p.s.i.

14 Q. Okay.

15 A. And the Norris Number 2, which is the 2.98 out to
16 the right-hand side --

17 Q. Yes.

18 A. -- that built up to almost 200 p.s.i.

19 And all of the wells that we tested, that are
20 currently produced by Bonneville Fuels within the proposed
21 Southwest Humble City Pool, they built up to approximately
22 1200 p.s.i., within 10 percent of each other.

23 Q. Is the 8000 to 1 going to be sufficient later on,
24 as the pool depletes -- the proposed new pool depletes down
25 to very little oil, where we have 100-percent gas expansion

1 in the pool, and you're producing mostly gas? Is that
2 going to be sufficient enough casinghead gas allowable to
3 deplete that out to zero, or as near as economically
4 possible?

5 A. Probably will not. But I believe that that --
6 the designation of 8000 standard cubic feet per barrel will
7 cause Bonneville Fuels to incur some minimal cost to try
8 and optimize the use of that natural gas energy in the
9 reservoir to produce all the oil we can.

10 Sometime -- If the pool were depleted by the
11 primary mechanism to atmospheric pressure, at some point
12 the oil would become relatively immobile and at that time
13 we might -- the State might cause us to come in and
14 redesignate this thing as a gas pool. But we'll have to
15 cross that bridge when we get there.

16 Q. Well, actually that wouldn't happen; it would
17 just still be an oil pool but you'd be subject to the
18 casinghead gas allowable, and at that time you can increase
19 the casinghead gas allowable to the -- sufficient to bring
20 it down.

21 A. Okay. I know in Texas they -- in several cases I
22 was involved in, the state did cause casinghead gas to
23 become gas.

24 EXAMINER STOGNER: Any other questions of this
25 witness?

1 MR. CARR: No further questions.

2 EXAMINER STOGNER: You may be excused.

3 Mr. Carr, do you have anything further in this
4 case?

5 MR. CARR: No, Mr. Stogner, that concludes our
6 presentation in this matter.

7 EXAMINER STOGNER: In that case, Number 11,493
8 will be taken under advisement.

9 (Thereupon, these proceedings were concluded at
10 3:15 p.m.)

11 * * *

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 11493,
heard by me on 2 July 1996.
Richard C. Stogner, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 8th, 1996.


 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998