


STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF APPLICATION OF MATADOR)
PETROLEUM CORPORATION FOR AN UNORTHODOX)
GAS WELL LOCATION, EDDY COUNTY,)
NEW MEXICO)

CASE NO. 11,566

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

July 11th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, July 11th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

July 11th, 1996
 Examiner Hearing
 CASE NO. 11,566

	PAGE
APPLICANT'S WITNESSES:	
<u>LES M. CARNES</u> (Engineer)	
Direct Examination by Mr. Kellahin	5
Examination by Examiner Stogner	13
REPORTER'S CERTIFICATE	17

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	13
Exhibit 2	6	13
Exhibit 3	7	13
Exhibit 4	8	13
Exhibit 5	11	13
Exhibit 6	11	13
Exhibit 7	12	13
Exhibit 8	13	13

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 9:58 a.m.:

3 EXAMINER STOGNER: Hearing will come to order.

4 Call next case, Number 11,566, which is the
5 Application of Matador Petroleum Corporation for an
6 unorthodox gas well location in Eddy County, New Mexico.

7 At this time I'll call for appearances.

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 on behalf of the Applicant, and I have one witness to be
11 sworn.

12 EXAMINER STOGNER: Are there any other
13 appearances in the Matador case?

14 Will the witness please stand to be sworn?

15 (Thereupon, the witness was sworn.)

16 EXAMINER STOGNER: Mr. Kellahin?

17 MR. KELLAHIN: Mr. Examiner, we're seeking
18 approval to re-enter a plugged and abandoned well.

19 I have distributed to you a copy of the prior
20 order. It's Order Number R-8496. It was issued on August
21 26th of 1987. It approved a compulsory pooling, including
22 an unorthodox well location for Terra Resources.

23 This well was drilled; it came to be known as the
24 Chevron 7 Federal Well Number 1.

25 Subsequently, Matador has acquired the wellbore

1 and the acreage. We propose to dedicate the north half of
2 Section 7 to the well and to re-enter this well.

3 This is an interesting well in that Terra
4 Resources drilled it, ran a drill stem test in the Morrow
5 formation, and thought the results were poor and abandoned
6 the well.

7 Matador has targeted this well as a re-entry
8 candidate where, despite the adverse drill stem tests, Mr.
9 Carnes and others believe that it has true potential.
10 They've had other success with these types of re-entries,
11 and we seek your permission, then, to again utilize this
12 well for an attempt to produce hydrocarbons, principally
13 out of the Morrow, but if that should fail we would at
14 least want the opportunity to look at any of the 320 gas
15 formations from the top of the Wolfcamp to the base of the
16 Morrow. So that's the order in front of you.

17 The next set of exhibits are Mr. Carnes'
18 exhibits.

19 And finally, Exhibit 7 is a certification by a
20 surveyor of where the well actually got drilled in relation
21 of where it was staked. You'll see that there is a small
22 footage difference between the original order, which
23 approved a 660 location, versus what has been surveyed in
24 June of this year to be 663 from the north and 665 from the
25 east. It's a matter of just a few feet.

1 With that introduction, then, we'll call Mr. Les
2 Carnes.

3 LES M. CARNES,
4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Carnes, for the record, sir, would you please
9 state your name and occupation?

10 A. Les Carnes, consulting petroleum engineer.

11 Q. Mr. Carnes, on prior occasions have you testified
12 before the Division as a petroleum engineer?

13 A. Yes, I have.

14 Q. And as a consultant for Matador Petroleum
15 Corporation, have you made a study of not only the
16 engineering aspects but the geologic aspects concerning the
17 opportunity afforded Matador to re-enter the Chevron 7
18 Federal Well Number 1?

19 A. Yes, I have.

20 MR. KELLAHIN: We tender Mr. Carnes as an expert
21 petroleum engineer.

22 EXAMINER STOGNER: Mr. Carnes is so qualified.

23 Q. (By Mr. Kellahin) Mr. Carnes, if you'll turn to
24 what is marked as Matador Exhibit 1, let's take a moment to
25 identify the well location and describe for the Examiner

1 the various informations shown on this exhibit.

2 A. Exhibit 1 is a land plat on a scale of one inch
3 equal to 4000 feet, showing Matador Petroleum working
4 interest position in that part of the Diamond Mound Morrow
5 Reservoir and also showing the well that Matador desires to
6 re-enter in the northeast quarter of Section 7 of 16 South,
7 28 East, in Eddy County.

8 Q. What does the Applicant propose to be the spacing
9 unit to be dedicated to the well?

10 A. It will be the north half of Section 7.

11 Q. Okay, let's turn now to Exhibit Number 2.

12 A. Exhibit 2 is a structure map contoured on top of
13 the Morrow zone, sand zone, and it displays the structural
14 behavior of the channel sands in that part of the
15 reservoir.

16 Also of particular interest is an anomaly, a
17 little out-of-the-ordinary shape there of the structure in
18 the north half of Section 7.

19 Q. This is a recent structure map --

20 A. Uh-huh.

21 Q. -- this is a May-of-1996 vintage, and it was
22 produced by you in conjunction with a Matador geologist?

23 A. That's correct.

24 Q. How was this information useful to you in
25 determining whether the Chevron 7 well is a candidate for

1 re-entry?

2 A. On comparisons with other wells that had similar
3 type of Morrow sand development, we referenced the well due
4 west in Section 12 of 16-27. It's about a mile and a half
5 due west. It's the Williamson Fed Com Number 1. Matador
6 has an interest in the well; it is not operated by Matador.
7 But the development there is similar in that there are
8 four- and five-foot sand stringers developed over a
9 vertical interval of 100 feet or so.

10 Q. All right, let's turn to Exhibit 3, then, and
11 show the distribution of the main pay of those sand
12 stringers, if you will.

13 A. Okay, Exhibit 3, then, is an isopach map of the
14 gross sand thickness of the Morrow pay zone, and it
15 indicates that the subject well to be re-entered has about
16 18 feet of sand in it. And then if we can go due west over
17 to the well in the northeast quarter of the northwest of
18 12, that Williamson Fed well, we show that it has 14 feet.
19 And that well has made over 4 billion cubic feet of gas.

20 Q. So when you're looking for an opportunity for
21 Morrow gas production in the north half of Section 7, as
22 shown by the geologic information, a well location up in
23 the northeast-northeast of 7 represents the optimum
24 opportunity?

25 A. Yes, it does, to take advantage of that channel

1 development that you see there that thickens to 40 feet.

2 Q. If you were to move back to a standard location
3 in the pool, then it would put you at a substantially
4 lesser thickness of gross main pay Morrow sand?

5 A. Yes, it would thin to the west, that's correct.

6 Q. So it's an obvious candidate for re-entry. You
7 now have the log of the well that Terra drilled. Let's
8 look at that and show us what they did when they had
9 control of the wellbore.

10 A. A section of that log is shown as Exhibit 4, for
11 the Chevron 7 Federal Number 1 well, and this, on the left
12 side, is the gamma-ray/neutron density log, and then on the
13 right panel is the dual induction SFL log, and it shows the
14 interval from the top of the Atoka to the base of the
15 Morrow or the top of the Mississippian.

16 Q. So you've taken a portion of the log for this
17 well and have identified the interval in the Morrow and
18 perhaps in the Atoka that represent a re-entry possibility?

19 A. Yes, that's correct.

20 Q. Let's focus on that portion of the display, and
21 identify for us the color code that shows us the interval
22 that was drill stem tested by Terra Resources.

23 A. In late 1987, when Terra drilled the well, they
24 took two drill stem tests. And one of them, you can see,
25 was about an 85-foot interval, just above the 9000-foot

1 level. And they did not test the porosity development that
2 you see colored in red.

3 But the next DST after they made TD of 9300 did
4 include that interval, and that's the DST that is
5 encouraging to us in that there was gas to the surface too
6 small to measure, very low flowing pressures on the DST,
7 out a complete gas column of about 8500 feet of gas that
8 was in the test string, and they had excellent shut-in
9 pressures, near original pressure, had over 3000 pounds
10 shut-in bottomhole pressure.

11 Q. When you examine the data available to you from
12 'Terra Resources' efforts, including the scout ticket and
13 the information available on the two drill stem tests, can
14 you come to any conclusion about why they elected to
15 abandon the well, as opposed to attempt to run pipe and
16 perforate either the Atoka or the Morrow?

17 A. Yes, it's my opinion that the -- this was a
18 farmout from Chevron to Terra, and they were looking for
19 somewhat thicker sand development, and they were looking
20 for a flowing DST with gas to the surface at measurable
21 rates.

22 It's my opinion, based on the pressure buildup
23 data from the DST, that the well was damaged and fairly
24 tight reservoir rock. I've calculated --

25 Q. How did that damage occur?

1 A. Through mud invasion, filtrate invasion from the
2 mud.

3 Q. They drilled in such a way that they used too
4 heavy a mud concentration and may have infiltrated and
5 damaged the formation?

6 A. Either that or too -- not controlling the water
7 loss properly, too high a water loss.

8 Q. What's encouraging to you about the re-entry for
9 this well?

10 A. Well, we have about 10 or 12 feet of pay
11 indicated in red there in the Morrow that I believe will
12 make a commercial well, based on the comparable well to the
13 west a mile and a half, that Williamson Fed Com 1 in
14 Section 12.

15 And then we also have about four feet of
16 indicated porosity and separation on the neutron density
17 log in the Atoka, and with proper stimulation I think we
18 can make a commercial well.

19 Q. Even with a re-entry, Mr. Carnes, this is still a
20 significant risk for Matador, is it not?

21 A. Definite risk involved.

22 Q. Is the risk so high that Matador would be
23 precluded from drilling a new wellbore at a standard
24 location to test for this Morrow channel?

25 A. It would be difficult to justify the cost of a

1 new well, which is nearly \$500,000, versus what we'll see
2 in the next exhibit, under \$300,000 to re-enter.

3 Q. All right, let's look at that next exhibit. It's
4 Exhibit Number 5?

5 A. Yes, it is. That's an estimated cost to re-enter
6 this well, or an AFE, and it shows the dryhole cost to be
7 about \$99,000, and that would simply be to determine by
8 some open-hole test whether or not the well will be
9 productive.

10 The completion cost is about \$200,000, so the
11 total cost here is \$299,000 to re-enter.

12 I believe myself -- I didn't prepare this AFE; it
13 was done by the operations manager. He and I have
14 discussed it, and he's agreed that it's on the high side to
15 protect on his estimate. It ought to be done cheaper than
16 that.

17 Q. All right, let's turn to your economic
18 spreadsheet, Exhibit Number 6, and have you summarize for
19 us your reserve and economics when you plug in these costs.

20 A. Exhibit 6 is a projection of the production rates
21 and reserves for this well, both condensate and gas.

22 Q. You made your reserve estimate based upon some
23 volumetric calculation, I assume?

24 A. Yes, and it's based on about 160 acres
25 contributing. I think there may be more. It could be up

1 to 200 or even to 320, and that would give us more
2 reserves, but this is a little over 1.25 billion cubic feet
3 of gas that we anticipate the well to produce.

4 You'll note on there that the first few months in
5 1996 are monthly rates. And after that, they are annual
6 rates of production and revenue.

7 Q. What's your conclusion, then, about the
8 economics?

9 A. The economics look good, with the payout of that
10 \$299,000 in about a year, with a return on investment of
11 4.6 to 1, and the rate of return is in excess of 100
12 percent.

13 I should mention that the net gas production and
14 revenues here are to the Matador interest at the time that
15 this was done. They have since increased their interest
16 from 43 percent to 51 percent.

17 Q. In your opinion, Mr. Carnes, would approval of
18 this Application afford an opportunity to Matador and its
19 other working interest owners to recover gas out of the
20 Morrow that might not otherwise be produced?

21 A. Yes, it is.

22 Q. And by doing so, can we protect correlative
23 rights and prevent waste?

24 A. I believe we can.

25 MR. KELLAHIN: Exhibit Number 7, Mr. Examiner,

1 was provided to me by Matador. It's simply a re-survey of
2 the actual well location, and I utilized that location in
3 applying for approval to re-enter this well.

4 And then finally I want to distribute to you our
5 notification to the offsetting interest owners concerning
6 this re-entry.

7 For your information, the Exhibit 1 can be
8 compared to the notifications. We've provided notification
9 to the Bureau of Land Management in the northwest quarter
10 of Section 8. Exhibit 1 shows that to be an Exxon lease.
11 That lease has expired, and it has reverted to the BLM, and
12 it should be put up for lease again sometime in the future.
13 Notification was sent to UMC Petroleum Corporation, who is
14 the operator in the southwest quarter of Section 5, the
15 diagonal offset. And then finally, Section 6 is operated
16 by Matador, and that will complete the notification.

17 With your permission, Mr. Examiner, we would move
18 the introduction of Exhibits 1 through 7. Exhibit 8 should
19 be the certificate of mailing. Exhibits 1 through 8, if
20 you please.

21 EXAMINER STOGNER: Exhibits 1 through 8 will be
22 admitted into evidence.

23 EXAMINATION

24 BY EXAMINER STOGNER:

25 Q. Just some preliminary stuff. What is the present

1 total depth of this well?

2 A. 9300 feet.

3 Q. And do you propose to deepen it any more?

4 A. No, sir, we do not. We drilled -- Terra drilled
5 it into the Mississippi.

6 Q. That production casing was not ran at that time;
7 is that --

8 A. That's correct. I'm glad you brought that up,
9 because it is a clean well to re-enter. Production pipe
10 was never set or any pulled. And you do have the surface
11 and intermediate set and circulated, both of them. The
12 cement was circulated to surface on them.

13 Q. How was that well plugged? Do you know?

14 A. I've got a plugging report, and there are five
15 plugs in it, including the one at the surface. But a plug
16 was set to protect below the intermediate pipe. Let me get
17 ny --

18 MR. KELLAHIN: I've got it here, Lester.

19 THE WITNESS: Have you got that? Okay.

20 MR. KELLAHIN: Mr. Examiner, if it will help you
21 here's a copy of --

22 EXAMINER STOGNER: What I'll do is just take
23 administrative notice of the well file on file. We won't
24 need to make an --

25 THE WITNESS: Oh, okay.

1 EXAMINER STOGNER: -- exhibit or anything, but
2 just some preliminary stuff I wanted to get out of the way.

3 THE WITNESS: Right. There were, I guess -- It
4 looks like 100-foot plugs set in four downhole locations,
5 starting at the bottom, 8750 to 8850 --

6 MR. KELLAHIN: It should be on the last page of
7 that handout, Mr. Examiner.

8 THE WITNESS: -- and then 6775 to 6875, 3400 to
9 3500, and then the base of that 8 5/8 intermediate pipe,
10 1675 to 1775, and then there was a plug at the surface, 50-
11 foot plug. And nine-pound brine mud was left in the hole.

12 EXAMINER STOGNER: Okay. I really don't see that
13 it was necessary to bring this to hearing, but -- It could
14 have been done administratively.

15 MR. KELLAHIN: We recognize that, Mr. Examiner.

16 EXAMINER STOGNER: Okay, I just -- All right.

17 Well, with that, then, I don't have anything
18 further

19 MR. KELLAHIN: We anticipated we might have had
20 some opposition. That's why we chose to schedule for
21 hearing.

22 EXAMINER STOGNER: Okay.

23 MR. KELLAHIN: And the opposition did not
24 materialize.

25 EXAMINER STOGNER: Well, with that, I don't have


1 anything further in this matter.

2 And if there's nothing further, then I'll take
3 this case under advisement.

4 (Thereupon, these proceedings were concluded at
5 10:25 a.m.)

6 * * *

7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 11566,
heard by me on 16 July 1996.
 , Examiner
OH Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 14th, 1996.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998