


STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES
OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

APPLICATION OF FASKEN OIL AND RANCH,)
LTD., FOR CREATION OF A NEW OIL POOL)
WITH SPECIAL RULES, LEA COUNTY,)
NEW MEXICO)

CASE NO. 11,612

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 26th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, September 26th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

September 26th, 1996
 Examiner Hearing
 CASE NO. 11,612

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>DAVID H. BROWN</u> (Geological Engineer)	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Catanach	17
<u>CARL BROWN</u> (Engineer)	
Direct Examination by Mr. Kellahin	19
Examination by Examiner Catanach	35
REPORTER'S CERTIFICATE	40

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	17
Exhibit 2	13	17
Exhibit 3	15	17
Exhibit 4	16	17
Exhibit 5	20	34
Exhibit 6	22	34
Exhibit 7	25	34
Exhibit 8	27	34
Exhibit 9	29	34
Exhibit 10	31	34
Exhibit 11	33	34
Exhibit 12	16	34

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR KARL RESTINE, JAMES FIELDS and SHIRLEY WRIGHT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: TANYA M. TRUJILLO

* * *

1 WHEREUPON, the following proceedings were had at
2 8:16 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,612.

5 MR. CARROLL: Application of Fasken Oil and
6 Ranch, Limited, for creation of a new oil pool with special
7 rules, Lea County, New Mexico.

8 EXAMINER CATANACH: Are there appearances in this
9 case?

10 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
11 the Santa Fe law firm of Kellahin and Kellahin, appearing
12 on behalf of the Applicant, and I have two witnesses to be
13 sworn.

14 EXAMINER CATANACH: Are there any additional
15 appearances in this case?

16 MS. TRUJILLO: Mr. Examiner, I'm Tanya Trujillo
17 from Campbell, Carr, Berge and Sheridan, entering an
18 appearance today on behalf of Karl Restine, James Fields
19 and Shirley Wright.

20 We will not be presenting any witnesses today.

21 EXAMINER CATANACH: Any other appearances?

22 Okay, can I get the witnesses to stand to be
23 sworn in at this time?

24 (Thereupon, the witnesses were sworn.)

25 MR. KELLAHIN: Mr. Examiner, Fasken is seeking to

1 have the Division create a new Devonian oil pool and to
2 adopt special rules and regulations.

3 We have two witnesses to present. Mr. David
4 Brown is a petroleum geologist, Mr. Carl Brown is a
5 petroleum engineer.

6 We're requesting 80-acre oil spacing. You'll see
7 from the evidence that the discovery well, the Grande Well
8 Number 1, is at an unorthodox location if you adopt the
9 rules we're proposing, and we would ask that you
10 grandfather in the discovery well.

11 The proposal is to ask you to create a Devonian
12 pool consisting of the west half of the southwest quarter
13 of Section 3. The evidence will be that 80-acre spacing is
14 an appropriate initial starting point for the pool. We
15 would ask you that you also enter an order that precludes
16 the drilling and production of more than one well in an 80-
17 acre spacing unit.

18 In addition, we propose to follow the normal
19 convention for 80-acre oil pools, and that is, all well
20 locations would be within 150 feet of the center of either
21 of the 40-acre tracts in the spacing unit and that the gas-
22 oil ratio would be the statewide 2000 to 1. At this depth,
23 our special oil allowable would be 490 barrels a day under
24 the depth bracket rule. We do not propose any adjustment
25 in that.

1 In addition, we would ask that any well drilled,
2 completed and produced -- or recompleted to the Devonian
3 Pool within a mile of this boundary would be subject to
4 these rules.

5 You'll see from the evidence that the closest
6 Devonian pool is to the east of us. It in fact has a
7 boundary that is within a mile of the discovery well. It's
8 the Bronco-Siluro (Devonian) Pool. The pool to the east is
9 on statewide 40-acre spacing.

10 Our evidence will demonstrate that both from a
11 geologic perspective and based upon engineering
12 conclusions, in fact, the discovery well is separate and
13 distinct from any other Devonian pool. That's what we're
14 asking you to do.

15 DAVID H. BROWN,

16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Brown, for the record, sir, would you please
21 state your name and occupation?

22 A. My name is David Brown. I'm a geological
23 engineer.

24 Q. Mr. Brown, on prior occasions have you qualified
25 and testified as a geologic expert before the Oil

1 Conservation Division?

2 A. Yes, I have.

3 Q. Have you been involved as a geologist with
4 regards to Fasken's Grande Well Number 1, located in
5 Section 3 of 13 South, 38 East, Lea County, New Mexico?

6 A. Yes, I have.

7 Q. What has been your involvement?

8 A. I worked up the -- part of the seismic data --
9 this was shot with a 3-D seismic survey -- and took the
10 seismic data into a structure map.

11 Q. You were involved, then, in the location of the
12 discovery well?

13 A. Yes, sir, I was.

14 Q. And you now have data from the discovery well,
15 including log information, to analyze?

16 A. That's correct.

17 MR. KELLAHIN: We tender Mr. Brown as an expert
18 petroleum geologist.

19 EXAMINER CATANACH: Mr. Brown is so qualified.

20 Q. (By Mr. Kellahin) Mr. Brown, let's turn to the
21 first display, which is your Devonian structure map.

22 Before I ask you some conclusions and opinions
23 that you now hold, let's take a moment and simply have you
24 describe for us the coding and the indexing of the map so
25 we understand what we're looking at.

1 A. Exhibit 1 is a structure map, subsurface
2 structure map, on the top of the Devonian formation. The
3 contours are in a 25-foot contour interval, and the color
4 codes are subsea depths, with the hotter colors, red, being
5 high, and the deep blues being structurally lower than the
6 surrounding areas.

7 Q. When we look at the black dots, the symbols for
8 wells, are they confined to wells that have penetrated the
9 Devonian?

10 A. In general, the wells that have penetrated the
11 Devonian have a subsea number under them of Devonian
12 subsea. There are some Wolfcamp wells, especially off the
13 flanks, that don't have subsea numbers.

14 Q. So the well symbols in here are not exclusively
15 Devonian tests?

16 A. That's correct.

17 Q. And to distinguish a Devonian test, then, we look
18 at the subsea number next to the well symbol?

19 A. That's right. There may be one or two that are
20 missing, that didn't have information on them. But for the
21 most part, all the information I had available is
22 represented by the subsea numbers, and those are Devonian
23 penetrations.

24 Q. When we look over in the center of the display,
25 you have outlined an area where we're seeing sections, are

1 we not?

2 A. That's correct.

3 Q. When I look in Section 3, in the southwest
4 quarter of Section 3, there's an area identified as being
5 the beginning point of a cross-section. It says A, and
6 there's a well symbol.

7 A. That's correct.

8 Q. What does that represent, sir?

9 A. That is a cross-section, A-A', that begins at the
10 letter A, at the discovery well, the Fasken Grande Number
11 1.

12 Q. Give us a summary of how you as a geologist
13 interpret the Devonian feature from which the discovery
14 well produces.

15 A. This Devonian feature was discovered from a 3-D
16 seismic shoot, the outline of which is detailed in this
17 blue outline. It covers about two and a half, nearly three
18 sections.

19 We looked at the seismic and mapped the top of
20 the Devonian and noticed that this structure popped up at
21 this location very distinct from the Bronco field and, in
22 fact, distinct from any other place in the survey. It was
23 bounded, especially to the south and the east, by some very
24 steeply dipping rock that dipped very steeply to the east
25 and to the south, down into the deeper part, which is

1 colored blue.

2 We have -- This map was created by integrating
3 the seismic data all the way to the edge of the blue
4 outline where our 3-D seismic stopped, and then from there
5 we picked up the rest of the data from subsurface well
6 logs.

7 Q. When we look at the display and move west of the
8 discovery well, there's a dryhole symbol in the southeast
9 quarter of Section 4. What does that represent?

10 A. That represents a dryhole that was not drilled
11 deep enough. That's the reason it does not have a top on
12 it. It did not penetrate the Devonian.

13 Q. Okay, let's move to the eastern portion of the
14 display and look in the area where we have the hot red
15 color. Generally in that area, what particular pool are we
16 identifying when we look at the Devonian production?

17 A. That's the Bronco-Siluro (Devonian) Pool, and
18 it's -- generally the wells that produce are in this red
19 area. You start going off into the yellows, and especially
20 in the greens, and Devonian wells that were drilled that
21 deep were wet.

22 Q. What's the general vintage of the wells in the
23 Bronco-Siluro (Devonian) Pool?

24 A. Generally in the Fifties to early Sixties. It's
25 a very old pool.

1 Q. Describe for us how you as a geologist have
2 concluded that your discovery well, in fact, is in a
3 separate reservoir from any of the other Devonian wells
4 producing in this vicinity.

5 A. We have two main pieces of information that point
6 to that. One is the structural elevations that occur
7 through here. This north-south-trending low that goes
8 between the two fields is supported both by seismic and by
9 a well in Section 10 where the cross-section takes a bend.
10 That was a dry hole that did penetrate the Devonian, which
11 is significantly lower than either field, either discovery
12 well. So it establishes by subsurface control, and
13 actually a wellbore, where that deep ravine is between the
14 two fields.

15 Q. When we look at the well in the southeast quarter
16 of 10, did that well actually encounter the Devonian
17 reservoir?

18 A. That well did encounter the Devonian reservoir.
19 It was tested 100-percent water, formation water.

20 Q. What then causes the separation between your
21 discovery pool and the Bronco-Siluro (Devonian) Pool?

22 A. The main separation is because of structure.
23 There's a deep structural ravine between the two.

24 Q. Is there a water component to the reservoir?

25 A. There appears to be a water component. If you

1 drill too deep and it's too deep structurally, it will be
2 wet.

3 One interesting thing to note is, in the Bronco
4 Pool, if you were to drill in the green-shaded contour
5 elevation, you would have been wet. Our discovery is in
6 the green contour, and it DST'd 100-percent oil.

7 Q. Take a moment and illustrate that point for me.
8 If I'm in the Bronco-Siluro (Devonian) Pool and I'm moving
9 to the west, how deep can I go before I am into the water?

10 A. Basically, as soon as you start losing the red,
11 at about 8000 feet, thereabouts, you start getting into
12 some -- into water.

13 Q. And so over at your discovery, you're an
14 additional 356 feet deeper than that elevation, and you
15 were successful in obtaining oil production?

16 A. That's correct.

17 Q. What does that tell you?

18 A. That tells me it's a different pool. If it was a
19 connected pool, the oil would seek the equivalent level and
20 we would be -- we would have encountered 100-percent water.

21 Q. When we look over at the Fasken discovery pool,
22 describe for us the character of the reservoir. What are
23 we looking at?

24 A. The reservoir is steeply bounded on the sides,
25 and the rock itself is a dolomite. It's vuggy in nature

1 and very well connected vugs. We have a slight limestone
2 cap, a dirty limestone cap, of 20 to 30 feet, and then we
3 go into good quality dolomite, which is the reservoir.

4 Q. Where is the porosity within the dolomite, then,
5 for the discovery reservoir?

6 A. If you turn to your cross-section, Exhibit 2, the
7 discovery well is on the left-hand side and the
8 perforations are marked in red. The top of the Devonian is
9 that bold line.

10 And about -- It's about 28 feet, 27 feet into the
11 Devonian before you get to the good dolomite reservoir.
12 And in the Bronco field that varies anywhere from, at the
13 very top, to 50, sometimes even 75 to 100 feet into it,
14 before you get to the dolomite. So there is a limestone
15 cap that goes through there before you get the good, vuggy
16 dolomite.

17 Q. Continue to illustrate the other points on
18 Exhibit Number 2, then, as you move from left to right.

19 A. As you move from the discovery well, which is a
20 small closure, you move off to the east into that subsea
21 ravine that was tested by Midwest Oil Corp., the Townsend
22 Number 1 in Section 10.

23 Q. There's a drill stem test noted on that --

24 A. That's right, on the right-hand side of the log,
25 it may be difficult to read, but there was a drill stem

1 test. They penetrated the top five or ten feet of
2 Devonian, which was kind of a traditional completion
3 practice back then, and they ran a DST and got over 1000
4 feet of salt water, which -- They encountered good quality
5 reservoir, but it was entirely wet, with no show of oil.

6 Q. In your opinion, was that an appropriate test of
7 the reservoir at this location?

8 A. That was a very appropriate test at this
9 location.

10 Q. The failure to produce is not attributable to
11 some problem in the wellbore?

12 A. No, sir, it was a good mechanical test, and the
13 failure to produce was simply because they were too low
14 structurally out of the oil column.

15 Q. Let's move over to the Ward 3, which is the
16 Amerada Petroleum Corporation well on the right.

17 A. As you go off to Section 10, you go back up into
18 a major structural element that runs pretty much the length
19 of the State Line Bronco, and then up to the northern part
20 of Section 2. The Ward Number 3, there's nothing special
21 about that well. It's just a type log to illustrate the
22 Bronco-Siluro (Devonian) field. Its Devonian top, as
23 illustrated by that bold line, Devonian formation, is
24 significantly higher than the discovery well, and it has a
25 very thick oil column, you know, well over 200 feet in some

1 places.

2 Q. All right, sir. Let's turn your attention to the
3 type log, which is Exhibit Number 3.

4 A. This is the well of the discovery, the Grande
5 Number 1, drilled by Fasken. It's a large-scale log of
6 just the Devonian section. The top of the Devonian is
7 marked just underneath the base of the Woodford there.
8 This shows a little bit better the dirty limestone cap up
9 above that is not porous.

10 We drilled through that cap, and as soon as we
11 saw a drilling break indicating porosity, we drilled
12 about -- oh, ten feet, 12 feet of it, and called a DST.

13 Q. Describe the relationship between the test
14 interval on the DST and the perforated interval.

15 A. We tested on log depth down to about 12,226.
16 After the DST, which recovered oil, we drilled on down to
17 see if there were any other zones of interest. We set pipe
18 and then we ended up perforating from 12,210 to 12,228,
19 which is two feet below the DST interval.

20 Q. Based upon your geologic interpretation, Mr.
21 Brown, are you able to conclude as an expert witness that
22 in fact this well constitutes a new discovery separate and
23 distinct from any known producing Devonian pool in the
24 vicinity?

25 A. Yes, I am.

1 Q. Now, let's turn your attention and have you
2 identify for the record Exhibit Number 4.

3 A. Exhibit Number 4 was a -- is a land map outlining
4 Fasken's land holding that was given to me by our land
5 department.

6 MR. KELLAHIN: Mr. Examiner, you'll find in your
7 package of exhibits that at the end of the exhibit package,
8 the last one is marked Exhibit 12. That is our certificate
9 of notification.

10 Pursuant to Division rules, we sent notice to all
11 interest owners within the 80-acre proposed spacing unit
12 for the new pool.

13 In addition, there were no operators within a
14 mile, but we chose to notify all those 40-acre offsets to
15 our 80-acre spacing unit, and there were some unleased
16 mineral owners involved. So Ms. Trujillo's clients are
17 among the group, then, of mineral owners that are adjacent
18 to this boundary. So we went ahead and notified all those
19 people.

20 I am not aware of any objection from any of the
21 parties notified.

22 That concludes my examination of Mr. Brown, Mr.
23 Examiner.

24 We would move the introduction of Exhibits 1
25 through 4.

1 EXAMINER CATANACH: Exhibits 1 through 4 will be
2 admitted as evidence.

3 Ms. Trujillo, do you have any questions?

4 MS. TRUJILLO: I don't have any questions.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 Q. Mr. Brown, do you know what the extent of this
8 reservoir might be?

9 A. I believe the extent can be demonstrated close to
10 where this -- the green turns to blue. That seems to be
11 where the structural closure is, and production is
12 controlled by the structural closure.

13 So our best estimate is, it's the boundary,
14 probably illustrated best by the green, although we're not
15 exactly sure where the oil-water contact is. If it's no
16 more than 30 or 40 feet, it would not be that extensive.

17 Q. Do you believe that this -- Well, I don't know if
18 you want to get into drainage, but does Fasken plan on
19 drilling another well in this structure?

20 A. Fasken does not plan on drilling another well.
21 We believe we can drain the structure with one well
22 economically.

23 Q. Is the well in the southeast quarter of 10,
24 that's the only test between your well and the Bronco
25 field?

1 A. That's correct. There are some wells off in
2 Section 15 to the south, on the Bronco, where they came off
3 the structure, that were recompleted in the Wolfcamp, I
4 believe, but they were not productive in the Bronco field
5 itself.

6 But the main separation is that well in the
7 southeast of Section 10.

8 Q. Okay. And the Bronco field goes up north into
9 Section 2 and then north from there?

10 A. I believe the northern extent is into the north
11 part of Section 2, and then a little bit into the next
12 section to the north, and that's probably the farthest
13 northern extent.

14 MR. KELLAHIN: Mr. Examiner, if it will help you,
15 I have the *Byram's* printout of that acreage, and I have
16 sketched it on a plat so that you could see the boundary.

17 EXAMINER CATANACH: Okay.

18 MR. KELLAHIN: The check marks represent the
19 Bronco field.

20 EXAMINER CATANACH: Okay, thanks Tom.

21 Q. (By Examiner Catanach) The Bronco Pool, you
22 said, is Fifties and Sixties vintage. Is that pool pretty
23 well depleted by now?

24 A. Yes, sir.

25 Q. Are there still any wells producing from there?

1 A. Yes, there are. I think at the very top the
2 wells are still producing.

3 Q. Did you guys look at pressure information?

4 A. In the Bronco Pool?

5 Q. And in the new -- in your new pool?

6 A. In the DST analysis, Mr. Brown, can speak to that
7 more further, but we did compare pressures, mostly initial
8 pressures, of the Bronco. We don't have any modern data of
9 the Bronco field.

10 EXAMINER CATANACH: Okay, I have nothing further
11 of the witness. You may be excused.

12 MR. KELLAHIN: Carl?

13 CARL BROWN,

14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Will you please state your name and occupation?

19 A. My name is Carl Brown. I'm a petroleum engineer
20 for Fasken Oil and Ranch, Limited, Midland, Texas.

21 Q. On prior occasions, Mr. Brown, have you qualified
22 as an expert petroleum engineer before the Division?

23 A. No, not --

24 Q. All right, summarize for us your education.

25 A. I earned a bachelor in science degree in

1 petroleum engineering from Texas Tech University in
2 December, 1977.

3 Q. Summarize for us your employment experience.

4 A. I began my initial employment with Sun Oil
5 Company and then an independent oil company in Midland with
6 Mabee Petroleum, and I've been eight years now with Fasken
7 Oil.

8 Q. Were you involved with Mr. David Brown in this
9 discovery well?

10 A. Yes.

11 Q. What was your involvement?

12 A. My main involvement was log analysis, getting the
13 logs run and analyzing the drill stem test data.

14 Q. So you've been involved in this well from its
15 inception?

16 A. Yes.

17 MR. KELLAHIN: We tender Mr. Brown as an expert
18 petroleum engineer.

19 EXAMINER CATANACH: Mr. Brown is so qualified.

20 Q. (By Mr. Kellahin) Let's start with the
21 production data and see where we go from there, Mr. Brown.
22 If you'll start with Exhibit 5, describe for us what we're
23 looking at.

24 A. Exhibit 5 is a tabulation of our production
25 history, beginning August 29th, through September 24th, and

1 I have there daily oil rates, water rates and flowing
2 tubing pressures.

3 And you can see that the first 11 or 12 days we
4 flowed water-free, and we started cutting a little bit of
5 water, starting our flowing tubing pressure reducing. We
6 initially started the well flowing around 200 barrels a
7 day, a conservative rate, knowing that this is a fractured
8 reservoir, and we weren't sure whether we'd have a
9 sufficient barrier between water below us. We just wanted
10 to start slow.

11 Q. Do you have enough data at this point to have an
12 engineering opinion concerning the drive mechanism of this
13 reservoir?

14 A. Yes, I believe it's a water drive, strong water
15 drive, similar to the Bronco (Devonian).

16 Q. Would that be unique for Devonian reservoirs, to
17 be water-drive reservoirs?

18 A. I think it would be typical of Devonian
19 reservoirs.

20 Q. Okay. With this production information, did you
21 attempt to investigate the rate at which this well would
22 respond to drawdown and recover its ability to produce oil?

23 A. Yes, based on the drill stem tests, basically we
24 got a high rate, and I will go into that.

25 Q. Were you able to utilize drill stem tests and

1 engineering methodology to come to some opinion with
2 regards to the area affected by this well?

3 A. Yes, drill stem test analysis showed that the
4 radius of investigation of the test was in excess of 1400
5 feet, and --

6 Q. When you do the math using that radius, what kind
7 of area are you affecting with this discovery well?

8 A. Well, that calculates out to 143 acres. Whether
9 there's a boundary that -- It didn't seem to indicate a
10 boundary on the drill stem test data, but --

11 Q. At least initial data has caused you to conclude
12 that 40-acre spacing would be much too dense?

13 A. Yes.

14 Q. All right. And are you proposing, based upon
15 your conclusions, that the Division approve 80-acre spacing
16 for the pool?

17 A. Yes, I am.

18 Q. Do you have a recommendation concerning the
19 number of wells to be drilled within an 80-acre-spaced
20 unit?

21 A. I recommend one well per 80-acre spacing unit.

22 Q. Okay, let's turn to Exhibit 6, and describe for
23 us what you've done with the drill stem test data.

24 A. Exhibit 6 is a plot of our drill stem test data.
25 It's like the drill stem test chart that you would get out

1 of the test tool. And we have pressure on the left and
2 time in hours on the X axis, and it's your typical drill
3 stem test chart.

4 Q. Are you satisfied that the hours for the test
5 were adequate in order to derive sufficient data from which
6 you could conduct your analysis?

7 A. Yes, that's sufficient time for buildup analysis,
8 yes.

9 Q. Did you find any problems or mistakes with
10 regards to the actual test?

11 A. No, it was a good mechanical test.

12 Q. All right. Describe for us what you've done
13 here.

14 A. Just plotted the pressure data from the
15 electronic gauge that we had in the hole.

16 Q. In the fifth hour, then, what's occurring here?

17 A. In the fifth hour was our initial flowing period
18 for a five-minute flow period. Then we shut in for an
19 hour, for the initial shut-in pressure.

20 Q. And your initial shut-in pressure is what? The
21 4500 pounds?

22 A. About 4500, 4513.

23 Q. And you've shut it in for -- it looks like an
24 hour or so?

25 A. Yes.

1 Q. And then what happens?

2 A. Then we opened for the final flow period, about
3 3.6 hours, and --

4 Q. And the plot goes --

5 A. -- increases in pressure as the oil was filling
6 in the drill pipe.

7 Q. All right. So we have an inclining slope in
8 about the seventh hour up to the tenth hour?

9 A. Yes.

10 Q. And what does that indicate to you?

11 A. We were getting recovery in the pipe of reservoir
12 fluid.

13 Q. After the drawdown, then, the reservoir is giving
14 up fluids to the wellbore and it continues to build up
15 towards the pressure it had at the 4500 pounds when it was
16 shut in?

17 A. After we shut it in, yes, it built very quickly
18 to the 4500 pounds, and -- indicating no depletion from the
19 initial flow to the final flow.

20 Q. All right. In the tenth hour, approximately in
21 the tenth hour, then, you're shutting in the well?

22 A. Yes.

23 Q. And it almost instantaneously goes back up to the
24 pressure you had in the original shut-in period?

25 A. Yes, very quickly.

1 Q. What does that tell you?

2 A. That tells me that there's a very good
3 permeability in the formation.

4 Q. Okay, what happens then after the tenth hour of
5 the test, all the way up through about -- what, the 17th
6 hour?

7 A. Well, generally the rule of thumb is to leave the
8 well shut in for at least twice as long as your flow
9 period, to ensure that you can analyze the data properly.

10 Q. What happens if that's not a flat line after the
11 tenth hour? Does that give you a problem?

12 A. Well the -- In analyzing the final pressures, if
13 it's substantially less than the initial pressure, you've
14 got a problem of depletion, possibly, in a small reservoir.
15 But we did not see that.

16 Q. Okay. What then did you do, Mr. Brown?

17 A. Then we took this information, the buildup data,
18 and applied a pressure transient analysis to it.

19 Q. Let's look at Exhibit Number 7 and see what you
20 have analyzed.

21 A. This is a Horner plot of our final buildup
22 pressure data, and --

23 Q. Help us interpret the plot.

24 A. Okay. The -- Of course, pressure transient
25 analysis is a study of the relationships between the

1 pressure rate and reservoir rock and fluid properties, and
2 after a flow-rate change in a reservoir, like the DST we
3 did, a plot of the pressure buildup versus a logarithm of
4 time will yield a straight line before any boundary effects
5 influence the pressure data.

6 And that slope of that straight line is
7 indirectly proportional to the permeability of the
8 reservoir.

9 Q. Once you've analyzed the buildup -- the DST test
10 information, constructed your Horner plot, then you're able
11 to use that as one of your points of information, if you
12 will, in the subsequent calculation, to come up with the
13 permeability, and then you can further calculate and
14 determine how far out into this reservoir you have
15 investigated with this test?

16 A. That's right.

17 Q. Okay. What you're doing is to see where you find
18 the nearest potential boundary in the reservoir?

19 A. Yes.

20 Q. All right. Let's see what you've done, then,
21 with Exhibit Number 8.

22 A. Back on Exhibit 7, I wanted to indicate that the
23 dashed blue line is our straight line, and that is the line
24 that we use to calculate the slope for the Horner analysis.

25 Extrapolating that blue line, dashed blue line,

1 would be our reservoir pressure. Extrapolating to the far
2 right where a Horner time of one -- that's infinite time,
3 basically -- we have a reservoir pressure of 4513 p.s.i.

4 Q. So we're getting two values off the Horner plot,
5 are we not? You're getting your extrapolated pressure, the
6 4513, and then you're getting your Horner slope?

7 A. And the slope, yes.

8 Q. All right. Now, let's go to Exhibit 8, and show
9 me the other components of the calculation.

10 A. Okay, the flow rate is calculated from the
11 recovery from the drill stem test, and it was 100 percent
12 oil at a rate of 534 barrels a day. That was a flow time
13 of 3.6 hours.

14 The oil was a 47-degree gravity with a GOR of 150
15 to 1 or less. And using that as -- for standings
16 correlations, we got a formation volume factor of 1.17, a
17 viscosity of about .6 centipoise, and log analysis showed a
18 porosity of 5 percent, and then total compressibility there
19 of 12 times 10^{-6} , and the drill stem test tested an
20 interval of formation thickness of 16 feet.

21 And applying those parameters to the equation for
22 permeability from the Horner analysis, I've calculated 236
23 millidarcies for average perm.

24 Q. Give us a sense of what that value means when you
25 look at permeability. What does 263 millidarcies mean?

1 A. 236.

2 Q. I'm sorry, 236.

3 A. That's an excellent permeability. Typically in
4 the Permian Basin, we work with reservoirs, you know, less
5 than 10 millidarcies on a regular basis. So this is
6 excellent deliverability.

7 Q. It's a huge number, isn't it?

8 A. Yes.

9 Q. All right. Once you have your permeability
10 value, finish the rest of the calculation for us.

11 A. Well, you can calculate, then, a radius of
12 investigation from the wellbore using that permeability,
13 the producing time, porosity, viscosity and the
14 compressibility. And that calculates to 1409 feet of
15 distance away. So in 3.6 hours the pressure disturbance
16 that we caused from our test reached out that far.

17 Q. And you know that it has -- not only does it have
18 great permeability, the reservoir has the capacity in a
19 very short period of time to give up large volumes of
20 fluids?

21 A. Yes.

22 Q. Have you -- For an 80-acre pool, what would be
23 the radius of a circle that contains 80 acres?

24 A. Eighty acres would be 1053 feet. So the
25 investigation was beyond the 80-acre drainage radius.

1 Q. Okay. And your calculation shows slightly over
2 1400 feet?

3 A. Yes.

4 Q. Let's turn to Exhibit Number 9, Mr. Brown, and
5 have you identify and describe what this display shows.

6 A. This is a Vogel curve of inflow performance
7 relationship. It's a plot of productivity index.

8 I'd like to direct your attention to the right
9 side. We have oil rate from zero to 1000 on the scale, and
10 on the X axis we have drawdown pressure. It's backwards,
11 actually, from -- It goes from the far right, zero, to 4500
12 p.s.i. drawdown.

13 The triangle point is the DST rate, and it was --
14 the drawdown pressure during the test was around 1900
15 p.s.i., indicating some possible skin damage or flow
16 restriction. I believe it was more a mechanical downhole
17 choke restriction.

18 Q. What's the purpose of a Vogel curve? What do you
19 use this for?

20 A. Okay, this is a -- It's just a productivity index
21 plot, barrels per day per p.s.i. drawdown. And then it's
22 an estimate of the total deliverability, ultimate
23 deliverability of a well.

24 Q. It would appear for a small drawdown in the
25 reservoir, you're able to be successful in producing large

1 volumes of fluid?

2 A. Yes, after we set pipe, did perforations, added a
3 little bit of -- 200 gallons of acid, I have there the --
4 the round -- they're circled to the far right, at about 190
5 barrels a day and a drawdown of less than 100 p.s.i. is a
6 calculated point, calculated to bottomhole pressure from
7 the surface flowing pressure. And the well will deliver a
8 high rate with a very small change in reservoir -- or
9 drawdown. So it's got a very good deliverability.

10 Q. Have you operated the well long enough now to
11 have a sense of whether or not the depth bracket oil
12 allowable of 490 barrels a day gives you adequate
13 operational flexibility to produce this well at its most
14 efficient rate?

15 A. Yes, the well will deliver a 490-barrel-a-day
16 rate.

17 Q. You as an operator may choose not to produce it
18 that fast, but --

19 A. That's right.

20 Q. -- you don't need any extra allowable at this
21 point?

22 A. That's correct.

23 Q. All right. Let's look at your analysis of what
24 you anticipate to be the recoverable oil to be produced by
25 this well.

1 If you'll direct your attention to Exhibit 10,
2 let's look at your analysis. You've chosen to use a
3 volumetric methodology to determine the recoverable oil
4 from this well?

5 A. Yes, I've -- from the log analysis, I've
6 calculated then a volumetric estimated ultimate recovery.
7 The log analysis gave me data of 5-percent porosity, a
8 perforated formation thickness of 18 feet, water saturation
9 of 40 percent, a formation volume factor once again at
10 1.17, and a recovery factor of 35 percent.

11 Q. Describe for me why you've chosen 35 percent as
12 your recovery factor.

13 A. Typically, we see in strong water drive
14 reservoirs a recovery in the range of 25 to 45 percent, of
15 oil in place, and a 35-percent recovery factor is a
16 reasonable estimate of potential recovery from a water-
17 drive reservoir.

18 Q. All right, finish the calculation, if you use
19 those parameters.

20 A. Okay, I've applied and calculated the recovery
21 per acre to be 1250 barrels, stock tank barrels per acre.
22 And then applying that to either 40 acres or 80 acres, I
23 have an estimated ultimate recovery on 40 acres of 50,000
24 barrels, and on 80 acres of 100,000 barrels.

25 Q. Now, you as a reservoir engineer are going to

1 have to make some engineering judgments about a decline
2 rate for your discovery well, are you not?

3 A. That's correct.

4 Q. In order to come up with the recoverable gas --
5 the recoverable oil for 40 acres, you're going to have to
6 presume a slope of decline for the well, because we don't
7 have one yet?

8 A. That's right, it's early in the life of the well.

9 Q. What did you presume to be the slope of decline?

10 A. Well, given a 50,000-barrel recovery, at a rate
11 of around 120 barrels a day, declining to a 10-barrel-a-day
12 economic limit, that's about a 60-percent-per-year decline
13 rate. And on 80-acre spacing, or the 100,000 barrels, that
14 decline rate would be less. It would be about 35 percent.

15 In other words, if you have two wells in the
16 reservoir competing against one another, they would decline
17 at a steeper rate than one well by itself draining a larger
18 area.

19 Q. In your opinion, are both those values reasonable
20 and probable with regards to this pool and this well?

21 A. I think they're -- Yes, I think they're
22 reasonable decline rates. Thirty-five percent decline rate
23 is probably a steep estimate, and it may do better than
24 that or shallower than that.

25 Q. All right. Now that you've got your recoverable

1 oil, have you compared that to the cost of obtaining this
2 level of recovery?

3 A. Yes, I've done an economic comparison.

4 Q. All right, let's look at Exhibit 11, and turn
5 your attention to the economic comparison.

6 A. Okay, I've scheduled future oil production, based
7 on the previous decline rates that we talked about, and
8 applied the investment of \$842,500, which is our AFE
9 amount, estimated some revenue, future revenue and
10 expenses.

11 And for 40-acre spacing at 50,000 barrels of
12 ultimate recovery I have an uneconomic well.

13 And on 80-acre spacing for 100,000-barrel
14 recovery, I do show at the end of the life a profit.

15 Q. In your opinion, would it be wasteful to attempt
16 to develop this pool on 40-acre spacing?

17 A. Yes, I think we'd have uneconomic production.

18 Q. And at least at 80-acre spacing you could make
19 the investment and show a cumulative profit over time?

20 A. That's correct.

21 Q. So you would not recommend spacing less than one
22 well per 80 acres?

23 A. That's correct.

24 Q. How does your engineering analysis compare to our
25 conflict with Mr. David Brown's geology?

1 A. I think it agrees very well with the geology, as
2 far as the potential reservoir area that's there. It's
3 small and can be drained sufficiently and economically with
4 one well.

5 Q. His seismic and log data from the discovery well
6 infers a certain size to the reservoir which, based upon
7 your analysis, appears to be probable? In other words,
8 you've shown a radius of investigation of 1400 feet, give
9 or take, and that is sufficient to be contained within the
10 container he's described geologically?

11 A. That's correct.

12 Q. So you're not inconsistent? In fact, you're in
13 agreement?

14 A. Yeah, I think we're in agreement, yes.

15 MR. KELLAHIN: All right.

16 That concludes my examination of Mr. Brown.

17 We move the introduction of his Exhibits 5
18 through 11, and then our final exhibit is the certificate
19 of notice, which is Exhibit 12.

20 We would seek to introduce all those exhibits at
21 this time.

22 EXAMINER CATANACH: Exhibits 5 through 11 and
23 Exhibit 12 will be admitted as evidence.

24 Any questions?

25 MS. TRUJILLO: I have no questions.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER CATANACH:

Q. Mr. Brown, what -- You say the well is capable of production in excess of 490 barrels per day at this point?

A. Drill stem tests recovered 534-barrel-a-day rate. We have not produced it at that. We've chose to produce at 200-barrel-a-day rate initially, flowing.

I believe that the Vogel curve, the inflow performance relationship, currently shows a very high productivity index. In other words, a small change in drawdown is a very large change in rate.

And it -- Before it started making water, it probably could produce in excess of 500 barrels a day, but we didn't want to cause some water production that we might could avoid.

Q. So you've been producing the well at -- you've been producing it choked back so it's not --

A. Yes, we did choke it back quite a lot to keep it at 200 barrels a day initially.

We did run a production log to try to see where the water's coming from, and it may be from below us. Whether it's through the fractures around and up into the bottom perforations, we're not -- or behind the cement, we're not positive at this time.

But when we put it on the -- We can put it on rod

1 pump, artificial lift, and it will provide in excess of a
2 500-barrel-a-day total fluid rate. That would be water and
3 oil.

4 Q. Do you know when that might be?

5 A. It looks like it's going to be pretty soon.

6 We're dropping our flowing tubing pressure rapidly, because
7 our water is building up and the well can't sustain that
8 water gradient and still flow.

9 Q. So is it your opinion that your radius of
10 investigation -- would that correspond to an area that you
11 think the well would drain?

12 A. Assuming that 16 feet of high reservoir thickness
13 and that permeability extends that far, to 1400 feet, yes,
14 it could drain that, very easily and economically.

15 Q. So it's your opinion this well will drain or will
16 recover in excess of 100,000 barrels?

17 A. Yes, to the extent of the data I have at this
18 point, yes.

19 Q. To really get a feel for it, you would have to
20 have some production history and a decline curve to --

21 A. Exactly, we'll need to see how it does on
22 artificial lift, basically.

23 Q. What is the recovery factor in the Bronco field?
24 Do you know?

25 A. I did not do a calculation on that. I do know of

1 similar fields and testimony in 1993, the North Jenkins-
2 Devonian field, there was some work presented, four
3 different -- or three different fields in that area were
4 calculated to be in excess of 40-percent recovery factors.
5 So I think 35 percent is a reasonable estimate at this
6 time.

7 Q. Mr. Brown, do you know the status of the 80-
8 acre -- The proposed 80-acre proration unit is going to be
9 the west half of the southwest quarter; is that correct?

10 A. That's correct.

11 Q. Is that a single lease, a common ownership?

12 A. Yes, the southwest quarter is a common lease.

13 Q. The whole southwest quarter?

14 A. That's right.

15 Q. Okay. Over in the southeast quarter of Section
16 4, that's a different lease, though, isn't it?

17 A. Yes, it is.

18 Q. Those are all fee leases, or --

19 A. Yeah, I believe they are, yes.

20 Q. Do you think that the Grande Well Number 1 will
21 drain a portion of that southeast quarter?

22 A. Of Section 4?

23 Q. Yes, sir.

24 A. If the reservoir is not below water over there on
25 that side. The drill stem test didn't indicate possible

1 boundary, but -- If there is some reservoir over there, it
2 will drain it, yes.

3 Q. And this is the only well that Fasken proposed to
4 drill on this structure?

5 A. At this time.

6 Q. Is the discovery allowable, is that something
7 that -- you're asking for; is that something that you need?

8 A. Right now it's just a yardstick allowable. The
9 well could --

10 Q. Okay.

11 A. -- is capable of producing that amount of
12 production.

13 Q. Okay. The -- I guess I'm a little confused.
14 You're not asking for like a bonus-type discovery
15 allowable?

16 MR. KELLAHIN: It may be in the Application, Mr.
17 Examiner, because I always ask for it, and I don't presume
18 to know how Mr. Brown is going to produce the well. If he
19 believes that in the foreseeable future he will not need
20 the bonus from the discovery allowable, then it's probably
21 not necessary.

22 EXAMINER CATANACH: Okay.

23 Q. (By Examiner Catanach) Mr. Brown, we generally
24 promulgate rules for a temporary period. Are you guys
25 prepared to come back in with some more evidence when you

1 have that?

2 A. Yes, we could.

3 Q. Would you recommend 18 months to be a sufficient
4 time period?

5 A. I think 18 months would be sufficient to
6 determine how it will produce, yes.

7 EXAMINER CATANACH: Okay, I have nothing further
8 of the witness, Mr. Kellahin.

9 MR. KELLAHIN: That completes our case, Mr.
10 Examiner.

11 EXAMINER CATANACH: All right, there being
12 nothing further in this case, Case 11,612 will be taken
13 under advisement.

14 (Thereupon, these proceedings were concluded at
15 9:13 a.m.)

16 * * *

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 11612,
heard by me on Sept 26 1986.

David R. Catanach, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 5th, 1996.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998