

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: ) CASE NO. 11,697  
)  
APPLICATION OF MALLON OIL COMPANY FOR )  
THE ESTABLISHMENT OF A DOWNHOLE ) ORIGINAL  
COMMINGLING REFERENCE CASE PURSUANT TO )  
DIVISION RULE 303.E AND THE ADOPTION OF )  
ADMINISTRATIVE RULES THEREFOR, SANDOVAL )  
COUNTY, NEW MEXICO )  
)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

January 9th, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, January 9th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

January 9th, 1997  
 Examiner Hearing  
 CASE NO. 11,697

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>GEORGE CORYELL</u> (Geologist)	
Direct Examination by Mr. Bruce	6
Examination by Examiner Stogner	12
<u>RAY E. JONES</u> (Engineer)	
Direct Examination by Mr. Bruce	17
Examination by Examiner Stogner	27
<u>RANDY STALCUP</u> (Landman)	
Direct Examination by Mr. Bruce	34
Examination by Mr. Carroll	36
REPORTER'S CERTIFICATE	39

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	12
Exhibit 2	7	12
Exhibit 3	8	12
Exhibit 4	9	12
Exhibit 5	9	12
Exhibit 6	9	12
Exhibit 7	10	12
Exhibit 8	10	12
Exhibit 9	10	12

(Continued...)

## E X H I B I T S (Continued)

Applicant's	Identified	Admitted
Exhibit 10	10	12
Exhibit 11	11	12
Exhibit 12	18	27
Exhibit 13	35	36

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
 Attorney at Law  
 Legal Counsel to the Division  
 2040 South Pacheco  
 Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
 218 Montezuma  
 P.O. Box 2068  
 Santa Fe, New Mexico 87504-2068  
 By: JAMES G. BRUCE

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   2:45 p.m.:

3           EXAMINER STOGNER: At this time I'll call Case  
4   Number 11,697.

5           MR. CARROLL: Application of Mallon Oil Company  
6   for the establishment of a downhole commingling reference  
7   case pursuant to Division Rule 303.E and the adoption of  
8   administrative rules therefor, Sandoval County, New Mexico.

9           EXAMINER STOGNER: At this time I'll call for  
10   appearances.

11          MR. BRUCE: Mr. Examiner, Jim Bruce representing  
12   the Applicant. I have three witnesses.

13                 If I could have the record reflect that the  
14   witnesses are Mr. Coryell, Mr. Jones and Mr. Stalcup, who  
15   have previously been sworn in and qualified as experts.

16          EXAMINER STOGNER: The record will so show.

17          MR. BRUCE: Mr. Examiner, we'll start off with  
18   Mr. Coryell. He's got a big package of exhibits, but many  
19   of them aren't too long.

20                 Mr. Examiner, as an introductory matter, if  
21   you'll refer to your first exhibit, Exhibit 1, which Mr.  
22   Coryell will get to in a minute, it shows what Mallon  
23   refers to as the Otero area, seven-section area.

24                 Sections 4, 5 and 6 are within Jicarilla Apache  
25   Tribal Contract Number 435. The remaining four sections, 7

1 through 10 -- Excuse me, that's 434. And then the  
2 remaining sections, 7 through 10, are within Jicarilla  
3 Apache Tribal Contract 435.

4 Mallon seeks a reference case for downhole  
5 commingling of production from the Fruitland Coal, Pictured  
6 Cliffs, Mesaverde, Mancos, and Dakota formations within  
7 this area.

8 Mr. Coryell will present geologic data, and then  
9 Mr. Jones will present economic data showing the marginal  
10 economics of drilling wells in this area. He also has a  
11 lot of technical data from wells in the immediate area and  
12 will propose an allocation formula.

13 And then the final matter is that if this case is  
14 approved, we would request that no further notice be given  
15 to any other owners for a commingling within this area.

16 EXAMINER STOGNER: Okay. Now, this is going to  
17 be my first case of this type. 7, 8, 9 and 10 are --

18 MR. BRUCE: -- Jicarilla.

19 EXAMINER STOGNER: -- Jicarilla contracts?

20 MR. BRUCE: It's all Indian land.

21 EXAMINER STOGNER: Oh, it's all Indian land?

22 MR. BRUCE: Yes.

23 EXAMINER STOGNER: Okay.

24 MR. BRUCE: 7, 8, 9 and 10 are Jicarilla Contract  
25 435. They call their oil and gas leases contracts.

1                   And Sections 4, 5 and 6, the top tier, are  
2 Jicarilla Contract 434.

3                   EXAMINER STOGNER: So it's all reservation  
4 land --

5                   MR. BRUCE: Yes.

6                   EXAMINER STOGNER: -- it's just two separate  
7 contracts? A lot like a BLM land, and just separate  
8 leases --

9                   MR. BRUCE: Yes, sir.

10                  EXAMINER STOGNER: But it being -- Okay, all  
11 right.

12   GEORGE CORYELL,

13 the witness herein, having been previously duly sworn upon  
14 his oath, was examined and testified as follows:

15   DIRECT EXAMINATION

16 BY MR. BRUCE:

17                  Q. Mr. Coryell, let's start. Could you describe  
18 Exhibit 1 for the Examiner and just briefly tell him what  
19 it shows?

20                  A. The purpose of Exhibit 1 is to show the location  
21 of the Otero area relative to established production in the  
22 southeast San Juan Basin. It shows that we are very close  
23 to the edge of that production, although there are some  
24 producing wells on the property.

25                  Q. Okay. What is Exhibit 2?

1           A.   Exhibit 2 is a type log of the Otero area showing  
2 the major mappable units that we're looking at.  If you  
3 look at Sheet 1 of 2, on the left-hand side the Fruitland  
4 Coal is mentioned, but it was a difficult unit to map, and  
5 it has now been mapped in this package.  But it would be  
6 immediately above the Pictured Cliff sandstone.

7           The Pictured Cliff sandstone is the first  
8 important mappable unit, and that is overlying the Lewis  
9 shale.  There is some marginal production in the Lewis  
10 shale at about 2600 feet.  If you can read that on the log,  
11 it's just about 200 feet up from the bottom.  That's on the  
12 left-hand side.  Just to -- And that's been referred to as  
13 Chacra in the past, just for reference purposes.

14           Cliff House sandstone is the next important  
15 mappable unit.  For -- As an example, I split that one out  
16 to show that you can split these sandstones out and show  
17 that they're more isolated than may appear from mapping the  
18 total unit.

19           Menefee formation and the Point Lookout sandstone  
20 complete the Mesaverde group.  These are all three units  
21 we're interested in.

22           And the Mancos shale on page sheet 2 of 2, the  
23 Gallup interval, beneath the Gallup interval the Semilla  
24 sandstone is important.  And finally the Dakota sandstone  
25 is a possible zone of -- potential zone of production.

1 Q. Of all these zones, Mr. Coryell, which are the  
2 most potentially productive, most important?

3 A. The most significant zones in this area would be  
4 the Pictured Cliffs for gas production and the Mancos  
5 Gallup interval, upper Mancos Gallup interval, which is --  
6 has oil production.

7 Q. Now, next, marked Exhibit 3 through 11, Mr.  
8 Coryell, rather than interrupt you and slow you down with  
9 questions, could you just go through these *in seriam* and  
10 describe what they show, briefly?

11 A. Yeah, briefly what I've done here is map as many  
12 units as possible to show that there is potential reservoir  
13 on the acreage that we're after, and we can have a very  
14 good likelihood of stacked pays.

15 The first one is Pictured Cliffs sandstone,  
16 interpreted as a -- showing bar sandstone, progradational.  
17 It -- There's a relatively thick net sand in the Mallon 434  
18 G Number 1 well in the northwest northwest of what would be  
19 Section 6 of 22 North, 4 West. And notice that the blank  
20 area is not platted here because it's a land-grant acreage.

21 The next up -- Excuse me, the criteria for  
22 mapping that sand in here, given the shaliness of the  
23 section and having mappable units that are related to  
24 production as much as possible, I used a gamma-ray cutoff  
25 where available of 75 API units or less, and where I had

1 density log it would be a 9-percent or greater porosity.  
2 In some cases, I was forced to use SP microlog qualitative  
3 assessments and then convert that to some sort of  
4 quantitative factor, normalized with the production -- or  
5 logs around it.

6 Q. Okay, what's the next zone?

7 A. The next zone -- I'll try and speed it up here a  
8 little bit. The next two maps, as a matter of fact, 4 and  
9 5, are the Cliff House sandstone, and this is just an  
10 example of splitting out these units. And this is the kind  
11 of thing you might want to -- would do in the Menefee too,  
12 once we started drilling, is that taken as a whole the  
13 Cliff House is a broad sand, but if you break it into the  
14 upper and lower you can see that they -- one exists where  
15 the other isn't, basically. There's coal shale lateral to  
16 each of these units where they do not exist.

17 There's some overlap, but the lower looks like  
18 it's the best potential reservoir within the field area,  
19 within the acreage area.

20 The next exhibit, Number 6, I refer you to that,  
21 that is just a combined net sand map of the entire Menefee  
22 formation, a fluvial-deltaic-type system, so there is a  
23 high probability of many different isolated sands within  
24 this interval. So this is just a total net sand map, which  
25 shows that there is a high probability of getting sands on

1 the acreage.

2           The Point Lookout sandstone or the basal  
3 sandstone of the Mesaverde group is shown on Exhibit Number  
4 7. And this map is not necessarily definitive except in  
5 the fact that it shows that there is a strong likelihood  
6 you're going to get a significant amount of Point Lookout  
7 sandstone developed on the property, especially on the --  
8 it's turning -- As you go through these maps, you'll see  
9 that it seems that the western half of the property is --  
10 it looks like it's higher quality than the eastern half.  
11 Or excuse me -- Yes, that's a correct statement.

12           Exhibit Number 8 is a map of the upper Mancos,  
13 and here I've mapped just gross sand, with the rationale  
14 that in the upper Mancos and Gallup interval you're looking  
15 more for just brittleness, more -- Sandier intervals,  
16 brittleness of formation, those tend to be the best  
17 probability of having production.

18           The Gallup interval shown in Exhibit 9 is the  
19 same situation. It shows the presence of sandy interval on  
20 the acreage.

21           And the Exhibit 10 is a map of the Semilla  
22 sandstone at the base of the Juana Lopez member of the  
23 Mancos shale. This is interpreted as an offshore bar. It  
24 appears that it's a fairly isolated feature, and it happens  
25 to net a high probability of having reservoir occur on the

1 property, and that's based on some production on the  
2 property.

3 The old Skelly well has produced 6000 barrels  
4 from Semilla. You can see that, right essentially in the  
5 center of the bar there. The Mallon Oil, just to the  
6 southeast of that well, the Mallon Oil Jicarilla 435 G-1,  
7 has produced 4000 barrels, and again in the northwest of 6,  
8 at the very northwest corner of the acreage, there has been  
9 production, apparently from the Semilla. It was perforated  
10 along with the Mancos Gallup in this area.

11 The very last exhibit is just simply -- It's a  
12 Dakota formation with environmental interpretation of a  
13 more fluvial component at the bottom, moving up to a more  
14 shore face at the top of the section.

15 There's been really not much done with the Dakota  
16 in this area, but -- and there's very little control on  
17 this map. This is just a map showing the potential for  
18 sand development in the Dakota, and it would be a -- In  
19 this area, you definitely want to drill through the Semilla  
20 sandstone and the Dakota, just a few hundred feet below.  
21 So we'd like to take a look at that and make sure, because  
22 it is productive elsewhere.

23 Q. Combined, Mr. Coryell, do these maps show that  
24 there are consistent mappable units for these various  
25 formations in this area?



1           A.    The Skelly well in the center, the older well,  
2 penetrated all the way to the Morrison, so it penetrated  
3 all the way through. The two Mallon wells on either side  
4 penetrated through the Semilla sandstone, did not penetrate  
5 in the Dakota.

6           Q.    I am to assume, though, that any wells in which  
7 Mallon drills subsequent to this date would go all the way  
8 down, test all those intervals?

9           A.    We would want to test all the way and touch into  
10 the Morrison, yes.

11          Q.    For the record, let's identify the location of  
12 your type log.

13          A.    Oh, sure. It's in the southwest of the northeast  
14 of the northeast of Section 31. That's in 23 North, 4  
15 West. It's unplatted, but it -- if I can refer you to  
16 Exhibit 3, the Pictured Cliffs sandstone --

17          Q.    Okay.

18          A.    -- it's the well that shows 175 million cubic  
19 feet produced from the Pictured Cliffs. Can you see that  
20 well there?

21          Q.    Okay, I've got Exhibit Number 3 --

22          A.    Okay.

23          Q.    -- and you said 175 --

24          A.    Yeah, it's --

25          Q.    Okay, that's to the north, it's along the 20 --

1 the contour line marked 20?

2 A. Yes, it is.

3 Q. Just on the far upper reaches of this map?

4 A. Yes.

5 Q. Okay. That's the type log.

6 A. Yes, and that's an interesting well too, because  
7 they perforated quite a few zones, and I believe Ray Jones  
8 will speak of that.

9 Q. Any particular reason why you chose this log, as  
10 opposed to the old Skelly log?

11 A. Yes, the main reason is -- well, I wanted a  
12 Jurassic penetration, but the Skelly also did, but also I  
13 wanted a newer log. That's an old log.

14 Q. When you say "newer", this was in 197- -- The  
15 type log was drilled in what? 1975?

16 A. It was drilled in -- yes. Unfortunately, it's  
17 covered up by the contour. But yes, that's pretty close.

18 Q. Okay.

19 A. Also, this well was interesting because of the  
20 multiple perforations; multiple zones were looked at.  
21 That's another reason it was chosen.

22 Q. The -- Again, referring to the type log -- and  
23 I've marked down here where the Fruitland Coal would be --

24 A. Uh-huh.

25 Q. -- immediately above the sandstone, does this

1 pretty -- The interval that is shown for the coal -- looks  
2 like, oh, about 1980 feet --

3 A. Yeah.

4 Q. -- down to the top of the Pictured Cliffs, being  
5 about 2100 and something -- is that the main productive  
6 interval for the coal? Do you know? Would that represent  
7 the main productive interval?

8 A. It varies, and the coal itself -- this is a -- In  
9 my opinion, it's a highly secondary target, but it is a  
10 possible one. The coal -- Production from the coal does  
11 exist in many parts of the Basin.

12 Q. Well, how thick is the coal in this area?

13 A. Well, it's interbedded coals and shale in here,  
14 but right off the top of my head I'm going to say 300 feet,  
15 or 200 to 300 feet.

16 Q. So for the most part it shows the good part of  
17 the Fruitland Coal interval?

18 A. A portion -- yeah, the -- Yes, at least a third  
19 of it. I did not -- it's always been -- It wasn't  
20 something that was mappable, so I didn't really look at it,  
21 but it does produce elsewhere in the Basin. It can be  
22 productive.

23 Coalbed methane is becoming very important, and  
24 it makes it a possible interval that should be looked at  
25 and evaluated, and we will -- would run a mud log across it.

1 Q. Was there any Fruitland sand production in this  
2 area, in the broad -- and when I say "this area", the broad  
3 area of this -- of Exhibit Number 1?

4 A. In exploring for the Fruitland Coal, in the  
5 Fruitland interval, Fruitland formation, the methods have  
6 been more oriented towards trying to identify fracture  
7 patterns and that sort of thing in the coalbeds themselves.  
8 So...

9 And given the depositional environment, it's very  
10 difficult to map any particular facies within the  
11 formation.

12 Q. Okay. These maps were prepared --

13 A. -- by myself.

14 Q. I'm sorry, the structure maps that you -- was  
15 that all prepared from well log information?

16 A. Yes, yes.

17 Q. Okay. There's no seismic or anything?

18 A. No, there's no seismic. Yes. The structural --  
19 The reason for the structure is to show it's fairly  
20 consistent down through the section. There's a slight  
21 rotation.

22 EXAMINER STOGNER: I have no other questions of  
23 this witness.

24 MR. BRUCE: Neither do I. I'd call Mr. Jones to  
25 the stand.



1 development? Or has the BLM -- You know, have they stated  
2 any expression about whether or not further development  
3 should occur?

4 A. In 1988 there was a demand, and in 1989 the BLM  
5 agreed that it did not make sense to continue development  
6 on these leases and that they were adequately developed.  
7 There is --

8 Q. And that was based on the marginal economics?

9 A. That's correct. I'm sure there would be interest  
10 to date if something could be done in this area, but...

11 Q. Okay. Well, let's go over and discuss the wells  
12 in the area and your proposals. Could you identify your  
13 Exhibit 12 for the Examiner?

14 A. Exhibit 12 is a compilation of well information.  
15 Basically, it's the wells that are consistent with the  
16 mapped area that were shown.

17 The first page of the exhibit, it shows a well  
18 list, it has the operator, the well name, the well's  
19 location, spud date of the well, the TD of the well, TDs  
20 ranging from 2400 feet down to 6662, it looks like is the  
21 deepest.

22 The next column where it says "drill and open  
23 hole tested", that would be logged, cored or DST'd, and all  
24 wells were tested to some manner.

25 Next column is whether or not casing was set on

1 the well. If the well was produced, if the well was  
2 abandoned, the production zones from the well, and then the  
3 well's cumulative oil and gas production. And there are  
4 quite a few wells that have multiple zones producing from  
5 the well.

6 Twenty-two wells in the database, ten wells are  
7 producers, twelve wells are -- were drilled as dry holes or  
8 were cased, tested for an extremely short period of time  
9 and then abandoned.

10 Q. One thing I want to point out is, in case I  
11 missed it, most of these wells listed here are immediately  
12 to the north or to the west; is that correct?

13 A. That's correct. The majority of the database is  
14 to the north. There are only the three wells on our  
15 acreage, the two wells that we operate and then the old  
16 Skelly well, and then one well, I believe, to the west, in  
17 the northern part of our acreage. Other than that, all the  
18 wells are to the north. There's no immediate production  
19 I'm aware of, to the south or to the southeast, within the  
20 mapped area.

21 EXAMINER STOGNER: Okay, go ahead, Mr. Jones.

22 THE WITNESS: Of the ten producers we show on the  
23 table, six wells had multiple completions. So it's --  
24 multiple completions have been important.

25 However, the recoveries have been very low. The

1 average recovery for all -- or for 15 wells where we do  
2 have recorded production is 14,000 barrels of oil per well,  
3 and 75,000 MCF of gas per well. Some of these are not on a  
4 straight average. They're certainly not good wells by any  
5 means.

6 On the next page, I simply included a list of the  
7 formations and hydrocarbon potential, and those with --  
8 marked as good hydrocarbon potential would be zones that  
9 had produced, we thought should be good candidates for this  
10 area.

11 The other zones are certainly mappable into our  
12 acreage, would be potential zones, but in no case would  
13 they be considered primary targets. And in fact, at this  
14 time I don't believe you could consider any single zone a  
15 primary target in this area.

16 The next page shows a list of historical well  
17 activity, beginning with five wells drilled from 1951 to  
18 1955, and then a break. Ten wells were drilled in the  
19 period from 1971 to 1980, and then tapering off to three in  
20 1981-1985, and then two in 1986 to 1990, and then no wells  
21 currently. That's consistent with the results that people  
22 have not encountered, the marginal or submarginal wells  
23 with -- and I'm not aware of any current activity at this  
24 time in this area, and certainly not on our acreage.

25 One of the next items that was reviewed is

1 pressure information. This is a compilation of pressure  
2 information from DSTs or any available source where there's  
3 a shut-in pressure test. In reviewing the DSTs, if the  
4 DSTs had a very low pressure, which was consistent with the  
5 tight reservoir, it was not included in the list.

6 The DSTs are ranged, ranked by depth, and the  
7 pressure gradients range from approximately .3 to .434 for  
8 these zones. The only one that would even be considered  
9 slightly overpressured would be the Ojo Alamo, shown for  
10 reference, but it was not included in the zones that we're  
11 looking at, at this time. So we're not expecting any  
12 overpressured zones or anything out of the ordinary as far  
13 as pressure.

14 The next table lists the cumulative production  
15 again, for those wells with production. There are some  
16 estimated recoveries. I apologize for the size. It's  
17 getting late in the afternoon and a little difficult for me  
18 to read also.

19 The estimated ultimate recoveries in this case,  
20 what we did was, we developed a type curve, and actually  
21 the performance of the wells conforms with the expected  
22 theoretical performance of a hydraulically fractured well.  
23 All these zones are tight and shaly sands. They require  
24 hydraulic fracture treatments to produce. They  
25 theoretically will produce with a decline that will be a

1 straight line as the square root of time, or that is the  
2 equivalent to a hyperbolic decline with an N of 2 and an  
3 initial decline of about 72 percent per year.

4 So we use the well's initial rates and the type  
5 curves for these zones, and estimated ultimate oil and gas  
6 recoveries for these wells.

7 The next column is marked "PW 20". That was just  
8 our attempt to check the economics of these current wells  
9 and, given today's economic parameters, to see if the  
10 completion methods, intervals opened to date in these wells  
11 determined if we would consider them economic, and they're  
12 probably not. These are -- in this case.

13 And then there are just comments about different  
14 zones from the wells.

15 The PC wells had cums that range from 70,000 to  
16 246,000 MCF. The better wells will have estimated ultimate  
17 recoveries of 170 to 284. And later on in the economics,  
18 we used an average ultimate recovery of 266 for the PC.

19 Gallup-Dakota wells, current cum is -- ranges  
20 from 17,000 to 39,000 barrels of oil, 35,000 to 96,000 MCF  
21 of gas, and we used estimated ultimates of 65,000 oil,  
22 barrels of oil, and 112,000 MCF of gas for our work.

23 The next group of pages is an economic -- The  
24 first page is an economic summary sheet. It's followed by  
25 an economic cash flow forecast. Three cases are prepared:

1 a commingled zone, a stand-alone Gallup, and a stand-alone  
2 PC, with each cash flow case. We've also included a  
3 decline curve showing the projections for oil and gas that  
4 were used.

5 For total well cost on a Pictured Cliffs flowing  
6 well, we used \$250,000. That would be for a well that's  
7 drilled only through the Pictured Cliffs.

8 A Gallup well, we've used \$450,000 to drill and  
9 complete the well.

10 And for a commingled PC-through-Gallup well,  
11 we've used \$500,000 investment.

12 The incremental cost to complete multiple zones  
13 will not be great compared to a single deep zone. We've  
14 had success in multiple fracture treatments in one day,  
15 which has significantly reduced completion costs for  
16 multiple zones, and that is the approach that we would use  
17 in this area for this project.

18 For the type curve, then, for an average PC type  
19 curve, we have an initial rate of 11,000 MCF per month,  
20 declining at specified decline.

21 The Gallup begins at 2000 barrels per month and  
22 3500 MCF of gas per month.

23 And that's just a summary of the sheets that are  
24 attached.

25 The cumulative present worth for a PC turned out

1 to be a negative \$137,000. A Gallup well was positive, not  
2 by a great amount, \$79,000, had a 15-percent rate of  
3 return. The Gallup-PC would be present worth of \$265,000  
4 for these economics and a rate of return of 25 percent.

5 Now, we would -- Included in the economics for  
6 the commingle, it's only the PC and the Gallup, but we  
7 would anticipate that there would be other zones to be  
8 included. Certainly even the Gallup-PC is not a fantastic  
9 return, and we -- I'd like to point out that these  
10 economics do not include any risk for dry holes on a daily  
11 basis. There are a significant number of dry holes, and  
12 that risk has not been included in these economics.

13 Q. (By Mr. Bruce) Mr. Jones, based on these  
14 economics, would Mallon Oil Company drill these wells if it  
15 can't commingle?

16 A. Not as single-zone producers, and our level of  
17 activity to date has shown that.

18 Q. Now, since there is little data on your acreage,  
19 how would you propose to allocate production from these  
20 wells?

21 A. I would simply propose to allocate gas based upon  
22 perforated intervals for the zones, from -- We're asking  
23 for a reference case; we're not sure what zones actually  
24 will be productive from well to well, and so I don't think  
25 you can establish one set of factors that would be

1 appropriate for every well that would also assign a certain  
2 amount of production to each zone.

3 Q. Now, certain of these zones are oil zones and  
4 certain are gas. What zones would you attribute oil  
5 production to?

6 A. Mesaverde and Gallup.

7 Q. Just those two zones?

8 A. Yes.

9 Q. In your opinion, is what you've just proposed a  
10 reasonable way to allocate production?

11 A. I believe so. I believe it's workable.

12 Q. Could you summarize the data that you've just  
13 gone over for the Examiner?

14 A. When we looked at the wells, it's -- all wells  
15 are producing from similar types of sands. They're tight,  
16 shaly sands. There's a variability in the production in  
17 the area, in the zones.

18 Multiple production intervals are important, as  
19 quite a few wells are already producing in that manner.  
20 However, even with the multiple zone, the wells are  
21 marginal or subeconomic. We have no overpressured zones  
22 that we're reviewing here.

23 Let me back up. Along with the marginal wells,  
24 there's also no current development, whether it's on our  
25 acreage or next to, adjoining our acreage, that we're aware

1 of for the last five or ten years, no overpressured zones.

2           There are common types of -- Similar types of  
3 reservoir require similar types of completions, similar  
4 production methods, and they'll have similar production  
5 lives. They will have a very low wellbore producing  
6 pressure. It will require a low wellbore producing  
7 pressure to produce.

8           And as we've shown in our economics, the type --  
9 the average production rates that we used for the PC and  
10 Gallup production is typical of the better wells, not an  
11 average well recovery. And even for these better  
12 recoveries, the wells are going to be marginal, and on  
13 single zone -- on some zones it would be subeconomic.

14           So we feel like we need to produce as many zones  
15 as possible if we're to make a well that's economic and  
16 have a reasonable, sensible development in this area.

17           Q. In your opinion, is the granting of Mallon's  
18 Application in the interests of conservation, the  
19 prevention of waste and the protection of correlative  
20 rights?

21           A. Yes, I believe so.

22           Q. And was Exhibit 12 prepared by you or under your  
23 direction?

24           A. It was.

25           MR. BRUCE: Mr. Examiner, I would move the

1 admission of Exhibit 12.

2 EXAMINER STOGNER: Exhibit 12 will be admitted  
3 into evidence at this time.

4 EXAMINATION

5 BY EXAMINER STOGNER:

6 Q. Mr. Jones, I'm assuming that these wells will be  
7 cased? I mean, if you were -- if this was approved?

8 A. Oh, yes.

9 Q. Okay.

10 A. Yes.

11 Q. So you're not proposing an open hole --

12 A. No.

13 Q. -- throughout the coal, all the way?

14 A. No, a cased well will be necessary for proper  
15 completion of the wells.

16 Q. How would spacing be affected with something like  
17 this?

18 A. With the different potential spacing units per  
19 zone?

20 Q. Yes. And I'm asking that from an engineering  
21 standpoint, not from a standpoint of land, because it's  
22 essentially all Jicarilla --

23 A. Right.

24 Q. -- so that's not a factor. But as far as  
25 drainage and that -- from that aspect of it.

1           A.    The amount of -- or the recovery, the volume of  
2 recovery will be a function of the reservoir quality and of  
3 the type of completion. The wells have to be hydraulically  
4 fractured, you would expect a greater recovery from a more  
5 effective frac job, with a greater frac length.

6           I don't expect that you will be able to -- the  
7 reservoir quality is not such that I would expect for you  
8 to be able to show interference between wells and actually  
9 see the pressure interference from well to well.

10           So while you may have a 40-acre spacing area, I  
11 can't tell you that you would actually have -- or 160 --- I  
12 can't tell you would have a 40- or a 160-acre drainage  
13 pattern. It will be a function of the stimulation  
14 treatment, effectiveness, and the actual reservoir that's  
15 in contact with that treatment.

16           Q.    Would you see that spacing will be maintained out  
17 there, if you -- I mean, the first well in this area,  
18 obviously, you could have potential to perforate it all and  
19 produce it all. But how about a second, third or fourth  
20 well, say, in a coal-seam-type of environment or a coal  
21 environment, where that is spaced on 320?

22           Would -- Are you proposing that that interval not  
23 be tested or not be perforated to maintain spacing and the  
24 integrity and that aspect of it? Or are you proposing that  
25 even if there was another producing well or two from the

1 coal, that any subsequent well would be perforated in that  
2 interval?

3 Am I making myself clear on that?

4 A. No, I understand the question. Within the  
5 interior of our lease -- Well, for any particular zone, if  
6 it was drilled at a greater density than what a normal  
7 spacing might be for these types of reservoirs, I don't see  
8 where recovery would be reduced in any way, with increased  
9 density.

10 I believe your question would be, what happens  
11 along the lease lines as it -- to offsetting acreage  
12 especially, and it affects the spacing.

13 Q. I mean, a co-interval out there is spaced on 320,  
14 and it's pretty well maintained, one well per 320,  
15 throughout the whole interval, and there really hasn't been  
16 any allowances at this point for denser spacing.

17 A. I don't see it as a problem in the development.  
18 If that spacing had to be maintained, we would want to  
19 allow that we could include it, because we think it is  
20 important to be able to get all productive intervals, as  
21 many as possible, in order to make the wells economic.

22 But if there was a well developed area in the  
23 coal, and if that spacing was a problem, then I don't -- I  
24 don't see a problem with having the additional development  
25 conform to that spacing. Obviously, if we found reservoir-

1 quality coal, we would certainly want to test that the  
2 first time that we encountered it, and then --

3 Q. I know that's probably beyond the scope of the  
4 case in which it's called for, because you're just  
5 essentially asking for downhole commingling. Such  
6 questions I'm asking would essentially also require an  
7 exception to existing field rules or perhaps a change of  
8 special pool rules, should they so apply, to increase the  
9 density. That's probably beyond the scope at this point,  
10 because this is relatively a nonproducing area.

11 A. Yes, sir.

12 Q. So it's such -- The Application, as I see it  
13 today, is to encourage --

14 A. -- development.

15 Q. -- development into this area. Then once  
16 development occurred, then those questions could then be  
17 addressed, and hopefully they will, should development --

18 A. I would hope so.

19 Q. Because this is a relatively old area, with not  
20 much -- well, I don't want to say "potential" of new  
21 development. But this would certainly help, to be able  
22 to -- and that's essentially what you're asking today?

23 A. Yes, we -- I don't feel that it's prudent to go  
24 develop our acreage, one -- for one reservoir, nor will it  
25 make additional economic sense to drill to a deep reservoir

1 and do one reservoir at a time and wait until that  
2 reservoir is depleted until you go to the next sum.

3 In order to pay for the cost of development, you  
4 need to be able to have -- you have to get all the -- have  
5 as high of a production rate as you can. All the zones are  
6 going to exhibit a very steep initial decline, and if you  
7 have a low initial rate you'll be hindered greatly in  
8 recouping your investment, because much of the reserves are  
9 long-life, low-rate, offset by operating costs.

10 Q. Now, as I understand the allocation that you're  
11 proposing at this point, it would essentially be based on  
12 perforations throughout that interval; is that correct?

13 A. That's correct.

14 Q. So would it be the percentage of perforations  
15 within the coal, within the Dakota, within the Morrison?

16 A. That's correct. I felt that would be more  
17 workable than trying to do reservoir quality off of logs or  
18 something like that.

19 Q. Should this Application be approved, future wells  
20 drilled into this area, of course, will be logged, I would  
21 assume?

22 A. Yes, sir.

23 Q. Are you proposing that -- or would you foresee  
24 that each perforated interval would be strongly looked at,  
25 or are you just going in there with a perforating gun or

1     preperforated string of casing?

2             A.    No.

3             Q.    Okay.  Okay, that's not the intent?

4             A.    No.  The completion method would be very similar  
5     to one that we're using currently in southeast New Mexico,  
6     where we have multiple zones in one area that is produced  
7     together, a reasonable interval that's perforated,  
8     fracture-treated, then a plug is set of some sort, and the  
9     next interval is perforated and treated, and then you work  
10    up the hole, and we would be able to bring everything on  
11    and clean the well up.

12            But all the hydraulic -- or all the fracture  
13    treatments would be controlled.

14            Q.    Of the existing wells that are cased out there,  
15    are they cased slim?  I mean, with 5-1/2-inch casing or 5  
16    or 4-1/2, or are they with the larger casing size that you  
17    see in a lot of San Juan Basin wells, up to 7-inch, or do  
18    you know?

19            A.    I cannot speak for all wells.  One of our wells  
20    is 4-1/2-inch.

21            Q.    And is that -- Is 4-1/2-inch standard out there?

22            A.    I don't know.  I know there was one well where  
23    they tried 4-1/2-inch casing and 2-7/8 in order to add  
24    additional zones at once, and the operator wasn't going to  
25    repeat that process.

1 I'm not -- Nothing came to my attention that  
2 indicated that there was large-diameter casings, and  
3 certainly the --

4 Q. So that's not -- I guess what I was looking at  
5 was, a lot of the wells that had multiple completions back  
6 in the earlier days, or a few years ago even, ran 7-inch  
7 casing, so they could multiply complete and run two strings  
8 of tubing if it was necessary, especially the Mesaverde and  
9 Basin Dakota. Of course, that's probably not an issue in  
10 this instance. I was just wondering if running a slimmer  
11 hole of casing for economics' sake was an issue in this  
12 particular application.

13 A. Anything we can do to reduce well cost will be an  
14 issue. I mean, I've calculated a positive rate of return  
15 for an assumed good Dakota and PC, but for an economic  
16 project, we'll have to look closely at all cost savings.  
17 And there's certainly --

18 Q. Have you covered the pressure data or pressure  
19 information? I believe there are some pressure issues.

20 A. That was the DST --

21 Q. Okay.

22 A. -- table. It was mainly DST information.

23 MR. BRUCE: Page 4 of Exhibit 12, Mr. Examiner.

24 Q. (By Examiner Stogner) Were all intervals that  
25 you're proposing to commingle -- have they had some sort of

1 a pressure data? Because I don't see coal in here.

2 A. That's correct, coal is not in here. I have no  
3 pressure information for the coal.

4 Q. Was that because it just wasn't available or --

5 A. Correct, I'm not aware of any -- I'm not aware of  
6 any coal production in this specific area. Coal was  
7 included because we felt that it could be a potential, and  
8 it was sitting -- it would be sitting right next to the PC.

9 EXAMINER STOGNER: Anything further of this  
10 witness, Mr. Bruce?

11 MR. BRUCE: No, sir.

12 EXAMINER STOGNER: I have no other questions.

13 Mr. Bruce, I'm going to ask you to provide me a  
14 rough draft order in this instance.

15 MR. BRUCE: Okay, be glad to.

16 The final thing we have, and I don't know if we  
17 -- We have Mr. Stalcup's notice affidavit. If I could just  
18 have him introduce it, Mr. Examiner.

19 EXAMINER STOGNER: Okay, yes, please.

20 RANDY STALCUP,  
21 the witness herein, having been previously duly sworn upon  
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Mr. Stalcup, just two things, really, looking at

1 -- It's something I said in my introduction, but I want you  
2 to verify it. Looking at Exhibit 1, am I correct that  
3 Sections 4, 5 and 6 are one Jicarilla tribal lease?

4 A. Yes.

5 Q. And there's common ownership throughout that  
6 lease?

7 A. Yes.

8 Q. There's no vertical severance?

9 A. Right.

10 Q. And then Sections 7, 8 and 9 are a separate  
11 Jicarilla tribal lease?

12 A. Yes.

13 Q. And once again, there is common ownership  
14 throughout that lease?

15 A. Correct.

16 Q. And you gave notice of this Application to all of  
17 the interest owners in those two leases?

18 A. Right.

19 Q. And your notice affidavit with the letters, et  
20 cetera, is submitted as Exhibit 13?

21 A. Yes.

22 Q. And Exhibit 13 was prepared by you or under your  
23 direction?

24 A. Yes.

25 MR. BRUCE: Mr. Examiner, I'd move the admission

1 of Exhibit 13.

2 EXAMINER STOGNER: Exhibit 13 will be admitted  
3 into evidence at this time.

4 Any questions?

5 MR. CARROLL: Yeah, I have a question.

6 EXAMINATION

7 BY MR. CARROLL:

8 Q. Has the Jicarilla tribe, the BLM or the BIA  
9 expressed any interest in this Application?

10 A. Not to date.

11 Q. And does the Jicarilla tribe have any oil and gas  
12 regulations that operators must comply with, besides the  
13 OCD? I know they have some environmental regulations.

14 MR. JONES: We have certain regulations that we  
15 follow. I'm not up on those regulations. Operations for  
16 these two wells is covered by our Carlsbad office.

17 To be quite honestly, these two wells, and with  
18 the economic activity that they bring to our company at  
19 this time, unfortunately don't receive a lot of attention.

20 MR. BRUCE: Yeah.

21 MR. JONES: So --

22 MR. BRUCE: Mr. Carroll -- Go ahead.

23 MR. JONES: So, I mean, we do have certain --  
24 some procedures. There's a certain extra permitting just  
25 to be able to be on location or on their lease that we have

1 to have.

2 MR. BRUCE: Mr. Carroll, yes, the Jicarilla tribe  
3 does have a tribal -- I don't know if they call it an  
4 energy department or oil and gas department, and they do  
5 have regulations governing surface use, et cetera.

6 I do not know -- and I've spoken with Jicarilla  
7 personnel, Jicarilla tribal personnel -- I do not know of  
8 any regulations they have governing downhole commingling.

9 MR. CARROLL: Do they have their own production  
10 reporting department, or do they rely upon the State's  
11 report --

12 MR. BRUCE: I believe they have -- They have  
13 their own department, because they collect their own  
14 severance taxes et cetera, and -- I'm not sure; Mr. Stalcup  
15 might be able to answer who collects their royalties. But  
16 I know they do have their own accounting department that  
17 looks after severance taxes.

18 THE WITNESS: I don't know.

19 MR. BRUCE: Okay.

20 MR. CARROLL: I was just wondering if their own  
21 production reporting department, the figures might conflict  
22 with the State's, what's done in that circumstance.

23 MR. JONES: I'm not aware of any special  
24 production reports provided by our production clerk for  
25 these wells. I've never seen any.

1 MR. CARROLL: That's all I have. I was just  
2 curious.

3 EXAMINER STOGNER: I have nothing further in this  
4 case.

5 Do you have anything further, Mr. Bruce?

6 MR. BRUCE: No, sir.

7 EXAMINER STOGNER: If no one else has anything  
8 further, Case Number 11,697 will be taken under advisement,  
9 and I'll await your rough draft, Mr. Bruce, in this matter.

10 (Thereupon, these proceedings were concluded at  
11 3:45 p.m.)

12 \* \* \*

13

14

15

16

17

18

19

20

21


22

23

24

25

I do hereby certify that the foregoing is  
a complete and true record of the proceedings in  
the Examiner hearing of Case No. 11697,  
heard by me on 19 January 1997.

  
Michael R. Stogner, Examiner  
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 18th, 1997.

\_\_\_\_\_  
STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998