


STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)

CASE NO. 11,713

APPLICATION OF BASS ENTERPRISES)
 PRODUCTION COMPANY AND SANTA FE ENERGY)
 COMPANY FOR THE RESCISSION OF DIVISION)
 ADMINISTRATIVE ORDER NO. NSL-3745, EDDY)
 COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

February 20th, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, February 20th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
 (505) 989-9317

I N D E X

February 20th, 1997
Examiner Hearing
CASE NO. 11,713

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>J. WAYNE BAILEY</u> (Landman)	
Direct Examination by Mr. Ernest Carroll	9
Examination by Mr. Rand Carroll	14
Examination by Examiner Catanach	17
<u>GEORGE A. HILLIS</u> (Geologist)	
Direct Examination by Mr. Ernest Carroll	22
Examination by Examiner Catanach	47
Examination by Mr. Rand Carroll	52
<u>TERRY D. PAYNE</u> (Engineer)	
Direct Examination by Mr. Ernest Carroll	53
Examination by Examiner Catanach	84
REPORTER'S CERTIFICATE	91

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	10	14
Exhibit 2	11	14
Exhibit 3	22	47
Exhibit 4	23	47
Exhibit 5	24	47
Exhibit 6	26	47
Exhibit 7	27	47
Exhibit 8	29	47
Exhibit 9	30	47
Exhibit 10	30	47
Exhibit 11	33	47
Exhibit 12	36	47
Exhibit 13	37	47
Exhibit 14	37	47
Exhibit 15	39	47
Exhibit 16	40	47
Exhibit 17	42	47
Exhibit 18	43	47
Exhibit 19	54	83
Tab 1	55	83
Tab 2	56	83
Tab 3	63	83
Tab 4	64	83
Tab 5	68	83
Tab 6	71	83
Tab 7	72	83
Tab 8	75	83
Tab 9	77	83
Tab 10	80	83

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR BASS ENTERPRISES PRODUCTION COMPANY
and SANTA FE ENERGY COMPANY:

LOSEE, CARSON, HAAS & CARROLL, P.A.
300 American Home Building
Post Office Drawer 239
Artesia, New Mexico 88211-0239
By: ERNEST L. CARROLL

FOR MEWBOURNE OIL COMPANY:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 9:53 a.m.:

3 EXAMINER CATANACH: At this time we'll call the
4 hearing back to order and call Case 11,713.

5 MR. RAND CARROLL: Application of Bass
6 Enterprises Production Company and Santa Fe Energy Company
7 for the rescission of Division Administrative Order Number
8 NSL-3745, Eddy County, New Mexico.

9 EXAMINER CATANACH: Call for appearances.

10 MR. ERNEST CARROLL: Mr. Examiner, I'm Ernest
11 Carroll of the Losee, Carson, Haas and Carroll law firm of
12 Artesia, New Mexico, and I'm here on behalf of Bass
13 Enterprises and Santa Fe.

14 Bass Enterprises will be the only party
15 presenting witnesses today, and I have three witnesses.

16 EXAMINER CATANACH: Additional appearances?

17 MR. CARR: May it please the Examiner, my name is
18 William F. Carr with the Santa Fe law firm Campbell, Carr,
19 Berge and Sheridan. We represent Mewbourne Oil Company in
20 this matter. I will not be calling a witness.

21 It's my understanding that Bass has decided to go
22 forward with their case. At the end of that, Mr. Carroll
23 and I are going to -- with the data that they'll present
24 today, I'm going back to Mewbourne, we're going to attempt
25 to resolve this matter at that time.

1 But at the end of the presentation it's my
2 understanding that Bass will then move to continue the
3 case. Is that correct?

4 MR. ERNEST CARROLL: Yes. Mr. Examiner, let me
5 make a few other statements that may help understand what's
6 going on.

7 Apparently Mewbourne ended up with a problem with
8 their witnesses after their letters earlier in the week.
9 Bass's had already -- its witnesses were committed and were
10 already up here. We couldn't call them off.

11 We have elected to go ahead and put our case on.

12 There's also another slight twist that also
13 figures in the -- I guess the reason why we don't object to
14 not getting the hearing totally completed and a
15 continuance, is that we have a well in Section 2, which is
16 just southeast of the proposed unorthodox location,
17 Mewbourne Oil Company, and it's the Turkey Track 2 State
18 Com Number 1.

19 This application by Mewbourne has caused us to do
20 a complete re-evaluation of what was going on with that
21 well. And we, as the evidence will show in this case, have
22 found that the well that we have in the east half of
23 Section 2 is producing from a very small part of the lower
24 Morrow that exists under the east half of Section 2, that
25 there is a permeability barrier existing.

1 And quite frankly, this discovery and what have
2 you, kind of changes the complexion, I think not only for
3 us but probably also for Mewbourne.

4 What we intend to do, as soon as I return back to
5 my offices, is to prepare an application which will allow
6 us to drill another well and simultaneously dedicate
7 another well on this, because we have undrained reserves
8 going on in this east half of Section 2.

9 We will also move for a consolidation of that
10 case with this case, because it's the same evidence. And
11 hopefully, too, based on all of this new work that we have
12 had done -- And frankly, Bass was overloaded. We have had
13 to go out and hire consultants. The Ronnie Platt firm out
14 of Austin was who we turned to, to help get us over the
15 hump of the shortage of manpower.

16 But -- So we hope to solve a lot of problems, and
17 that's one of the reasons we're not going to throw a fit
18 because Mewbourne had a problem with getting its witnesses
19 up here. It should allow for us to consolidate and make
20 more efficient use of your time.

21 And frankly, I think we have three options which
22 Mr. Carr and I are discussing to solve this case. Any one
23 of the three are acceptable to Bass, and I am in hopes that
24 one of them will be acceptable to Mewbourne and there won't
25 be any contested case and we can deal with that aspect of

1 it.

2 The only other agreement is, if, for some reason,
3 we are unable to solve the differences, we have agreed that
4 if we intend to put on additional testimony at the new
5 hearing, we will exchange exhibits with Mr. Carr and
6 Mewbourne ten days prior to that hearing. And he has
7 agreed likewise on behalf of Mewbourne to give any exhibits
8 that they would intend to use ten days prior.

9 So that -- There is a distinct advantage to
10 Mewbourne of getting to see our case, though we hope that
11 it won't ever be used against us, and it's going to
12 expedite the other matters which I spoke of.

13 So I think that's basically what we've --

14 MR. CARR: I think that's right.

15 MR. ERNEST CARROLL: -- discussed and agreed to.

16 MR. CARR: I think that's right, Mr. Catanach.

17 As I discussed with you earlier, we're going to
18 exchange exhibits, and we will do that prior a hearing, if
19 there is another hearing.

20 We're not to a point where anyone's waiving or
21 conceding anything at this point, but we are committing on
22 the record to do what we can to reach a voluntary agreement
23 that will address all the issues that are before the
24 Division, and we commit to you to do that.

25 EXAMINER CATANACH: Okay. Let's swear the

1 witnesses in at this time.

2 (Thereupon, the witnesses were sworn.)

3 MR. ERNEST CARROLL: Our first witness would be
4 Wayne Bailey, Mr. Examiner.

5 J. WAYNE BAILEY,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. ERNEST CARROLL:

10 Q. Mr. Bailey, would you state your full name and
11 occupation and place of employment for the record?

12 A. It's Jerry Wayne Bailey. I'm the division
13 landman for the west Texas/New Mexico division for Bass
14 Enterprises Production Company in Fort Worth.

15 Q. Mr. Bailey, have you had an occasion to testify
16 before the Oil Conservation Division of New Mexico and have
17 your credentials as an expert in the field of petroleum
18 land management matters accepted?

19 A. Yes.

20 Q. Are you familiar with the Application of Bass and
21 Santa Fe that is the subject of this hearing today?

22 A. Yes.

23 Q. And have you prepared exhibits and testimony to
24 be presented in this hearing?

25 A. Yes, I have.

1 MR. ERNEST CARROLL: Mr. Examiner, I would tender
2 Mr. Bailey as an expert.

3 EXAMINER CATANACH: Mr. Bailey is so qualified.

4 Q. (By Mr. Ernest Carroll) Mr. Bailey, before we
5 get into your two exhibits that you've prepared, would you
6 briefly state on the record what Bass and Santa Fe -- and
7 also can you confirm for the Examiner that Bass and Santa
8 Fe are taking the same position with respect to this
9 Application of Mewbourne.

10 A. Yes, that's correct. And for illustration
11 purposes I can go ahead and refer you to Exhibit Number 1,
12 which is the land plat that you should have. It's in one
13 of those manila folders.

14 MR. ERNEST CARROLL: All of the exhibits are in
15 that heavy folder. And I apologize, we didn't end up with
16 quite enough exhibits, Mr. Carroll; if there's a problem we
17 can certainly drag some up.

18 THE WITNESS: Exhibit Number 1 just shows the
19 lease ownership in Section 2. The west half of Section 2
20 is not producing.

21 The east half is a 320-acre pooled unit that is
22 where one Morrow producer is located, and that's the
23 Bass/Santa Fe Turkey Track 2 State Com Number 1.

24 Bass has approximately 50 percent, a little over
25 50 percent. Santa Fe as 49-and-some-odd percent. And

1 we're the only two participants in that well.

2 And that well was completed, on the Exhibit 2, it
3 says the well was completed December 7th, 1995. So it's a
4 fairly recent well.

5 So Bass and Santa Fe

6 So Bass and Santa Fe are here as partners. Santa
7 Fe has signed a written agreement to be jointly represented
8 by Mr. Carroll and to pay half of the costs of the expenses
9 of legal experts and professional testimony.

10 And basically, we've had this well producing at
11 an orthodox location for a little over a year now, and we
12 received the Application for the Mewbourne location, which
13 is 660 feet away from the south line of their proration
14 unit, and a legal distance is approximately 990 feet away
15 from that.

16 When we first got the Application, we knew that
17 our acreage would be adversely affected. But we knew that
18 we needed to do some studies of the reservoir to adequately
19 present our testimony, to show the incremental adverse
20 effects caused by the unorthodox distance.

21 We knew that even at an orthodox location, the
22 Mewbourne well would drain our 320 and would adversely
23 affect it. But the closer you get to our proration unit,
24 we knew that the damage would increase. So that's when we
25 hired Platt, Sparks and Associates in Austin to research

1 the extent of the damage. And we discovered, really, more
2 than we expected to discover.

3 As Mr. Carroll stated -- and you'll see all this
4 presented on our geological testimony and our reservoir
5 data, that there is basically a north-south barrier between
6 the Bass-Santa Fe producer and the majority of the
7 proration unit. And we'll be able to show you how much of
8 the proration unit is being drained by the current producer
9 and how much is being -- is not being drained.

10 And because we have a producer in the 320, we
11 don't have access to those lower Morrow reserves on the
12 remainder of our 320. And also we've discovered that there
13 are some middle Morrow reserves that we don't have in our
14 well and that we will not have access to in the remainder
15 of the proration unit.

16 Q. (By Mr. Ernest Carroll) Now, Mr. Bailey, on
17 Exhibit 1 you have shown the proposed unorthodox location
18 of Mewbourne, and it's denoted by the distances 1980 from
19 the west line and 660 from the south line of Section 35; is
20 that correct?

21 A. Correct.

22 Q. And the Mewbourne location is orthodox on its
23 measurements from the west line, but it is some 990 feet
24 unorthodox on its distance from the south line.

25 A. That's correct.

1 Q. All right. Is there any other -- You've already
2 discussed what Exhibit 1 and 2 are. Is there any other
3 testimony that you'd like to render to the Examiner with
4 respect to these two exhibits?

5 A. Well, just to set up the remainder of our
6 testimony, basically, is the only thing I would have to
7 add, and the results of our recent study have shown several
8 things.

9 Number one, that the Bass/Santa well is separated
10 from the majority of our proration unit, and thus the
11 statement by Mr. Carroll that we're going to follow up our
12 testimony today with an application for a simultaneous
13 acreage dedication;

14 that the Bass/Santa Fe well has no access to the
15 remaining portion of the 320-acre unit;

16 that if Mewbourne drills at an unorthodox
17 location, Bass will suffer a significant loss of additional
18 reserves from the lower Morrow and the middle Morrow;

19 and that a conventional production penalty will
20 have no effect on the loss of correlative rights to Bass
21 and Santa Fe;

22 and that now Bass will file an application for a
23 simultaneous dedication, which will include all proper
24 information and notice requirements, and our testimony
25 today will be consolidated with that new application.

1 Both Bass's second well in its proration unit and
2 Mewbourne's well can be drilled at orthodox locations, and
3 their respective 320-acre units will be sufficiently
4 drained.

5 And again, Bass is attempting to reach verbal
6 agreement with Mewbourne to hopefully put the wells at an
7 orthodox location. If Mewbourne -- if those discussions
8 are unsuccessful and Mewbourne continues to pursue an
9 unorthodox location, then Bass and Santa Fe will also
10 pursue an unorthodox location for its second well, which
11 would be in the northeast -- or northwest portion of our
12 proration unit.

13 Q. Now, Exhibits 1 and 2, were these exhibits
14 prepared by yourself or under your direction?

15 A. Yes.

16 MR. ERNEST CARROLL: Mr. Examiner, I'd move the
17 admission of Exhibits 1 and 2.

18 EXAMINER CATANACH: Exhibits 1 and 2 will be
19 admitted as evidence.

20 MR. ERNEST CARROLL: That concludes my
21 examination of Mr. Bailey.

22 EXAMINATION

23 BY MR. RAND CARROLL:

24 Q. Mr. Bailey, are you aware of any objections
25 submitted in response to Mewbourne's Application from the

1 owners of the west half of Section 2?

2 A. There have been none.

3 Q. Have you been in contact with the owners of the
4 west half?

5 A. A few of them, not all of them. But they just
6 made a business decision not to spend the time and the
7 effort that Bass has to pursue an opposition to Mewbourne's
8 location.

9 Q. Yeah, looking at the geologic map submitted by
10 Mewbourne with the administrative application, it looks
11 like the west half doesn't have much of the reservoir
12 located in that half-section; is that right?

13 A. I don't have their map handy, but if that's what
14 it says, you know, I --

15 MR. ERNEST CARROLL: Mr. Carroll, I think our
16 geologic interpretation, which Mr. George Hillis is going
17 to show, is actually going to change that.

18 We differ drastically from what Mewbourne
19 originally presented.

20 In fact, it stems from a basic -- the manner in
21 which Mewbourne showed the Morrow -- The Morrow sand is a
22 channel sand out in this area and has been quite
23 extensively studied and written on in the literature, and
24 Mewbourne has shown it being -- trending totally opposite
25 to what has been the thinking of the experts over the years

1 and what has been written.

2 Mr. Hillis has done a new study on it which
3 confirms all of the original thinking.

4 And quite frankly, I would suspect that -- and I
5 guess this is -- it kind of -- We think that the west half
6 probably does have significant reserves and production.

7 But the general thinking that these owners, which
8 is one of my clients, Yates Petroleum, I don't think
9 they're -- You know, they're well aware of this traditional
10 thinking which Mewbourne deviated from, and so I have not
11 talked to Yates or any of these other people as to why they
12 -- And I think that Mr. Bailey -- because I know he has
13 spoke with the individuals -- it was just one of those
14 things; we've got too many other things in the fire, it's
15 not that important to us, they just allowed it to go.

16 MR. RAND CARROLL: Have they been provided notice
17 of this Application to rescind?

18 MR. ERNEST CARROLL: They have not been provided
19 notice with respect to this Application to rescind.

20 Basically, since this was an Application arising
21 out of the original administrative application, some of
22 these matters were handled by other persons in my firm.
23 They made the decision not to. I'm not sure that that is
24 correct or not.

25 But quite frankly, I think the posture which we

1 are going to take and we are going to send out notice, I
2 think, will cure any of those problems and err on the side
3 of, I guess, notice, rather than not err on it.

4 And so that's something that will allow us -- you
5 know, as I've already indicated with the filing of the new
6 application, we'll give notice of both --

7 MR. RAND CARROLL: Okay.

8 MR. ERNEST CARROLL: -- and that way --

9 MR. RAND CARROLL: So they'll have notice of the
10 next hearing, which will --

11 MR. ERNEST CARROLL: Absolutely.

12 MR. RAND CARROLL: -- go over the same issues.

13 MR. ERNEST CARROLL: We'll go over the same
14 matters.

15 MR. RAND CARROLL: Okay.

16 MR. ERNEST CARROLL: And it's just -- In that
17 sense, my thought was to be conservative and err on that,
18 and then we'll see what happens.

19 MR. RAND CARROLL: Okay.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Bailey, was Bass's original decision to
23 object to the Application; is that correct?

24 A. Correct.

25 Q. Okay. And what's your understanding of your

1 objection letter or why it was rejected or --

2 A. Our objection letter?

3 Q. Yeah, to the original application. You filed a
4 letter of objection, and I guess what Mr. Stogner
5 determined was that it was too late, it wasn't within the
6 20-day --

7 THE WITNESS: Do you want to answer that or --

8 MR. ERNEST CARROLL: Mr. Catanach, what --
9 Apparently there's a lot of uncertainties as to what
10 actually transpired. It was during the Christmas holidays.
11 I think the end of the objection period would have been the
12 25th or the 26th of December.

13 A letter was mailed, and the postmark which was
14 on the letter or the envelope that Mr. Stogner had showed
15 that this letter was postmarked well within the time that
16 normally it should have gotten here and an objection should
17 have arrived.

18 But Santa Fe mails are not always dependable, and
19 I guess at Christmas time it even got more undependable.

20 MR. RAND CARROLL: We'll take administrative
21 notice of that.

22 MR. ERNEST CARROLL: There was some -- You know,
23 even all the court systems allow, you know, three days.
24 Well, this was much longer than three days.

25 And there was some thoughts that there was a fax

1 notice, but memories were deleted in our fax machine, and
2 we just -- Because of a lot of things we just were unable
3 and without proof.

4 I will say that the position and the letter that
5 Mr. Carroll wrote, I think, is the correct and legal
6 position with respect to administrative hearings.

7 The Commission is not obligated to render a
8 decision under these administrative positions, and I think
9 it has the power, in the interest of protection of
10 correlative rights, to -- when it becomes notice and -- and
11 because the time period and the -- was so quickly after the
12 -- there was efforts well within the time frame where we
13 did try to get this as proved by the date stamp, the
14 postmark on the letter, that this Commission should
15 exercise its discretion and allow this protest to go on,
16 because it -- You know, it does an injustice to the
17 administrative, I think, whole thought or concept.

18 The administrative procedures are there to allow
19 a lessening of the workload of the OCD, and so hopefully we
20 get the more important matters that do need attention to
21 and a decision made because there's contesting powers,
22 allow these things to -- smoothly.

23 But when something like this occurs, the
24 Commission needs to be very, I think, liberal in allowing
25 contests like this, and -- so that complaints won't be made

1 and a movement will be made to do away with administrative
2 procedures.

3 I think that's the risk if you don't allow this
4 kind of matter, and I think the evidence is that we did
5 attempt within the period to render the objection. I don't
6 think there's any prejudice that could come to Mewbourne
7 because of allowing this hearing and allowing us to present
8 the evidence. So...

9 Frankly, we're in total agreement with the letter
10 that Mr. Carroll wrote, and we have elected to proceed on
11 the basis of those representations made with respect to
12 what we ought to -- our burden of proof.

13 And I'm fully in agreement with what Mr. Carroll
14 said. Under the circumstances, normally Mewbourne would
15 have had the burden. I think we have the burden, and I
16 think that's only fair. And we -- That's why we've come
17 and have brought our witnesses and are quite willing to
18 accept that burden under the circumstances, and we'll
19 proceed with that letter and the guidelines that Mr.
20 Carroll established for us.

21 EXAMINER CATANACH: Okay, thank you, Mr. Carroll.
22 I just thought it was helpful to get some of that on the
23 record.

24 MR. ERNEST CARROLL: That's fine, I appreciate
25 that.

1 EXAMINER CATANACH: Mr. Carr?

2 MR. CARR: Mr. Catanach, you know our position is
3 not necessarily in accord with what was stated by Mr. Ernie
4 Carroll.

5 We are, however, going to try to settle these
6 issues. But you understand that we believe that it is the
7 burden of the person who is objecting to have that
8 objection here. I hope we don't have to argue that at some
9 point later.

10 THE WITNESS: There's just one other thing I
11 would mention about the administrative application that was
12 filed by Mewbourne, is that we plan to present additional
13 comments about that that shows that according to the map
14 that even they sent in, that an orthodox location could
15 have been drilled to obtain economic results from that
16 lower Morrow sand.

17 EXAMINER CATANACH: Mr. Carr, did you have any
18 questions of this witness?

19 MR. CARR: No, I did not.

20 EXAMINER CATANACH: Okay, I don't have anything.
21 This witness may be excused.

22 MR. ERNEST CARROLL: Thank you. We would next
23 call Mr. George Hillis.

24 MR. ERNEST CARROLL: May I proceed?

25 EXAMINER CATANACH: Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

GEORGE A. HILLIS,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. ERNEST CARROLL:

Q. Would you please state your full name, occupation, and place of employment for the record?

A. My name is George A. Hillis. I'm a Division geologist with Bass Enterprises Production Company of Forth Worth, Texas.

Q. Mr. Hillis, have you had an occasion to testify before the Oil Conservation Division of New Mexico and have your credentials as an expert in the field of petroleum geology accepted?

A. Yes, I have.

Q. And, in fact, you have also, as Exhibit Number 3, prepared a short biographical sketch of your education and training, have you not?

A. Yes, I have.

Q. And Mr. Hillis, are you presently familiar with both the Application of Mewbourne for an unorthodox location in Section 35 and Bass and Santa Fe's objection to that unorthodox location?

A. Yes, I am.

Q. Mr. Examiner, I would tender Mr. Hillis as an

1 expert in the field of petroleum geology.

2 EXAMINER CATANACH: Mr. Hillis is so qualified.

3 Q. (By Mr. Ernest Carroll) All right. Mr. Hillis,
4 I apologize but my voice is going to fail fairly quickly if
5 I'm not careful. I'm going to allow you to do most of the
6 talking as we go through your exhibits here, just to keep
7 from being interrupted by that, by my cough.

8 First of all, you have prepared a number of
9 exhibits for presentation, have you not?

10 A. Yes, I have.

11 Q. Let's begin with Exhibit Number 4, and if you
12 would identify the exhibit, explain its significance to the
13 case of both Mewbourne and the opposition of Bass in Santa
14 Fe.

15 A. Exhibit 4 is a copy of the map that Mewbourne
16 previously forwarded to the NMOCD and also to BEPCo. And
17 its description, it's an isopach map of the lower Morrow
18 gross sand. Mewbourne referred to it as the orange sand.

19 And essentially, their map shows three west-to-
20 east trending sandbodies and, in addition, shows proposed
21 unorthodox location, 660 from the south, 1980 from the west
22 of Section 35, and also two orthodox locations in the south
23 half of the proration unit.

24 Q. Now, Mr. Hillis, I note that within the area
25 where the unorthodox Mewbourne location is proposed, they

1 show it on this isopach as being in an area of 40 foot of
2 sand in the lower Morrow?

3 A. That's correct.

4 Q. Have you, in your study of this area, been able
5 to find any data point which supports 40 foot of sand being
6 at anywhere on this map?

7 A. No, I have not.

8 Q. Now also, Mr. Hillis, basically how they have
9 shown or drawn this Morrow sand, this channel sand of the
10 Morrow, do you agree with how that is being depicted, and
11 is that depiction consistent with writers who have studied
12 this area in the past?

13 A. It is not consistent.

14 Q. Okay. Is there anything else that you would like
15 to point out at this time with respect to Exhibit Number 4?

16 A. No.

17 Q. All right. Would you identify what Exhibit
18 Number 5 is and the significance with respect to the issues
19 before this Examiner?

20 A. Exhibit 5 is also from the Mewbourne Application
21 to the NMOCD and to BEPCo for the unorthodox drill-site
22 recommendation. And on it, I've highlighted several points
23 Mewbourne did make in its description.

24 One, they acknowledged the lower Morrow sand
25 thereafter to be a channel sand.

1 They do show that they have -- or claim to have
2 40 feet of this sand at the proposed unorthodox location.

3 And they also claim that at the orthodox
4 locations in the south half of the proration unit, which
5 will have 28 to 32 feet of sand, that these would not allow
6 for an economic venture.

7 Referring back to Exhibit 4, the average
8 thickness of the lower Morrow sand on Mewbourne's map is 18
9 feet. And as I just testified, there are no wells on that
10 map with over 40 feet of sand.

11 Interesting to point out also on their map, they
12 do have another unorthodox location in the southwest of the
13 southwest quarter of Section 35, which also would have 40
14 feet of sand, but they have not pursued that location at
15 this time.

16 Q. Are there any other matters you'd like to call to
17 the attention of the Examiner with respect to Exhibit 5?

18 A. The only other comment I would make between
19 Exhibits 4 and 5, if Mewbourne's claim that they need to
20 have over 20 feet of sand is correct, then by their own map
21 only 25 percent, the south quarter of their proration unit,
22 is productive from that sand.

23 Q. Ad this point, I would also like for you to point
24 out that on Exhibit 4 there appears to be in the northern
25 half of the proration unit for the Mewbourne well, there

1 appears to be a lower Morrow sand producer. Would you
2 describe that for the Examiner so that it will be in his
3 mind and brought to his attention? Because I think it's
4 very relevant to understand that throughout the rest of
5 your testimony.

6 A. I don't have the initial production data that
7 well had. I can get it here in a moment. But the well in
8 question in the north half of -- or the northwest quarter
9 of 35, was drilled by Anadarko. It's called the "AA"
10 Number 1, and it did produce approximately one-half of a
11 BCF from the lower Morrow sand. So there already has been
12 production from this reservoir on the proration unit.

13 Q. All right. Would you next turn to Exhibit 6, and
14 again would you identify what Exhibit 6 is and then discuss
15 its significance with respect to the Mewbourne Application
16 and the opposition presented by Bass and Santa Fe?

17 A. Exhibit 6 is a production map for both the lower
18 Morrow, which Mewbourne has applied for, and also for
19 another reservoir in this area within the Morrow; we call
20 it the middle Morrow. The production cumulatives are
21 through July of 1996, and the current well deliverability
22 is in the parentheses from July, 1996. The orange color is
23 for the lower Morrow, the yellow color is for the middle
24 Morrow.

25 Just as we previously testified, on the west half

1 of 35, as you can see, the lower Morrow did produce close
2 to half of a BCF already from the lower Morrow sand.

3 And the other thing I'd like to bring out here,
4 there's a large absence of large yellow circles in the
5 subject area of Section 35 or Section 2 at this time. And
6 to Bass, that is a very lucrative reservoir target that we
7 cannot access currently on our own proration unit.

8 Over to the east, part of the map where the
9 middle Morrow has produced a little bit better controlled
10 development of the channel over there, four of those wells
11 to date have produced 3.3 BCF, plus 34,000 barrels of
12 condensate per well, and they are all still active.

13 We will show later in our testimony that both
14 Bass's position in the east half of Section 2 and Mewbourne
15 in the west half of 35 do have potential in this middle
16 Morrow reservoir, but to my knowledge Mewbourne did not
17 address this reservoir in their Application.

18 Q. Is there anything else you'd like to point out to
19 the Examiner's attention with respect to your Exhibit 6?

20 A. No.

21 Q. All right. If you would, then, turn to Exhibit
22 Number 7 and again identify what this -- And this is a
23 group of different pages. If you would identify what they
24 are and then discuss its significance with respect to Bass
25 and Santa Fe's application.

1 A. You might want to also, in addition to Exhibit 7,
2 go back to the Mewbourne map, Exhibit Number 4, and this
3 basically goes back to Mewbourne's claim that 28 feet of
4 sand, which they would encounter at their orthodox
5 location, would be uneconomic.

6 And we have looked at four of the lower Morrow
7 producers within the area of Mewbourne's map. The location
8 is listed in Exhibit 7 on the left-hand side. All of these
9 have been confined to the lower Morrow reservoir.

10 The average thickness of the lower Morrow in
11 those four wells, by Mewbourne's map, would be 24.5 feet,
12 and the average expected ultimate recovery from those four
13 wells from the lower Morrow would be 3.05 BCF plus 22.3
14 thousand barrels of condensate.

15 In effect, 24.5 feet of sand by Mewbourne would
16 deliver a 3-BCF well which, to me, is clearly economic.

17 And the rest of Exhibit 7 gives the log
18 attachments for each of those wells, showing the lower
19 Morrow pay.

20 And we'll get into, perhaps a little bit later in
21 the testimony, each of these logs also show how BEPCo
22 counts the sand thickness for our mapping purposes here of
23 the lower Morrow, versus how we believe Mewbourne, shown on
24 the gamma-ray log on each well, makes their count of the
25 sand. And we'll see that BEPCO's relationship of net sand

1 count to reservoir porosity development is a lot more in
2 agreement than Mewbourne's.

3 Q. All right. Is there anything else that you'd
4 like to bring to the attention of the Examiner with respect
5 to Exhibit 7?

6 A. Just the one point that if -- that there are two
7 orthodox locations in the north half of the southwest
8 quarter of Section 35. Those two locations by Mewbourne
9 would have 28 and 32 feet of sand, and based on the
10 production from wells with less than that thickness it
11 would be around 3 BCF per location there.

12 Q. All right. If you would, I think you could
13 probably discuss both Exhibits 8 and 9 together. If you
14 would identify each one and then discuss the significance
15 of the matters contained therein.

16 Q. Okay. Exhibits 8 and 9 are both literature. I
17 have the original books with me if we need to see them.

18 The first one, Exhibit 8, is authored by A.D.
19 James, and the study that he did was published in the
20 *American Association of Petroleum Geologists Bulletin* in
21 July of 1985 and the year before in the *AAPG Southwest*
22 *Section Transactions*.

23 And the main crux of this gentleman's paper is,
24 one, it's from the immediate area that is being contested
25 here, concludes in a regional study that the lower Morrow

1 sandstone through here has a northwest source and trends to
2 the southeast, generally normally to the Morrow paleoslope.

3 And page 1046 of the article shows this north-to-
4 south trend through the area. And also the next page,
5 1047, demonstrates a structure map on top of the lower
6 Morrow, which, with the arrows, is showing the general
7 direction of the channels as they come from the northwest
8 to the southeast.

9 Exhibit 9 authored by myself back in 1985, and it
10 was published in the *Southwest Section of the AAPG*
11 *Transactions* at that time. And on the second page I've
12 underlined of that article, our regional study to the south
13 of this area, which also confirms this northwest-to-
14 southeast channel trend for the lower Morrow.

15 This obviously is industry's and BEPCo's
16 interpretation of the Morrow, and there's obviously a
17 conflict to Mewbourne, who are showing three -- on their
18 map, three west-to-east-trending channel sands.

19 Q. Anything else with respect to Exhibits 8 and 9?

20 A. No.

21 Q. All right. If you would, then, turn to Exhibit
22 10, and again, if you would identify the exhibit first of
23 all, then explain its significance.

24 A. Exhibit 10 is a reinterpretation of the well data
25 that Mewbourne have presented. And the red contours are

1 the reinterpretation made by myself. The base below the
2 black reflects Mewbourne's contours which we entered
3 earlier as Mewbourne's Exhibit Number 4.

4 What I've done here, I've taken the well data
5 that Mewbourne posted each well and have contoured it by
6 the method accepted by industry and BEPCo on how these
7 channels run regionally across this area.

8 An interesting point to look at here, the fact, I
9 think I mentioned earlier, that Mewbourne have not pursued
10 an unorthodox location in the southwest of the southwest
11 quarter of 35. By this reinterpretation, that effectively
12 would be a dry hole.

13 Their orthodox location of the northwest of the
14 southwest quarter and also the orthodox location in the
15 southwest of the northwest would effectively be dry holes.

16 And the main thing to observe is that the
17 proposed unorthodox location and the nearest orthodox
18 location, 990 feet to the south, would essentially end up
19 with the same thickness of sand at each location.

20 One thing in common to Mewbourne's interpretation
21 and BEPCo's interpretation of that data is that, at the
22 very best, 50 percent of this proration unit is productive
23 from the lower Morrow. And as we mentioned earlier, the
24 Anadarko well in the north half of the proration unit has
25 already produced close to half of a BCF of the production

1 from that proration unit.

2 Q. With respect to the question that Mr. Carroll
3 posed about what might -- Your reinterpretation of data
4 shows that, quite frankly, there may be a location in the
5 west half of Section 2?

6 A. Very much so. I feel there's a little bit more
7 geological risk on the north, especially the northwest part
8 of Section 2, but there is tremendous potential in the
9 southern part of that proration unit. And we have, at
10 Bass, and continue to, pursue farmout agreements from those
11 operators.

12 Q. In fact, this has been a continual effort by
13 Bass, even predating the application by Mewbourne?

14 A. That's correct.

15 Q. Is there anything else that you'd like to point
16 out with respect to this Exhibit Number 10?

17 A. The only thing, to touch back on a question to
18 the land testimony on the response from the owners of the
19 west half of 2, it was my understanding that the west half
20 of 2, that was just part of a larger lease that continues
21 south. It's very broken up. I believe Arco is the
22 operator, with around 40 percent, and many other owners.
23 And -- Just the same way, it's very hard to get a response
24 for farmout requests from them. I really could understand
25 why they didn't make an objection originally to the

1 Mewbourne location.

2 Q. All right. If you would, then, turn to Exhibit
3 11, and again, if you would identify the exhibit and then
4 discuss its significance.

5 A. Exhibit 11 is a structure map on top of the lower
6 Morrow. It's the base of the middle Morrow massive shale.
7 It's approximately a level in the wellbore 60 feet above
8 this lower Morrow reservoir. It depicts very well the
9 structure of that lower Morrow reservoir.

10 Several critical things to point out here. We're
11 showing in the east half of our Section 2, the Bass Turkey
12 Track State Com 2 Number 1 is essentially in a fault wedge
13 through here.

14 The Merchant Number 2, drilled by Bass in the
15 west half of Number 1, is also, we'll see later, towards
16 the edge of the lower Morrow channel and has a permeability
17 barrier to the faulting just to the west of it. That
18 actually is the well that made us go back and question what
19 was going on here.

20 Originally we drilled the 2 Number 1 with Santa
21 Fe. We had 30-some feet of reservoir conditions. The well
22 came on around 10 million a day, best well in the area
23 ever. We were all very excited.

24 And we drilled the offset, the Merchant Number 2.
25 The sand thinned, but we still have a correlative sand to

1 our 2 Number 1 well. We dropped the van gun, a natural
2 completion, for over 2 million a day. We shut the well in.
3 We came back a week later to hook up the gas line and run a
4 four-point, and the well literally depleted on the four-
5 point.

6 That made us to go back and realize this Morrow
7 reservoir was segmented. We went back and QC'd some
8 seismic in this area. There is a Devonian fault running in
9 a general west -- north-to-south direction through here.
10 And it's our interpretation that that is a weak point which
11 has been reactivated post-deposition of the Morrow.

12 As this was all going on, we realized that our
13 10-million-a-day well, which we felt was going to be like a
14 6 or 7 BCF gas well in the lower Morrow, started to reduce
15 from that 10 million. It's currently making 1.5 to 2
16 million a day. It looks like it's going to be a 2- to 2.5-
17 BCF well.

18 In the engineering testimony we will see that
19 when we drilled both the 2-1 and the Merchant Number 2,
20 both these wells came in with virgin pressure.

21 However, other wells in this lower Morrow channel
22 have reflected drainage. Specifically, we'll see in the
23 engineering testimony, to the south and the east half of
24 Section 11, that well came in with over 1000 pounds with
25 just bottomhole pressure when it was drilled two or three

1 years ago. And a well in the northwest quarter of Section
2 3 of 19 South, 28 East, also came in with reduced
3 bottomhole pressure.

4 The fact that our wells come in with the virgin
5 pressure confirms that we had a fault problem here.

6 We also were able to align the fault going south
7 with wells in Section 12. The well in Section 12 of the
8 northeast has a subsea of minus 7611. The lower Morrow
9 sand in that well is wet. Yet in the southwest quarter of
10 Section 12, downdip, and the north half of Section 13,
11 again downdip from the wet well in the lower Morrow, those
12 are both gas producers from the lower Morrow, which further
13 confirms the permeability barrier evident in the area.

14 This permeability barrier will also affect the
15 middle Morrow. We currently do not have any middle Morrow
16 reservoir we can access in our Turkey Track 2 Number 1
17 well. We will see from our mapping on the middle Morrow
18 that there is a large amount of gas reserves within our
19 proration unit from the middle Morrow, as well as the lower
20 Morrow, which we just cannot access. Right now we can only
21 access approximately 25 percent of the reserves in the
22 lower Morrow on our proration unit.

23 Q. All right. Is there anything else that you'd
24 like to discuss with respect to Exhibit 11?

25 A. No.

1 Q. All right. If you will then identify what
2 Exhibit 12 is and discuss its significance.

3 A. Exhibit 12 actually folds out. This is one of
4 our methods for refining our mapping methods to determine
5 which -- where the channels are, which may contain the
6 lower Morrow reservoir. And the log on the right-hand side
7 of the exhibit, the number 11, shows that isopach interval
8 from the top of the lower Morrow to a Barnett marker and
9 shows the lower Morrow reservoir within that interval.

10 On the left-hand side, that's a contour or
11 isopach of that interval, and this reflects for us the
12 channels which we'll have an opportunity to see lower
13 Morrow sand being deposited.

14 And as you can see, the east half of Section 2,
15 Bass's proration unit, is sitting right in the heart of
16 that channel, as is the east half of Section 35, whereas
17 the west half of 35 shows to be on the western side of the
18 channel. And we find, as we shall see later in other
19 isopachs, that we can confirm the age of the reservoir
20 being in the west half of Section 35.

21 Q. All right. Anything else with respect to Exhibit
22 12?

23 A. No.

24 Q. All right. If you would then turn to Exhibit 13,
25 identify what this exhibit is and then discuss its

1 significance.

2 A. Exhibit 13 is a crossplot of porosity thickness
3 over 3 1/2 percent, plotted against net sand thickness in
4 feet. And I mentioned earlier from the log examples were
5 -- how Bass using a normalized gamma ray made a sand count
6 to map the sand in the lower Morrow, whereas Mewbourne used
7 what appears to be an unnormalized and a far higher gamma
8 ray count, which includes a lot of rock which has got zero
9 porosity.

10 BEPCO's numbers are shown in the green dots here
11 to show the relationship we have between how we map the net
12 sand of the lower Morrow and reservoir conditions.

13 Mewbourne's data for the study area are shown
14 with the X's, and it shows a lot of a wide scatter through
15 there.

16 So I do believe that the method that we map our
17 net clean sand in the lower Morrow is a lot more
18 illustrative of where the sands are running.

19 Q. All right, anything further with respect to that
20 exhibit?

21 A. No.

22 Q. All right. If you would again turn to Exhibit
23 14, identify that exhibit and discuss its significance.

24 A. Okay. Exhibit 14 is an isopach map of the net
25 clean sand for this lower Morrow, and it depicts the lower

1 Morrow reservoir channels that I've mentioned from that
2 previous isopach.

3 These channels, as we mentioned before, conform
4 to industry's interpretation and mapping methods,
5 documented in the literature, for the lower Morrow
6 reservoir through this area, the north-to-south, northwest-
7 to-southeast regional trends.

8 The one thing this also shows is that the west
9 half of 32 is on the edge of this lower Morrow channel.
10 And by my interpretation, 25-percent-plus is only
11 productive from the lower Morrow.

12 It also shows that Mewbourne's proposed
13 unorthodox location, the sand thickness there will be very
14 similar to the sand thickness they would encounter at the
15 nearest orthodox location, located 990 feet to the north.

16 It also shows that their other two remaining
17 orthodox locations would have no sand reservoir
18 development. And although I did not mark it on here, the
19 other unorthodox location on the southwest quarter of
20 Section 35, which by Mewbourne would have 40 feet of sand,
21 would also be effectively a dry hole if they drilled it.

22 It also shows what I touched on with the
23 structure map. There is a lot of this reservoir within the
24 east half of Section 2 and also where we pursuing farmouts
25 in the west half of Section 2, especially in the southern

1 part of that proration unit.

2 And as I mentioned earlier, because of the fault
3 segmentation, keeping our reserves, 75 percent of our
4 proration unit we cannot access currently wit the existing
5 wellbore. So thereby, without an additional wellbore, if
6 Mewbourne were granted their location, we would suffer a
7 lot of drainage, unless we had a second borehole to access
8 those reserves at the same time.

9 Q. Anything further with this exhibit?

10 A. No.

11 Q. All right. If you would turn to Exhibit 15 and
12 again identify it and then discuss its significance.

13 A. Exhibit 15 is to quantify the lower Morrow
14 reservoir for engineering studies and also help pick the
15 sweet spots in the sand also. And the map on the left-hand
16 side is an isopach of the porosity H within the lower
17 Morrow reservoir. And the map on the right is the
18 thickness over 3.5-percent porosity in the lower Morrow
19 reservoir.

20 And these basically demonstrate what we just
21 looked at on the previous exhibit of the net clean sand
22 isopach, that the west half of 35 is very poor development
23 of the lower Morrow reservoir, and the east half of Section
24 2 has very good potential which, as I testified, we cannot
25 access approximately 75 percent of at this time.

1 Q. Anything else with respect to Exhibit 15?

2 A. No.

3 Q. All right. If you would identify Exhibit 16 and
4 discuss its significance.

5 A. Exhibit 16 is a north-south cross-section. The
6 index map on the right-hand side is taken from the previous
7 exhibit, the lower Morrow sand porosity H map. The well
8 log at the A prime end on the right-hand side is the BEPCO
9 Turkey Track 2 State Com Number 1 well in the east half of
10 Section 2 which we've been discussing.

11 As we go northward we show both the proposed
12 unorthodox location of Mewbourne's and the orthodox
13 location they will have 990 feet to the north. This shows,
14 as we have testified, both these locations would
15 essentially have the same thickness of lower Morrow
16 reservoir.

17 And the well we mentioned earlier on the
18 testimony, existing already in the proration unit in the
19 northwest quarter of Section 35, the Anadarko "AA" State
20 Number 1, we show where that reservoir is starting to thin
21 out.

22 And of interest, the log at the extreme left-hand
23 side of this cross-section is also from the Anadarko "AA"
24 State Number 1. This was the original hole that was
25 drilled, and the log taken of that at the location of 1980

1 feet from the north and west line. And if you look at the
2 lower Morrow in that wellbore, it's essentially gone.
3 There's one foot with around 5- or 6-percent porosity.

4 What happened in this well, after logging this
5 well and trying to set pipe, the pipe fell and corkscrewed
6 on Anadarko and they had to sidetrack it. And then they
7 ran the open-hole logs as we've shown them here in the
8 cross-section of the sidetrack.

9 And the sidetrack is actually -- The bottomhole
10 is 128.5 feet south and 60.5 feet east of the original
11 wellbore.

12 But what this serves to show primarily is the
13 fact that our method of describing the lower Morrow
14 reservoir through here is backed up by actual log data. We
15 have tested by the -- very little of -- The west half of 35
16 is productive from the lower Morrow, and we have two
17 wellbores in this northwest quarter that essentially show
18 this, the lower Morrow is pinching out in Section 35, in
19 the west side.

20 This is a stratigraphic cross-section. So the
21 continuity of the sand from the Turkey Track 2 Number 1 to
22 the north -- It's not structural, I've just kind of put the
23 illustration of where our permeability barrier is there due
24 to reactivation of that deep-seated fault or slumping
25 associated with the reactivation enough to displace the

1 sand and create the barrier.

2 Q. Anything else with respect to Exhibit 16?

3 A. No.

4 Q. All right. Would you turn now to your last
5 exhibit, Number 17? Would you identify that and discuss
6 its significance?

7 A. Exhibit --

8 Q. Next to the last exhibit, excuse me.

9 A. Exhibit 17 is an isopach map of the net clean
10 sand in the middle Morrow reservoir. And as I testified
11 earlier, to my knowledge Mewbourne have not addressed this
12 reservoir. But as you can see from the logs on this
13 exhibit, which are taken from the middle Morrow channel
14 through this area, this is a very lucrative target in the
15 area.

16 And if we refer back to the production map on
17 Exhibit -- let's see -- Exhibit Number 6, the middle Morrow
18 reservoir in the next channel over to the east is averaging
19 over 3 BCF and over 30,000 barrels of condensate per well
20 from wells which are still active.

21 This is a reservoir we do not have currently in
22 our wellbore in the 2 Number 1. We do not have enough
23 reservoir development. And even if we had, the
24 permeability barrier due to the reactivation of the deeper
25 faulting would prevent us accessing the majority of the

1 reserves anyway. So as of now we have no borehole in our
2 proration unit to access these reserves.

3 You will see that Mewbourne's unorthodox location
4 and their orthodox one 990 feet to the north, either of
5 these locations will access these reserves. The middle
6 Morrow should be essentially the same thickness, each
7 location. Of course, the closer they are to the southeast
8 of the proration unit, the more severe the drainage would
9 be from the proration unit of BEPCo's.

10 Q. All right, is there anything else that you would
11 like to point out to the Examiner with respect to Exhibit
12 17?

13 A. No.

14 Q. All right. Now, turning to your last exhibit,
15 which appears to be a summary of the points that you have
16 made with your previous exhibits, would you confirm that
17 and then go through and discuss Exhibit 18 for the
18 Examiner?

19 A. Exhibit 18, you're correct, is a geological
20 summary of the points I've attempted to make here today.
21 I'll just read through these quickly.

22 Number one, Mewbourne's claim in their
23 Application that 28 feet of lower Morrow reservoir or sand
24 would be uneconomic is incorrect. We have shown that 24.5
25 feet of that sand in wells from their own mapped area have

1 averaged 3.05 BCF. And also by Mewbourne's map they have
2 two orthodox locations with 28 and 32 feet of lower Morrow
3 sand, and also an additional unorthodox location with 40
4 feet of sand in the southwest of the southwest quarter that
5 they have never pursued.

6 That really leads to point number two. That
7 location will essentially have the same sand thickness as
8 they will have with this proposed unorthodox location. And
9 from BEPCo's and Santa Fe's point of view, if Mewbourne
10 wanted to take the other unorthodox location, we have no
11 problem with that. Personally, I believe they'll drill a
12 dry hole.

13 The third point, Mewbourne's interpretation of
14 this lower Morrow sand, these trends going from west to
15 east, is very much inconsistent with both BEPCo's and
16 industry's interpretation of the area.

17 Point four, BEPCo, we've been able to take their
18 own well data, Mewbourne's well data, recontour it and show
19 it to be in accordance with the regional trend recognized
20 by industry of BEPCo.

21 We have found a lot of problems in their method
22 of mapping the sand. Their thickness per well is not
23 representative of the porosity distribution in the
24 reservoir.

25 By their own interpretation, they only allow for

1 25 percent of their proration unit to be commercial in the
2 lower Morrow.

3 By our mapping, Mewbourne would encounter a
4 similar reservoir thickness at both the unorthodox
5 locations they're applying for as they would at the
6 orthodox location 990 feet to the north.

7 Mewbourne in their Application have not addressed
8 the middle Morrow reservoir, which truly, really, has
9 probably more significant reservoir potential than the
10 lower Morrow, because the lower Morrow, we'll see later, is
11 being affected by drainage, the pressure is going down in
12 the area, whereas the middle Morrow channel over here has
13 not been fully exploited yet.

14 And definitely, point nine, a ruling in favor of
15 Mewbourne would result in a severe loss of reserves, which
16 we'll quantify in our engineering testimony, to BEPCo and
17 Santa Fe from both the middle Morrow and lower Morrow. And
18 as I've pointed out and I want to stress, we cannot
19 currently access the middle Morrow reserves on our
20 proration unit, and we cannot access 75 percent of the
21 lower Morrow reserves on our proration unit without an
22 additional borehole.

23 Q. All right, and then -- I take it that, based on
24 your testimony, you feel that a proper interpretation with
25 geological data available to one studying this area, that

1 Mewbourne has an orthodox location which would allow it to
2 drain the reserves that are in place under its west half of
3 Section 35?

4 A. Even if Mewbourne would go back to their orthodox
5 location to the north of the proposed one, they will still
6 be draining reserves from off their proration unit.

7 Q. Do you feel that if the Commission required them
8 to drill their well at an orthodox location, that their
9 correlative rights would not be impaired?

10 A. Yes.

11 Q. Okay. Now, with respect to granting of an
12 unorthodox location, do you feel that such a grant would,
13 in fact, impair the correlative rights of Bass and Santa
14 Fe?

15 A. Definitely so.

16 Q. And with respect to the issue which we have
17 advised the Commission that we plan to bring before it and
18 consolidate with this, do you feel it is in the interest of
19 correlative rights and the prevention of waste to allow or
20 authorize an additional well to be drilled out on the east
21 half of Section 2 with simultaneous dedication of that
22 well?

23 A. Yes, I do.

24 MR. ERNEST CARROLL: All right. Mr. Examiner, at
25 this time I would move admission of Exhibits 3 through 18.

1 EXAMINER CATANACH: Exhibits 3 through 18 will be
2 admitted as evidence.

3 MR. ERNEST CARROLL: And I have no further
4 questions of this witness.

5 EXAMINER CATANACH: Mr. Carr?

6 MR. CARR: Mr. Catanach, I'm here today to
7 listen. We obviously have different geological
8 presentations. If there is a second phase in this case, I
9 will address these issues at that time.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Hillis, is there any geologic evidence that
13 shows the existence of that fault within the east half of
14 Section 2?

15 A. Yeah, let me go back to my structure map. One --

16 MR. ERNEST CARROLL: Could you identify --

17 THE WITNESS: Okay.

18 MR. ERNEST CARROLL: -- identify the exhibit.

19 THE WITNESS: I'm looking at Exhibit 11, which is
20 the structure map on top of the lower Morrow.

21 Q. (By Examiner Catanach) Okay.

22 A. And one thing I did not mention during my
23 testimony, we do see a fault cut, geological evidence, in
24 the Merchant Number 2 wellbore, at the very top of the
25 middle Morrow clastics section. There is a -- We go

	1	2	3	4	5	6	7	8	9	10	11	12	13	14	15	16	17	18	19	20	21	22	23	24	25	26	27	28	29	30	31	32	33	34	35	36	37	38	39	40	41	42	43	44	45	46	47	48	49	50	51	52	53	54	55	56	57	58	59	60	61	62	63	64	65	66	67	68	69	70	71	72	73	74	75	76	77	78	79	80	81	82	83	84	85	86	87	88	89	90	91	92	93	94	95	96	97	98	99	100	101	102	103	104	105	106	107	108	109	110	111	112	113	114	115	116	117	118	119	120	121	122	123	124	125	126	127	128	129	130	131	132	133	134	135	136	137	138	139	140	141	142	143	144	145	146	147	148	149	150	151	152	153	154	155	156	157	158	159	160	161	162	163	164	165	166	167	168	169	170	171	172	173	174	175	176	177	178	179	180	181	182	183	184	185	186	187	188	189	190	191	192	193	194	195	196	197	198	199	200	201	202	203	204	205	206	207	208	209	210	211	212	213	214	215	216	217	218	219	220	221	222	223	224	225	226	227	228	229	230	231	232	233	234	235	236	237	238	239	240	241	242	243	244	245	246	247	248	249	250	251	252	253	254	255	256	257	258	259	260	261	262	263	264	265	266	267	268	269	270	271	272	273	274	275	276	277	278	279	280	281	282	283	284	285	286	287	288	289	290	291	292	293	294	295	296	297	298	299	300	301	302	303	304	305	306	307	308	309	310	311	312	313	314	315	316	317	318	319	320	321	322	323	324	325	326	327	328	329	330	331	332	333	334	335	336	337	338	339	340	341	342	343	344	345	346	347	348	349	350	351	352	353	354	355	356	357	358	359	360	361	362	363	364	365	366	367	368	369	370	371	372	373	374	375	376	377	378	379	380	381	382	383	384	385	386	387	388	389	390	391	392	393	394	395	396	397	398	399	400	401	402	403	404	405	406	407	408	409	410	411	412	413	414	415	416	417	418	419	420	421	422	423	424	425	426	427	428	429	430	431	432	433	434	435	436	437	438	439	440	441	442	443	444	445	446	447	448	449	450	451	452	453	454	455	456	457	458	459	460	461	462	463	464	465	466	467	468	469	470	471	472	473	474	475	476	477	478	479	480	481	482	483	484	485	486	487	488	489	490	491	492	493	494	495	496	497	498	499	500	501	502	503	504	505	506	507	508	509	510	511	512	513	514	515	516	517	518	519	520	521	522	523	52
--	---	---	---	---	---	---	---	---	---	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	-----	----

1 downthrown, essentially, in that wellbore.

2 And in addition to that, the other evidence, if
3 you recall, was the fact that both the Merchant Number 2 in
4 the west half of 1, and the Turkey Track Number 1 in the
5 east half of 2 both come in with virgin pressure in this
6 reservoir, where -- which is around 4600 pounds -- whereas
7 if we were in true communication with the lower Morrow
8 reservoir, we'll see in our engineering testimony we should
9 have been around 3000, 3200 pounds.

10 It's kind of one of those deals where you're
11 almost happier to have the 3200 because you know you've got
12 a straw in the major continuous reservoir, versus the
13 virgin pressures.

14 We were -- Believe me, the Merchant Number 2 took
15 us for a real shock, because the sand looked good in it,
16 the initial flow rate was good, we went to hook on the
17 pipeline and, I mean, it depleted.

18 And the other thing I mentioned in my testimony,
19 when you look at the water saturations for the wells in
20 Section 12, there's two wells, the northeast quarter and
21 the southwest quarter and the well in the north half of
22 Section 13 of 19 South, 28 East.

23 The most structurally highest well of those three
24 wells in the northeast quarter of 12 is wet in the lower
25 Morrow reservoir. The downdip wells on the other side of

1 the permeability barrier or the faulting are productive
2 from the lower Morrow reservoir. That, to me, is -- Three
3 things, as well as the seismic we have looked at through
4 here, recognizing the deeper faulting.

5 If you notice, east of this fault there's a
6 regional trending -- you know, north-northwest/south-
7 southeast nose on the lower Morrow, and that's quite a
8 prominent regional feature through there, and it looks like
9 that has been reactivated after the Morrow deposition, or
10 just the reactivation has caused a slumping to break up the
11 channel into segments along the edge of it and give us
12 these long, linear-type drainage areas which we're seeing
13 in the Turkey Track 2 Number 1 well.

14 Q. How confident are you as to the fault location
15 within that east half of Section 2?

16 A. I feel pretty confident about it because, one, at
17 the southern end of it, because of the water saturation
18 changes that controls the south end of it, the Merchant
19 Number 2 -- I mean, we drilled into something that's the
20 size of this room, I guess. So we know we're very close to
21 the barrier at that point.

22 The Turkey Track 2 Number 1 came down very
23 quickly from the 10 million a day. As I say, it's now
24 around 1.5 to 2. We recognize a linear flow from it, so
25 we're very close to the barrier in that also.

1 And then purely also, just from the subsurface
2 control in the lower Morrow, just general contouring, it's
3 pretty awkward-looking if you try to contour this data
4 without recognizing the fact that you have this slumping or
5 reactivation of the fault.

6 And it dies out pretty quickly to the north, in
7 my opinion. That's where I'd have the least control, over
8 the east half of Section 35.

9 Q. You don't believe it goes much further than that?

10 A. No, I don't, because the lower Morrow production
11 from Section 26 north of there, and I believe also from the
12 east half of 35, those wells and that production from the
13 area has been responsible for a lot of the reservoir
14 pressure drawdown to the south. So we drilled a well in
15 the west part of our proration unit where we currently
16 cannot access those reserves. We would see a pressure
17 drawdown on the lower Morrow due to that production from
18 the north.

19 Q. So within the east half of Section 2, I mean,
20 this fault affects lower Morrow and middle Morrow
21 production?

22 A. It will affect both, because I wouldn't expect
23 that reactivation to have occurred until long after the
24 Morrow had been deposited, got cemented up, and it's most
25 probably a reactivation of the movement in probably early

1 Wolfcamp time.

2 Q. Is it possible that this channel sand may be
3 oriented the way that Mewbourne has it?

4 A. I don't see any way that it can be. And really
5 one part of the testimony hasn't come out, because it's in
6 the engineering part.

7 You'll see how all these wells on Mewbourne's map
8 or our production map on the lower Morrow, the orange dots
9 on Exhibit Number 6, we'll see from reservoir pressures
10 that all these wells, with the exception of the two Bass
11 wells, are in reservoir communication by pressure data.

12 So in that context, if you had three west-to-
13 east-trending sandbodies in there, I mean, they couldn't be
14 in pressure communication if they were in separate pods.
15 It's definitely a channel that links, going north to south.

16 And if I really believed Mewbourne's map and I
17 was Mewbourne, I -- to avoid any controversy, I probably
18 would have gone over to the southwest of the southwest
19 quarter of their section where they've got 40 feet of sand,
20 and -- knowing that we wouldn't have bothered them. With a
21 huge drainage area, because that's -- Going back to Exhibit
22 4, Mewbourne's map, a location in the southwest of the
23 southwest with 40 feet of sand is the best distance away
24 from the existing producers, and thus the better chance of
25 minimizing the reservoir drainage that has occurred in the

1 reservoir.

2 Q. It's your opinion that Mewbourne's well at its
3 proposed location would drain reserves from the east half
4 that you couldn't access currently?

5 A. That's correct.

6 Q. In both the lower and --

7 A. In both the and the middle Morrow, yes, sir.

8 Q. Is it possible, in your opinion, that both
9 companies can drill a standard location within their
10 proration units and be successful?

11 A. Yes, it is. Mewbourne can access both these
12 reservoirs at the orthodox location, 990 feet north of
13 their proposed unorthodox location, and we can also access
14 it in the east half of 2, unorthodox location also.

15 EXAMINATION

16 BY MR. RAND CARROLL:

17 Q. Mr. Hillis, on Exhibit Number 17 Bass has listed
18 their proposed unorthodox location. It looks like a 660
19 from the west and 660 from the north?

20 A. That's correct. On Exhibit 17, the isopach of
21 the middle Morrow, this is in response to one of the other
22 options. In other words, if the proposed unorthodox
23 location of Mewbourne's was to be granted and that well was
24 to be drilled, we would seek the simultaneous dedication
25 and we'd also seek to add an unorthodox location.

1 Q. Okay. And you just testified that both -- you
2 could drill economic wells in orthodox locations also?

3 A. Absolutely.

4 Q. Okay.

5 A. I just feel that from where the two proration
6 units meet, that if we're both an equitable distance away
7 from where those two meet, that's fine. And you can do
8 that either with these two unorthodox locations, or you can
9 do it with two orthodox locations.

10 EXAMINER CATANACH: I have nothing further.
11 Anything further?

12 MR. ERNEST CARROLL: We'd next call Terry Payne.

13 TERRY D. PAYNE,
14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. ERNEST CARROLL:

18 Q. Mr. Payne, would you state your name, permanent
19 address and place of employment for the record?

20 A. Okay, my full name is Terry Dean Payne. My place
21 of employment is with Platt, Sparks and Associates in
22 Austin, Texas, and that is where I do reside, is Austin,
23 Texas.

24 Q. All right, now what do you profession do you --
25 What profession have you got training in?

1 A. Petroleum engineering.

2 Q. All right.

3 A. I have a bachelor of science degree in petroleum
4 engineering.

5 Q. And have you had an occasion to testify before
6 the Oil Conservation Division of New Mexico and have your
7 credentials with respect to petroleum engineering accepted?

8 A. Yes, sir, I have, and they were.

9 Q. Mr. Payne, are you familiar with the Applications
10 that are now being heard by this Examiner?

11 A. Yes, sir, I am.

12 Q. And you have prepared Exhibit Number 19, which is
13 actually a -- composed of ten subparts, exhibits, for this
14 hearing, have you not?

15 A. Yes, sir, I have.

16 MR. ERNEST CARROLL: Mr. Examiner, I would tender
17 Mr. Payne as an expert in the field of petroleum
18 engineering.

19 EXAMINER CATANACH: He is so qualified.

20 Q. (By Mr. Ernest Carroll) All right, Mr. Payne,
21 would you please turn to Exhibit Number 19, and let's begin
22 first with -- There's apparently an index at the front, and
23 if you would describe that for the record so that the
24 Examiner will have in the record how you intend to use this
25 exhibit.

1. The first part of the document is a list of the names of the members of the committee who have been appointed to the various sub-committees. The names are listed in alphabetical order of the last name.

1 A. Okay. Basically, the first three exhibits, the
2 reservoir data sheets and volumetric calculations and
3 payout reserves, are designed to show that Mewbourne can
4 produce all the recoverable reserves on their tract and do
5 it economically, either with their geologic interpretation
6 or with the Bass geologic interpretation.

7 Exhibits 4 through 7 will show the impact of the
8 proposed well on Bass's tract, both from an orthodox
9 location -- it will impact it there -- and the additional
10 impact from an unorthodox location.

11 And Exhibits 8 through 10 basically are
12 conclusions from the study and what we feel is the best
13 solution to the problem.

14 Q. All right. If you would, then, let's turn to the
15 matters behind Tab 1, and if you would identify for the
16 record what this information is and then discuss its
17 significance.

18 A. Okay. Behind Tab Number 1 we have a reservoir
19 data sheet that does list some of the pertinent reservoir
20 parameters. The depth is approximately 11,000 feet, and
21 it's important to note that the initial reservoir pressure
22 was approximately 4600 pounds. Temperature and gas
23 properties are also listed.

24 And the original gas in place in our study area,
25 which is basically the channel that was seen on Mr.

1 Hillis's previous exhibits, contains approximately 45 BCF
2 of original gas in place.

3 The lines down at the bottom indicate that that
4 area has been produced by 11 wells, and to date we have
5 cumulative production of about 15 BCF. So we've recovered
6 about a third of the gas in place to date.

7 Q. Now, the reserves of 45 BCF that you show here,
8 would that be in the lower Morrow only or be a combination
9 of the middle and lower?

10 A. That's lower Morrow only.

11 Q. All right.

12 A. That's an important distinction.

13 Q. Now, in your opinion, does a significant amount
14 of this unproduced reserves exist on Bass acreage in
15 Section 2?

16 A. Yes, it does. In fact, the west half -- east
17 half of Section 2, Bass's acreage, originally had over 8
18 BCF in place. So that is a significant portion of that
19 total.

20 Q. Is there anything else that you'd like to point
21 out to the Examiner's attention with respect to the matters
22 under Tab 1?

23 A. I think that's it.

24 Q. All right. Let's go to Tab 2, and again there's
25 several pages here. If you would identify for the record

1 each page as you discuss it and then discuss the
2 significance?

3 A. Okay, basically I'm going to be referring back to
4 four of Mr. Hillis's exhibits that will be helpful to have
5 in front of us, and those are Exhibits 4, which was the
6 original Mewbourne map -- and I'll just list them all. It
7 will be 4, 7, 14 and 17.

8 And you may already have it. The one that this
9 exhibit pertains to is Exhibit 14, which is the Bass
10 interpretation of the geology.

11 And basically what we're showing here is for the
12 west half of Section 35, which currently has the Turkey
13 Track 2 Number 1 producing on it, and using the Bass
14 geologic interpretation, as shown up in the red highlighted
15 portion of Tab 2, we're showing the gas in place originally
16 on the west half of Section 35 -- I'm sorry, I said the
17 Turkey Track 2; I actually meant the "AA" Number 1. So
18 it's Mewbourne's operated west half of Section 35.

19 With the Bass geology, if you look down at the
20 bottom of this first page here, we have original gas in
21 place of 1.47 BCF. That's the fourth line from the bottom.
22 Again, that's using the Bass geology, the initial reservoir
23 pressure and other information that came from the reservoir
24 data sheet in calculating from a volumetric standpoint the
25 original gas in place.

1 Of that 1.47, a little over 1.1 is recoverable.
2 As we mentioned before, the "AA" Number 1 has already
3 produced from that proration unit, and it has produced
4 approximately .44 BCF. So the remaining recoverable gas on
5 the west half of Section 35 is .7 BCF, seven-tenths of a
6 BCF. And again, that's lower Morrow only, using the Bass
7 geologic interpretation.

8 EXAMINER CATANACH: This would be for the west
9 half of Section 35?

10 THE WITNESS: That's correct, west half of 35.
11 So there's .7 of a BCF in the remaining
12 recoverable.

13 If we turn to the page just behind that -- and
14 this exhibit relates back to Mr. Hillis's Exhibit 4, which
15 is the Mewbourne interpretation of the geology -- again,
16 we're still looking at the west half of Section 35, and up
17 in the red-highlighted section at the top of the page it
18 does specify Mewbourne geology, west half of Section 35.

19 And we go through the same exercise here, but
20 obviously their volumetric interpretation is much
21 different. Their original gas in place is 4.63 BCF. The
22 original recoverable gas is just over 3.5. Again, the "AA"
23 Number 1 produced about .4 BCF.

24 So their remaining recoverable gas on their
25 tract, using their geology, is approximately 3 BCF.

1 Now, again, if we look back at Mr. Hillis's
2 Exhibit 7, that referred to the four closest lower Morrow
3 producers to their proposed location. He showed that with
4 their interpretation of 24.5 feet, that those wells could
5 be expected to produce 3 BCF.

6 So that's from an orthodox location; a well that
7 achieves the sand thickness that Mewbourne's map has at the
8 orthodox location could be expected to produce about 3 BCF,
9 and that is almost exactly what is recoverable on their
10 tract.

11 So that is the basis for our conclusion that at
12 an orthodox location, Mewbourne's well could be expected to
13 produce all the recoverable reserves on their tract. They
14 don't need the unorthodox location to afford them the
15 opportunity to recover those reserves.

16 Q. (By Mr. Ernest Carroll) So Mr. Payne, what
17 you're saying is, this last column on the second page of
18 Tab 2 where it says "Remaining Recoverable Gas, 3.13 BCF",
19 you're saying and telling the Examiner that a well at an
20 orthodox location on the west half of Section 35 would
21 recover those reserves?

22 A. That's correct. And that's based on the
23 production from the analogy wells that had similar sand
24 thicknesses. We have seen that those wells are going to
25 recover in excess of 3 BCF, and that is approximately what

1 is remaining recoverable on Mewbourne's tract. So at an
2 orthodox location they would be able to recover those
3 reserves.

4 The impact, of course, of moving to an unorthodox
5 location is simply to drain more reserves off of someone
6 else's tract, not just -- It will not help them recover the
7 reserves on their tract; it will just increase the
8 drainage.

9 Q. All right. So in your opinion, moving to an
10 unorthodox location will not aid them in obtaining reserves
11 that are in place under the west half of Section 35?

12 A. That's correct. In fact, it would be a less
13 efficient place to recover those reserves from. The best
14 place would be an orthodox location to recover the reserves
15 on their tract.

16 Q. Based on the geology that Mr. Hillis presented
17 earlier, showing where the actual reservoir lies on Section
18 35?

19 A. That's correct.

20 Q. Okay. If you would discuss, then, the third page
21 behind Tab 2.

22 A. Okay, the third page, we shift from the lower
23 Morrow up to the middle Morrow, and again, that's displayed
24 in the red-highlighted section up at the top of the page,
25 "Turkey Track North (Morrow) - Middle".

1 And again, it's important to recognize that this
2 zone can be produced concurrently with the lower Morrow in
3 the proposed Mewbourne well. They can access both zones
4 simultaneously. We cannot do that in our Turkey Track
5 well.

6 So these reserves here -- and we are focusing on
7 the east half of Section 2, which is the Bass-operated
8 tract, east half of Section 2, and we show here -- and if
9 we need to, this refers back to Mr. Hillis's Exhibit 17,
10 his isopach map of the middle Morrow.

11 It is summarized down at the bottom of the page
12 that on the Bass-operated tract we have approximately 2.9
13 BCF of gas originally in place. Of that gas, 2.2 is
14 recoverable. In dollar terms, that's approximately \$4.5
15 million. So there's a significant quantity of recoverable
16 gas on that tract that we cannot access with our well, the
17 Turkey Track 2 Number 1.

18 Any well that's drilled, either orthodox or
19 unorthodox, in the Mewbourne tract is going to be able to
20 access those reserves. And it will without a doubt drain
21 them from our tract.

22 Q. So the purpose of this page under Tab 2 was to
23 show basically the value of the gas in place, the amount of
24 recoverable gas, on Bass's Section -- east half of Section
25 2, which it currently is unable to access?

1 A. That's correct. And I apologize, these exhibits
2 should be labeled more clearly. This one should definitely
3 have east half of Section 2 on the top. They're not as
4 clear as they should be. But this is the Bass-operated
5 tract.

6 I did not prepare an exhibit for the Mewbourne-
7 operated west half of Section 2. However, using Mr.
8 Hillis's map, I did make some estimates last night of the
9 gas in place on their tract and what would be recoverable.

10 Q. And what are they?

11 A. Well, I'd like to offer those numbers. The
12 original gas in place on Mewbourne's west half of Section
13 35 is about 1.2 BCF of gas in place. Of that, about .9 of
14 a BCF would be recoverable. And as he shows on his Exhibit
15 17, either point, orthodox or unorthodox, would give him
16 approximately the same sand thickness.

17 So they would be capable of recovering those
18 reserves from an orthodox location.

19 Q. If you would, then -- Is there anything further
20 that you need to discuss with respect to the matters under
21 Tab 2?

22 A. I think that's it. We might just summarize them
23 again, that using Bass's interpretation, in the lower
24 Morrow, on Mewbourne's tract there's .7 of a BCF remaining
25 recoverable, in the middle Morrow there's .9 of a BCF

1 remaining recoverable.

2 So in the two zones combined, which they can
3 produce them simultaneously, there's 1.6 BCF of recoverable
4 reserves on their tract. And as we'll show with our next
5 tab, that's definitely a commercial well. And those
6 reserves can be recovered from an orthodox location.

7 Q. Okay. If you would, then, describe the matters
8 under Tab 3.

9 A. Okay. Tab 3 is a very simple calculation showing
10 what magnitude of reserves are required to pay these wells
11 out. It's an undiscounted look at a simple payout. It
12 assumes, number one, that an operator would like to have a
13 three-year payout for a well like this, and so we're
14 considering three years of operating costs.

15 The completion -- drilling and completion cost is
16 \$695,000, and that's the actual costs for Bass's Turkey
17 Track 2 Number 1 well that was drilled in December of 1995,
18 so we feel that those are good representative costs,
19 operating costs of \$1000 a month. We put in some severance
20 and *ad valorem* taxes, the net revenue interest, and we've
21 assumed a gas price of \$1.90.

22 And using those parameters, we have payout
23 reserves of 494 million cubic feet. So approximately half
24 a BCF is what's required to pay these wells out.

25 Obviously with 1.6 BCF recoverable on Mewbourne's

1 tract, that's three times that volume, and that's certainly
2 a commercial venture, particularly considering the high
3 initial rate that these wells come in at. They're capable
4 of paying out very quickly.

5 Q. Okay. Would you now discuss the matters under
6 Tab 4?

7 A. Okay. Again, Tabs 1 through 3 were designed to
8 show that Mewbourne can recover their reserves from an
9 orthodox location. We've defined what the recoverable
10 reserves were and showed you could do that.

11 What we were concerned about at this point is,
12 what is the impact of moving their well to an unorthodox
13 location on the Bass tract?

14 To do that, we set up a computer simulation model
15 of the Turkey Track North Morrow field area. Again, if we
16 look at Mr. Hillis's Exhibit 14, it will help us understand
17 the area that we have chosen to simulate.

18 And we have developed a model that covers a ten-
19 square-mile area, and it starts to the northwest, up in
20 Section 27, and goes over and covers the west half -- or
21 covers all of 26 and the west half of 25. It basically
22 covers the channel on the west half of Mr. Hillis's
23 exhibit, his Exhibit 14. It comes straight north and
24 south, all the way to the bottom of the page, so it comes
25 all the way down to Section 10 in the southwest and over to

1 the west half of Section. So that's how we get our ten-
2 square-mile area, is eight complete sections and then four
3 half sections.

4 It's a 10-by-16-by 1 grid, so each of those grids
5 are 40-acre squares. We have considered all 11 producers
6 in that study area. Our net thickness comes from the net
7 pay map that you see here. Our porosity and water
8 saturation comes from the log analysis that we did for each
9 of those wells.

10 Initial pressure is 4600 pounds, as it was on the
11 reservoir data sheet, and we see the gravity and
12 temperature, and it did initialize with 45 BCF, which is
13 what we got from the volumetrics.

14 That area was chosen because we basically feel
15 like the channel on the west half of the page is at least
16 somewhat isolated from the channel on the east side. There
17 are a number of wells in between there that have zero in
18 terms of the net pay, and it definitely thins down to an
19 area that would probably not be very permeable at best. So
20 we feel like describing just the west half of that channel
21 at least describes our situation on Sections 2 and 35.

22 And in summary we gave the wells in the
23 simulation model, the actual producing rates, historical
24 producing rates, as a target. We were looking to withdraw
25 the proper amount of gas from the proper points in the

1 reservoir at the proper time, and we also had the initial
2 reservoir pressures for each of those wells.

3 And that was our primary match criteria, was
4 making sure that when a well was drilled into the reservoir
5 with a measured initial pressure, that the model was
6 reflecting that pressure at that point in time. We don't
7 have any reliable buildup pressures taken subsequent to
8 that. The pressure data is just not available.

9 But we do have 11 wells drilled into this area,
10 spread out through time. And as you'll see in a minute,
11 we've got an excellent match with each of those pressures
12 when the wells came on.

13 A question was asked earlier about, did we have
14 any confidence in the Mewbourne model? We have also set up
15 a model to try to use Mewbourne's map, and you cannot match
16 any of the initial reservoir pressures. All of the
17 pressures in the model are too high when the wells come on.
18 They -- The measured pressures are always lower than the
19 model pressure, which indicates that there's too much gas
20 in the model.

21 And as you can see from Mewbourne's map, their
22 thicknesses are always much higher than the Bass-
23 interpreted thicknesses, and it results in about 80 BCF of
24 gas in place, is what it results in, and you just cannot
25 achieve a pressure match with that much gas in place.

1 Q. All right. Why don't you now discuss what each
2 of the pages are behind this data sheet that we've just
3 been discussing behind Tab 4?

4 A. Okay. Tab 4 also has a second page in it that's
5 important. It does show the initial reservoir pressures
6 that were measured for all of the wells in this channel
7 area that we're looking at. And as you can see, the
8 initial wells that were drilled in approximately 1978 to
9 1979 came in with pressures that were close to an initial
10 reservoir pressure of 4600 pounds.

11 Since that time, there have been six additional
12 wells drilled in the channel, and all of them have come in
13 severely underpressured, some of them as much as 1700
14 pounds. The exception -- And they have been drilled,
15 really, almost over the last 20 years.

16 The exception to that rule are the two wells
17 identified up on the top of the exhibit. That's the Turkey
18 Track 2 Number 1 and the Merchant State Number 2, the two
19 Bass wells that came in at virgin pressure. So that was an
20 indicator to us that those wells were separate from the
21 main channel body. And combined with Mr. Hillis's geologic
22 interpretation and the well performance certainly confirmed
23 that those wells were separate.

24 Q. All right. Would you now turn to Tab Number 5
25 and explain what the sheets are that we find there?

1 A. Okay. Behind Tab Number 5 we have the simulation
2 history match and projections for ultimate recovery for
3 each of the wells, and I'll just basically explain what
4 we're showing on each of these plots.

5 On the left Y axis we're showing monthly gas
6 rate, and that will correspond to the actual producing
7 rates, and it will also correspond to the model predicted
8 rates.

9 On the right-hand Y axis we're showing reservoir
10 pressure.

11 And then both of those are plotted versus time.

12 So the solid red curve that you see is the actual
13 well producing rate with time, and the blue dot is the
14 model predicted producing rate with time. And as you can
15 see -- Well, you'll see on all of the wells, there's a very
16 good agreement on those in terms of a rate match.

17 The green square is the actual reservoir pressure
18 that was measured in the well at the time of completion.
19 So that's a known pressure point, that's what was actually
20 measured in that well.

21 And then the pink X's are the reservoir pressure
22 in the model at the point where the well is located, with
23 time. And what we can see is that for the first well here,
24 the Turkey Track Com Number 1, we have an excellent match
25 in terms of the rate history.

1 And we also matched the reservoir pressure right
2 on in terms of when the well first came on production. So
3 the measured reservoir pressure matched exactly with the
4 model prediction of reservoir pressure.

5 Now, this well was shut in in about 1986, so
6 there's no projection or future reserves for this well. It
7 was just -- did all it could do in about seven or eight
8 years.

9 But if we do go to the next page -- and we won't
10 spend as much time on it, but this well that -- the 2985
11 Number 1 is an active well, and we show on this graph the
12 projection of future production for that well. And those
13 are the blue dots that continue on out through history.

14 I should also point out here that we have another
15 very good agreement in terms of the initial reservoir
16 pressure, which came in at about 3500 pounds, significantly
17 underpressured, 1100 pounds below initial, but we have
18 matched it almost exactly in the model.

19 So the model pressure at the location of this
20 wellbore agreed almost exactly with the pressure the well
21 came in at.

22 And if we continue on through these -- we can
23 just kind of flip through them pretty quickly -- the BW Com
24 Number 1, again, reservoir pressure down at about 3100
25 pounds, 1500 pounds of depletion. But our model pressure

1 at that point in time at the location was exactly that
2 pressure.

3 The State "AA" Number 1, we have a very good
4 agreement again on that pressure in that well. That's the
5 well that made about half a BCF already from the Mewbourne
6 proration unit. It made that rate very quickly.

7 The State "AC" Com, again we have a very good
8 agreement on pressure.

9 The next well in the booklet is our Merchant
10 State Number 2 well, and again, when we -- when trying to
11 describe the reservoir to begin with, we were not initially
12 thinking that the well was in an isolated compartment, and
13 we ran it out with the well connected to the reservoir.
14 And sure enough, the model predicted that this well should
15 have about 3200 pounds.

16 So if this well had been connected to the main
17 channel, it would have come in severely depleted, just like
18 all the other wells did. But since it came in with a
19 pressure of right at 4600 pounds, combined with the fact
20 that it depleted so quickly, we do feel like that well is
21 definitely isolated from the main channel sand.

22 And once we got the fault interpretation
23 incorporated into the model, it naturally predicted that
24 that well is just not connected to the production that has
25 occurred in the channel.

1 The same thing is true for the next well, the
2 Turkey Track Number 2. This is the Bass-operated well on
3 Section 2. Again, if this well were connected to the main
4 reservoir body, we would have expected to see about 3200
5 pounds in this well when it was initially completed.

6 We saw 4600 pounds, so we do know that it is
7 separate from the main channel, and we do know that it's
8 only going to produce probably less than 2.5 BCF. It's
9 just not connected to the main part of the sand. As Mr.
10 Hillis indicated, we would have expected this well to be a
11 multi-BCF well if it were connected to the main channel
12 sand.

13 The last two or three exhibits are basically --
14 or pages, are basically the same thing. We show with time
15 pressure depletion, the models matching those pressures
16 very good throughout this channel and throughout time.

17 Q. All right. Would you now turn to Tab 6?

18 A. Okay. Tab 6 is a -- what I think of as a reality
19 check. Once we had the model in place, we felt good about
20 our history match because of the pressure matches that we
21 had. But we also wanted to make sure that the model was
22 not predicting some recovery for these wells that was out
23 of line in terms of what the decline curve or well
24 performance was indicating at this time.

25 So we looked at rate versus time, just regular

1 decline-curve analysis. We looked at rate-versus-cum plots
2 for decline-curve estimates. And then we tabulate those
3 against the simulation projections.

4 I should probably point out that -- I think your
5 exhibit at the top of each of those columns says MCF. It
6 should be BCF. If it was MCF we probably wouldn't be here.
7 It's BCF.

8 And as you go through each of those wells, you
9 can see that there's very good agreement in terms of the
10 simulation results with the typical decline-curve analysis.

11 Q. All right. Turn to Tab 7.

12 A. Okay. Tab 7 -- Once we had our history match in
13 place, we had the model built, had it history-matched, we
14 inserted the proposed Mewbourne well to see what the impact
15 of that well was going to be on the wells that currently
16 existed, and this is a summary page of those results.

17 And again, I should have pointed out to begin
18 with, the simulation dealt with the lower Morrow only, and
19 these numbers also deal with the lower only. You know, the
20 middle just really hasn't been produced that much in the
21 area yet and probably has not had any drainage.

22 The results here show that on the east half of
23 Section 2, the Bass-operated portion of Section 2, there
24 was 8.3 BCF originally in place.

25 We think that the Turkey Track Number 2, the

1 existing producer on that tract, is going to produce 2.5
2 BCF or less. It's at best going to be a 2.5-BCF well.

3 The model indicates that with the wells that are
4 currently in place in the channel, without drilling a
5 Mewbourne well but with the wells that are currently there,
6 when they are all depleted there will be 3.2 BCF of gas
7 remaining on the east half of Section 2.

8 Now, what that indicates is that there is a
9 significant amount of drainage occurring today. The wells
10 that are in the channel right now are drawing the pressure
11 down, there's good communication, and gas is going to be
12 drained off the east half of Section 2 because the Turkey
13 Track well can't do anything about it. It's in an isolated
14 fault block, and it cannot protect the remaining 75 percent
15 of the east half of Section 2, and there will only -- Those
16 wells will do a pretty good job of depleting all that gas
17 if Bass is not afforded the opportunity to drill a second
18 well.

19 Now, the last two lines show the results of
20 adding the proposed Mewbourne well; that 3.2 BCF is without
21 adding a Mewbourne well. But if we do add the Mewbourne
22 well at an orthodox location, when the wells are all
23 depleted there will only be 2 BCF of gas remaining on the
24 east half of Section 2. What that indicates is that the
25 Mewbourne well will be responsible for draining 1.2 BCF off

1 of the east half of Section 2, that well alone.

2 If we move it to an unorthodox location, move it
3 990 feet closer to the Bass tract, it's going to drain an
4 additional almost half a BCF. So in total it's going to
5 drain, if it moves to an unorthodox location, the drainage
6 is going to go from the 3.2 BCF remaining down to the 1.6.
7 So that well is going to drain 1.6 BCF off of the Bass-
8 operated tract. And again, in dollar terms we're
9 approaching \$4 million there. It's a significant quantity
10 of recoverable gas that that well will take from the Bass
11 tract.

12 Q. So, Mr. Payne, it's your opinion that even if
13 Mewbourne drilled an orthodox well and Bass was unable or
14 not allowed to drill a second well and simultaneously
15 dedicate it, it's still going to get drained?

16 A. That's exactly right. And there's three levels
17 of drainage. There's the level that's going to occur from
18 the existing wells, because the Turkey Track well can't
19 protect it. There's an additional level that's going to
20 occur if Mewbourne's allowed to drill, which they can drill
21 an orthodox location today, they can go do that. And
22 there's a third level of drainage that's going to occur if
23 they're allowed to move 990 feet closer to the Bass tract,
24 and that is, again, the Turkey Track well is incapable of
25 protecting that, and that's why Bass will seek authority to

1 drill a second well on their tract.

2 Q. All right. If you would now turn, then, to the
3 matters behind Tab 8.

4 A. Okay. Well, that basically concludes with the
5 impact of that well. Where we head for the remaining
6 exhibits is what would typically be done about a well at an
7 unorthodox location, and we just developed some what we
8 call standard penalty factors here.

9 As we've mentioned, from an east-west distance,
10 they're orthodox in terms of the east-west line. So there
11 would really be no penalty in terms of that variance.

12 From the north-south, they're moving 990 feet
13 closer. So a typical penalty there would be 60 percent.

14 Since we're a diagonal offset, we were curious
15 about -- what about the hypotenuse? At a standard location
16 the Mewbourne well would be 1777 feet out of the corner.
17 If they're allowed to move closer they'll only be 933 feet
18 out of the corner. So in terms of distance to the Bass
19 tract, it would be about 50-percent closer.

20 The little cartoon right behind this page shows,
21 I think, what's typically shown in terms of excess
22 drainage. With a 320-acre circle moving 990 feet closer to
23 the lease line, we would have 93 acres of additional
24 drainage over the 320-acre proration unit. So that would
25 be a standard penalty of about 30 percent. And I think

1 those are all things that have been shown over here and
2 have been the basis for penalties in the past.

3 Q. Mr. Payne, with respect to this, as you call it,
4 cartoon, this really doesn't depict -- it's not really an
5 accurate depiction, is it, because you're assuming that the
6 Mewbourne would have or would be affecting a 320-acre
7 drainage area, correct?

8 A. Exactly.

9 Q. Would you explain, then, what we're talking about
10 and what the significance of that is?

11 A. Okay. Mewbourne, according to their
12 interpretation and according to ours, does not have 320
13 productive acres on their tract; they have significantly
14 less than that. So what that would, in effect, do is,
15 their drainage area would really not be circular, and it
16 would move more of the drainage pattern off their lease.
17 If they don't have 320 productive acres, even more is going
18 to be off the lease than normal, if that well truly drains
19 320.

20 What we have shown at the bottom of this page
21 here is another factor that might try to take that into
22 account in some fashion, and it's an unproductive acreage
23 calculation that shows, at best, they have about 50 percent
24 of their tract that's productive, even according to their
25 map. They're saying 28 feet is uneconomic.

1 That would mean that only about 25 percent of
2 their tract would be considered commercially productive.
3 But at best, they would have 160 productive acres, and that
4 would result in a 50-percent penalty, if you looked at
5 unproductive acreage in terms of total acreage. That could
6 be as high as 75 percent if you look at commercial
7 production.

8 Q. Well, Mr. Payne, in your opinion is this case one
9 that can be solved by the imposition of a penalty?

10 A. Well, no, it's not. And looking at this
11 information here, my guess is that there would be maybe a
12 50-percent penalty imposed on this well if it was moved 60
13 percent closer to the lease line and 50 percent closer to
14 the Bass tract and only had 50-percent productive acreage.
15 That would seem to the kind of number that might be settled
16 in on for a penalty.

17 And we were just curious what impact that would
18 have on the wells in this area if a 50-percent penalty were
19 imposed.

20 So if you turn to Tab Number 9, what we've
21 attempted to do here is go back at all of the wells in our
22 study area, the mapped area, and I think we've got -- we're
23 showing 10 total wells. And we have listed the well name,
24 the API number, and in the third column we've listed the
25 initial deliverability, and that's off the C-122s for each

1 of these wells that are here at the NMOCD.

2 And then we've calculated an unpenalized monthly
3 allowable. That's just taking the initial deliverability
4 times the number of days in the month. And if you skip a -
5 - Well, I looked at the peak monthly rate. Sometimes a
6 well will test poorer than it actually produces when it
7 comes on, but that wasn't the case with these wells.

8 But I then took the unpenalized monthly allowable
9 and cut it in half, imposed a 50-percent penalty on these
10 wells, and looked at how many months these wells in this
11 study area produced at a rate in excess of the 50-percent
12 penalty.

13 And as you can see, of the ten total wells, six
14 of them were completely unaffected. They didn't have a
15 single month that they produced in excess of that 50-
16 percent penalty. Only four of them had any effect at all,
17 and the average impact is three months.

18 So number one, a 50-percent penalty, even in its
19 worst case, has a minor impact on the wells in this area.
20 They come on with very high initial deliverabilities, as
21 you can see on the C-122s, but they decline very rapidly.
22 And as a result of that, a 50-percent penalty, which sounds
23 terrible -- nobody wants a 50-percent penalty assigned to
24 their well -- it just has no impact on the wells in this
25 area, or it would have had no impact on the wells in this

1 study area.

2 And we have a graphical representation of that on
3 each of the wells just behind that page. What we show you
4 there is, the green line is the initial well
5 deliverability, multiplied by the number of days in the
6 month, which gives you your unpenalized allowable.

7 The blue line is that unpenalized allowable cut
8 in half, 50-percent penalty.

9 And then the red diamonds are the actual
10 production histories for each of the wells in this study
11 area.

12 And you can see the first well here is the one
13 that had 12 months here the rate was barely in excess of
14 the penalized allowable. After that, it would have had no
15 impact at all. And you can tab through these things and
16 see that, for instance, the second well, the Turkey Track
17 Com Number 1, obviously has no impact at all. The first
18 well had 12 months. The second well -- Even a 50-percent
19 penalty would not have impacted this well at all. You
20 could have gone to a 75-percent penalty and not have
21 impacted this well.

22 And you know, a similar story time after time.
23 The interesting one -- I think it's the third from the
24 back; it's the Bass-operated Turkey Track State Number 1.
25 It's by far the best well that has ever been drilled in the

1 field in terms of initial rate. This well came on making
2 in excess of 10 million a day. It had stabilized monthly
3 production of over 300 million a month for two months
4 there.

5 And you can see that this well, the best well in
6 the field, the highest rate, would have never been affected
7 by a 50-percent penalty. If somebody had been trying to
8 penalize this well, it would have had no impact on it at
9 all.

10 Q. All right. Now, with respect to your last tab,
11 Number 10, this is basically some conclusions, is it not?

12 A. That's correct.

13 Q. Would you go over those?

14 A. Okay. These conclusions, they address
15 specifically the Mewbourne well. They do not address the
16 pending application by Bass for simultaneous dedication in
17 another well.

18 But I think what we've shown here is that clearly
19 orthodox locations do exist on the subject tract for
20 Mewbourne to drill. Physically, those orthodox locations
21 can be drilled.

22 Point number two, the well would be capable of
23 producing the remaining recoverable reserves under the
24 subject tract from that orthodox location. They don't need
25 an unorthodox location to produce their recoverable

1 reserves on their tract. And that's under either geologic
2 interpretation.

3 Number three, moving the proposed well to an
4 unorthodox location will allow confiscation of a
5 significant quantity of reserves from the BEPCo-operated
6 lease. And again, that's under either geologic
7 interpretation, and it would occur from both the lower
8 Morrow and the middle Morrow. Bass has no well that is
9 able to protect it from drainage at this point.

10 I think we've also shown that the imposition of a
11 penalty allowable would be in effect in preventing this
12 confiscation. Even a penalty as severe as 50 percent would
13 really not have an impact.

14 And another thing to think about there is that
15 with Bass not having a take point on their tract, it really
16 doesn't matter when Mewbourne produces the reserves,
17 whether it's today or tomorrow or ten years from now.
18 They're still going to produce them. And the penalty, all
19 it's going to do is lengthen the amount of time that it
20 takes for Mewbourne to recover those reserves. It's not
21 going to diminish the recovery of that well.

22 So a penalty, for two reasons, would be
23 completely ineffective in preventing the confiscation of
24 those reserves.

25 And finally, conclusion number five is that the

1 proposed well should be drilled at an unorthodox location.
2 Those locations exist, and it could recover the reserves on
3 that tract.

4 Q. Mr. Payne, are you of the opinion that by
5 disallowing an unorthodox location, that the best interests
6 of all parties would be protected and the correlative
7 rights of all parties would be better looked after?

8 A. Yeah, that's part of it. I think we also, to
9 truly protect correlative rights, are going to need a
10 second well on Bass's tract.

11 Q. Okay.

12 A. And the best place for those two wells are two
13 orthodox locations.

14 Q. All right. And do you feel that requiring that
15 both the Mewbourne well and the additional well that Bass
16 is going to propose to the -- permission for, would best be
17 situated at orthodox locations in the interest of
18 protection of correlative rights and prevention of waste?

19 A. I think that is the best place. You know, we can
20 drill two commercial wells at two orthodox locations and
21 protect correlative rights.

22 Q. Do you feel that if the Division makes a decision
23 that they were to allow Mewbourne to drill at an unorthodox
24 location, as proposed, do you feel that a penalty, any
25 penalty, would be effective to protect the correlative

1 rights of Bass and Santa Fe?

2 A. No, it would not.

3 Q. In that event, should that hypothetical situation
4 arise that there was an allowance of an unorthodox, what
5 would be your recommendation to the Commission with respect
6 to the proposed well of Bass and Santa Fe?

7 A. If Mewbourne were granted an unorthodox location
8 for the protection of correlative rights, I think Bass
9 should be granted the same, an equidistant offset. That
10 would be the only way for Bass to recover the recoverable
11 reserves on their tract.

12 Q. And with respect to the upcoming proposal of
13 being allowed to drill an additional well and simultaneous
14 dedication, do you feel that that permission should be
15 granted by the Division in order to protect Bass and Santa
16 Fe's correlative rights?

17 A. Yes, I do.

18 Q. And with respect to the prevention of waste?

19 A. Prevention of waste and prevention of
20 confiscation, that's true.

21 MR. ERNEST CARROLL: Mr. Examiner, I would move
22 at this time admission of Exhibit Number 19.

23 EXAMINER CATANACH: Exhibit Number 19 will be
24 admitted as evidence.

25 MR. ERNEST CARROLL: And I have no further

1 questions of this witness at this time.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Just a couple.

5 Mr. Payne, aside from the initial bottomhole
6 pressure on the Turkey Track State Number 1 and the
7 Merchant State Number 2, do you see anything in the
8 production characteristics that suggests the presence of a
9 fault?

10 A. Yes, the fact that the Merchant State Number 2
11 came on -- it had good sand quality, there was a
12 significant sandbody there, it came on at a good initial
13 rate and just depleted so rapidly. That had not been seen
14 in the field before. That certainly indicates to me,
15 combined with the initial pressure, that it's in an
16 isolated and very limited container. If it's the size of
17 this room or not, I don't know, but it would be very small.

18 Q. How about the other well? Do you see anything on
19 that?

20 A. The same thing. It -- we -- Again, we saw the
21 high initial pressure, essentially virgin initial pressure.
22 The well came on -- It was a thickness that had not been
23 seen in this area before, the significant sand thickness.
24 Bass initially thought, and I thought the first time that I
25 saw it, you know, we're looking at a multi-BCF well here.

1 It came on like that to begin with and then just declined
2 very rapidly.

3 I think once it saw the drainage area boundaries,
4 the production rate declined very rapidly. In fact, it
5 essentially logged up. The well is now on compression. So
6 that well depleted very, very rapidly. And that's just not
7 consistent with the normal producing life that we see in
8 these wells. Many of them are multi-year life, some of
9 them, you know, 10-, 15-year life. So that's inconsistent
10 with what we've seen in the other wells in the field.

11 Q. Did you actually -- In your reservoir simulation,
12 did you actually map what you interpret to be the
13 boundaries, those fault boundaries, into the model?

14 A. We approximated them as closely as we could.
15 Again, it's 10 by 16, so each one is 40 acres. But we did
16 fault-isolate an area with about 3 BCF in it. And based on
17 the production history that we saw for the well, that --
18 You know, and it's centered around that well, and it seems
19 to be a reasonable approximation of what that well is going
20 to do.

21 If anything, we've probably isolated more
22 reserves in the model from the remaining tract than the
23 well actually has. I think it's very close, but -- we've
24 probably isolated more, if anything.

25 Q. Now, in your penalty calculations, you assume

1 that we would impose a penalty based upon initial
2 deliverability from the well and just leave it at that?

3 A. Yes, sir.

4 Q. Okay. A lot of times that's adjusted over the
5 life of the well, based upon an annual or semi-annual test?

6 A. Yes, sir, and we did run that case out. Again,
7 the difference here is that Bass -- the Bass well is
8 separate. It might as well be in an Atoka reservoir or an
9 Ellenburger. It's just not completed in that Morrow
10 channel.

11 So any penalty, again, all it's going to do is
12 delay the recovery of those reserves. It's just going to
13 make the life of the Mewbourne well longer, but it will not
14 in any way decrease the amount of recovery off the Bass
15 tract.

16 And in my way of thinking, the penalty is
17 designed to protect correlative rights and really to
18 minimize the production of that well. You've allowed it to
19 get closer to the lease line, which you're letting it
20 produce at a reduced rate to minimize the drainage from the
21 tract.

22 And if Bass had a protection well over there,
23 it's conceivable that that might be somewhat effective.
24 But without a protection well, it will have absolutely no
25 impact, even if we adjusted it daily.

1 Q. Your model that you ran with Mewbourne's geology,
2 it just doesn't work with their geology; is that your --

3 A. Well, that's right, it just will not work. We
4 know that the channel is in communication, we know the
5 wells in that channel are in communication because of their
6 initial bottomhole pressures. The only way to get that to
7 work -- As I indicated before, the model always indicated
8 reservoir pressures to be several hundred pounds too high
9 at the point the well was drilled. It just had too much
10 gas.

11 What we would have to do is impose severe
12 permeability restrictions around those wells to get the
13 pressure to come down, and we just know that that's not
14 what's occurring in the reservoir, it would not allow that
15 communication.

16 So with that quantity of gas in place, plus, as
17 Mr. Hillis described, the east-west orientation, it just
18 would not allow that north-south communication that we've
19 seen with the pressures.

20 EXAMINER CATANACH: I have nothing further of
21 this witness.

22 Mr. Carr, do you have anything of this witness?

23 MR. CARR: No, I do not.

24 MR. ERNEST CARROLL: That would conclude our
25 case, Mr. Examiner.

1 EXAMINER CATANACH: Okay. It's my understanding
2 we're going to continue for four weeks.

3 MR. CARR: Let me --

4 MR. ERNEST CARROLL: We need to address that.

5 MR. CARR: As we know, Mr. Carroll's in a potash
6 hearing, and we know that it's going to be impossible for
7 him to be here four weeks from now.

8 I would request before we continue -- so I'll
9 tell you what. We're going to try and settle. And I
10 understand through Mr. Carroll that I can either work
11 through Mr. Haas, but we'll be working, really, with Mr.
12 Bailey as the contact person.

13 If, in fact, we reach a settlement, there's no
14 reason to stay in limbo for two months. We ought to be
15 able to come back and tell you that. And I would suspect
16 that the record made here today would support a
17 simultaneous dedication case if we all stipulated to that.

18 But we are going to try and settle it. And four
19 weeks from now, if we cannot, we can at least report to you
20 on where we are. And I'm really not authorized to go
21 beyond four weeks, but I don't -- and I recognize the fact
22 of life that Mr. Carroll is not going to take advantage of
23 that.

24 MR. ERNEST CARROLL: We look like -- We're
25 expecting to be through by -- right around the end of

1 March, based on all the -- As you can well expect, after
2 we've been going at this eight or nine months, all of us
3 are getting in trouble with other trials and deadlines, and
4 it's getting very hard to get us all together.

5 But we still believe it will be through -- So I
6 suspect that I will be able to handle any hearing if we set
7 it in April. I'm not exactly sure what Mr. Carr was
8 proposing. Quite frankly, maybe we could set it for four
9 weeks for at least an update, and allow us to advise you
10 where we stand, what the necessity...

11 We do need, like I say -- I intend to not only
12 put notice out of our new application, but I'm going to
13 send notice out with respect to this Application. And if
14 you would give me a date, I will show that date at least
15 for -- we can at least know if there's anybody else going
16 to raise their head and want to do something.

17 So if everyone understands that I probably cannot
18 hear it in four weeks, but there's good reason to go ahead
19 and allow us to bring it before you, tell you where we're
20 at, and also to find out if there's anyone else that
21 needs -- is wanting to come in.

22 MR. CARR: And we've been, you know, sitting with
23 a permit approved, recognizing all of this, since December.
24 And if we can get the thing resolved in the next several
25 weeks we'd like to do that and get going with it and not

1 just be locked up indefinitely.

2 EXAMINER CATANACH: All right. Well, let's
3 continue it to the March 20th hearing at this point, and
4 then we can -- from there we can do what we need to do. If
5 we need to go further we can do that, or whatever we need
6 to do we can decide at that point.

7 MR. ERNEST CARROLL: All right.

8 EXAMINER CATANACH: Okay?

9 MR. ERNEST CARROLL: That would be great. Thank
10 you.

11 EXAMINER CATANACH: Thank you.

12 (Thereupon, these proceedings were concluded at
13 12:00 noon.)

14 * * *

15
16
17
18
19
20
21 I do hereby certify that the foregoing is
22 a complete record of the proceedings in
23 an Examiners hearing of Case No. 77713,
24 heard by me on February 20 1977.
25 David L. Catanach, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 25th, 1997.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998