


STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF THOMPSON ENGINEERING AND)
PRODUCTION COMPANY FOR AN UNORTHODOX)
COAL GAS WELL LOCATION, SAN JUAN COUNTY,)
NEW MEXICO)

CASE NO. 11,728

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

March 20th, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, March 20th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

March 20th, 1997
 Examiner Hearing
 CASE NO. 11,728

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>ALAN P. EMMENDORFER</u> (Geologist)	
Direct Examination by Mr. Carr	6
Cross-Examination by Mr. Kellahin	20
Redirect Examination by Mr. Carr	55
Examination by Examiner Catanach	58
<u>PAUL C. THOMPSON</u> (Engineer; President, Thompson Engineering and Production Company)	
Direct Examination by Mr. Carr	60
Cross-Examination by Mr. Kellahin	73
Examination by Examiner Catanach	88
TEXAKOMA WITNESS:	
<u>BRADLEY W. SALZMAN</u> (Engineer)	
Direct Examination by Mr. Kellahin	95
Cross-Examination by Mr. Carr	121
Examination by Examiner Catanach	139
Examination by Mr. Carroll	142
Further Examination by Examiner Catanach	142
CLOSING STATEMENTS:	
By Mr. Kellahin	143
By Mr. Carr	148
REPORTER'S CERTIFICATE	153

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	9	20
Exhibit 2	12	20
Exhibit 3	15	20
Exhibit 4	17	20
Exhibit 5	18	20
Exhibit 6	62	72
Exhibit 7	64	72
Exhibit 8	64	72
Exhibit 9	65	72
Exhibit 10	66, 67, 68	72
Exhibit 11	66, 69	72
Exhibit 12	66, 70	72
Letter from Hallwood to Chairman LeMay dated January 9th, 1997	93	94

* * *

Texakoma	Identified	Admitted
Exhibit 1	97	121
Exhibit 2	106	121
Exhibit 3	111	121
Exhibit 4	118	121

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR TEXAKOMA OIL AND GAS CORPORATION:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 1:10 p.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order at this time, and we'll call Case 11,728.

5 MR. CARROLL: Application of Thompson Engineering
6 and Production Company for an unorthodox coal gas well
7 location, San Juan County, New Mexico.

8 EXAMINER CATANACH: Are there any appearances in
9 this case?

10 MR. CARR: May it please the Examiner, my name is
11 William F. Carr with the Santa Fe law firm Campbell, Carr,
12 Berge and Sheridan. We represent Thompson Engineering and
13 Production Company.

14 I have two witnesses.

15 EXAMINER CATANACH: Additional appearances?

16 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
17 the Santa Fe law firm of Kellahin and Kellahin, appearing
18 on behalf of the opponent, Texakoma Oil and Gas
19 Corporation.

20 I have one witness.

21 EXAMINER CATANACH: Any additional appearances?

22 Will the witnesses please stand to be sworn in at
23 this time?

24 (Thereupon, the witnesses were sworn.)

25 MR. CARR: At this time we call Mr. Emmendorfer.

1 A. Yes, I am.

2 Q. Have you previously testified before the Oil
3 Conservation Division?

4 A. Yes, I have.

5 Q. At the time of that testimony, were your
6 credentials as an expert in petroleum geology accepted and
7 made a matter of record?

8 A. Yes, they were.

9 Q. Are you familiar with the Application filed in
10 this case on behalf of Thompson Engineering Company?

11 A. Yes.

12 Q. Have you worked in this area in the past, Mr.
13 Emmendorfer?

14 A. Yes, before I went to work for Coleman Oil and
15 Gas I was a consulting petroleum geologist, and one of the
16 jobs that I did was wellsite geology work, and I was the
17 wellsite geologist for four of the five Texakoma wells that
18 are in this area.

19 Q. And these are the wells that offset the proposed
20 location?

21 A. Yes, they are.

22 Q. Have you made a geological study of the area
23 which is the subject of this Application?

24 A. Yes, I have.

25 Q. And are you prepared to share the results of that

1 study with Mr. Catanach?

2 A. Yes.

3 MR. CARR: Are the witness's qualifications
4 acceptable?

5 EXAMINER CATANACH: They are.

6 Q. (By Mr. Carr) Would you briefly state what
7 Thompson Engineering and Production Company seeks with this
8 Application?

9 A. Okay, with this Application, Mr. Examiner,
10 Thompson Engineering and Production Company seeks approval
11 of an off-pattern coal gas well location for our proposed
12 Steward Com Well Number 1. It is to be drilled in the
13 Basin Fruitland Coal Gas Pool at a location of 790 feet
14 from the south and east lines of Section 28, Township 32
15 North, Range 13 West, San Juan County, New Mexico. The
16 east half of Section 28 is to be dedicated to this well.

17 Q. Mr. Emmendorfer, what are the spacing rules which
18 govern development of the Basin-Fruitland Coal Gas Pool?

19 A. Okay, currently the Basin-Fruitland Coal Gas Pool
20 is spaced on 320-acre spacing, 790-foot setbacks from the
21 lease line or the proration unit is currently in effect,
22 and our location is a standard setback, and wells are
23 located in the northeast-quarter and in the southwest
24 quarter of the section. Our well is spaced in the
25 southeast.

1 Q. So you're a standard setback, but you're in the
2 wrong quarter section under the rules that govern Basin-
3 Fruitland Coal Gas development?

4 A. That's correct.

5 Q. Have you prepared exhibits for presentation here
6 today?

7 A. Yes, I have.

8 Q. Would you refer to what has been marked for
9 identification as Thompson Exhibit Number 1, identify this
10 exhibit and review it for the Examiner?

11 A. Exhibit Number 1 is labeled as an isopach of the
12 Basin-Fruitland Coal. What I'd like to do is also, to save
13 paper, I've combined several things on this map.

14 First, I'd like to identify the proration unit
15 for the proposed Steward Com Number 1, which is located in
16 the east half of Section 28, outlined in yellow, and the
17 red dot shows the proposed location.

18 All of the current coal wells that are producing
19 out of the Basin-Fruitland Coal have also been color-coded.
20 The green colors are the wells operated by Hallwood
21 Petroleum, which is the largest operator in this area; the
22 blue wells are Burlington Resources-operated coal wells;
23 and the pink wells are the Texakoma Oil and Gas wells that
24 have been drilled to date.

25 Also on this map, I have shown with red dots the

1 coal wells that have been drilled and completed as
2 nonstandard coal wells, two of them by Hallwood, our
3 proposed location in the southeast of 28, and then there's
4 a red dot up in the southeast quarter of Section 22, which
5 has just been -- is being staked by Merrion Oil and Gas of
6 Farmington. And Thompson Engineering just received a
7 letter last week from them, and it's my understanding that
8 they're seeking approval for another off-pattern coal well
9 such as our own at this time.

10 Q. What interval have you mapped here with this
11 isopach?

12 A. Okay, the Fruitland Coal, the basal Fruitland
13 Coal, can consist of one or more coals within the Fruitland
14 formation. In this particular area there is one principal
15 thick coal, which is the lowest coal and several coals that
16 are higher up in the section. The lowest coal is the most
17 common interval. It's widespread throughout the area, and
18 most of the operators complete in only the one coal, or
19 sometimes in more than one, but this is the common coal for
20 the area.

21 And I've made an isopach map of five-foot contour
22 intervals. I do want to point out a slight mistake in the
23 southeast of Section 32. When I contoured a line, I didn't
24 go over quite enough to include a well that had 29 feet of
25 coal. It's miscontoured in this one little spot.

1 Also on the map is the Fruitland Coal outcrop,
2 which I have -- it's a long dashed line that extends
3 basically from northeast to southwest, across the western
4 portion of the map.

5 Q. Mr. Emmendorfer, this shows your spacing unit; is
6 that correct?

7 A. Yes.

8 Q. And that's a standard spacing unit?

9 A. Yes, it's a standard east-half dedication. It is
10 composed of a series of federal and fee acreage that's been
11 pooled together for a 320.

12 Q. That tract is owned by Thompson, by Coleman and
13 by other fee owners?

14 A. That is correct.

15 Q. This shows the offsetting Texakoma well, does it
16 not, in the northeast of Section 33?

17 A. Yes, it does.

18 Q. And how far from the common lease line is that
19 well?

20 A. That well is located 790 feet to the south of the
21 common lease line, the same distance to the south of the
22 lease line as our well, proposed well, is to the north of
23 the lease line.

24 Q. And then you've shown the four unorthodox
25 locations with the bright red or orange dot; is that

1 correct?

2 A. That's correct.

3 Q. And those are the off-pattern wells?

4 A. Yes.

5 Q. Okay. Let's go to what has been marked Thompson
6 Exhibit Number 2.

7 A. Before we do that, I'd also like to point out
8 that on each of the coal wells there's also production that
9 has been reported to the OCD to date. There's a wide
10 variation in production, both of the gas and the water from
11 these wells, that is partly due to quality of the wells and
12 time of operation of the wells themselves.

13 Q. And those are what? Cumulative production
14 figures that you've shown?

15 A. That's correct.

16 Q. All right. Let's move to Exhibit Number 2.
17 Would you identify and review this?

18 A. Exhibit Number 2 is a structure map. I've drawn
19 this on the base of the Fruitland Coal, the lowestmost
20 coal, the same coal that is isopached in Figure 1.

21 I might point out that all the color coding of
22 all the wells, the proposed proration unit and all the off-
23 pattern coal wells, all the -- everything is the same,
24 identical from Exhibit 1 to Exhibit 2.

25 Structure is at 100-foot contour intervals. The

1 Fruitland outcrop, again, is also marked. And I want to
2 point out the steepness of dip as you go from east to west
3 toward the outcrop, and what we are approaching is the
4 hogback monocline and the Fruitland outcrop.

5 Q. On this exhibit there are certain USGS wells
6 indicated; is that correct?

7 A. That's correct. If you will look, Mr. Examiner,
8 in Section 28, the two wells marked LP-4, LP-3, and to the
9 southwest LP-2 and LP-1. These were core test holes
10 drilled in 1982 by the USGS to delineate coal thickness at
11 depth for tract-delineation work.

12 The purpose of putting these wells on the map
13 was, they've provided additional data points for the
14 structure the map to help pin down the structural
15 configuration in aid of the placing of our proposed well.

16 Q. So basically we're on the edge of the Basin-
17 Fruitland Coal Pool, and there's a monocline as you move up
18 to the Fruitland outcrop; is that right?

19 A. That is correct.

20 Q. How would you generally describe the reservoir in
21 this area?

22 A. Well, there's been some very good coal wells
23 productive in this area. As you are aware, the base of the
24 Fruitland Coal Gas Pool is a fractured gas reservoir.
25 Within the coal, fractures are known as cleats, but they

1 behave as any other fractured reservoir in that there's
2 preferential drainage along the predominant fracture set.

3 Q. And what is the orientation of the dominant
4 fracture set?

5 A. Okay, from published data I was able to find that
6 with the coal outcropping at the -- in the southwest corner
7 of Section 28, published data reveals that the face cleats
8 for the coal is north 89 degrees east, which is basically
9 an east-west fracture pattern. Butt cleats run at north 11
10 degrees west.

11 Q. Why is the orientation of the cleat significant?

12 A. Well, like any other type of fractured reservoir,
13 such as the Gavilan-Mancos Pool or the West Lindrith
14 Gallup-Dakota Pool or the West Puerto Chiquito-Mancos Pool,
15 fractured reservoirs seem to produce reserves not in a
16 radial drainage pattern but preferentially more in an
17 elliptical pattern along the primary fracture direction.

18 Recent work by the BLM, when they do drainage
19 calculations to look at offset operator problems, they've
20 started incorporating elliptical drainage patterns to their
21 work, and they use anywhere from -- They have found that
22 the face cleat direction drains preferential to the butt
23 cleat direction, normally, three to four times.

24 In other words, the long axis of the ellipsoid is
25 three to four times that of the short axis of the

1 ellipsoid.

2 So that in this particular case, for the proposed
3 Steward Com Gas Number 1, the preferential drainage is
4 going to be predominantly in an east-west direction.

5 Q. Now, if we look at this exhibit, the well is in
6 the southeast corner of the spacing unit. What would
7 happen if you were to move the well either to the north or
8 to the west onto the monocline?

9 A. Well, we would still penetrate the same amount of
10 coal, a little over 30 feet in that basal coal. However,
11 we would produce copious amounts of water, and it's my
12 belief that the well would never dewater and you would
13 never be able to produce commercial quantities of gas, and
14 if we had to go to the north or to the west I would
15 recommend not drilling this well.

16 Q. What evidence do you actually have of
17 encountering poor wells as you move on to the monocline?

18 A. Well, besides Texakoma's well in the northeast of
19 Section 5 of Township 31 North, 13 west, also there are
20 wells in Colorado that are adjacent to the hogback
21 monocline.

22 Q. Are those shown on what has been marked as
23 Exhibit Number 3?

24 A. Exhibit Number 3 is a production map in La Plata
25 County, Colorado. It's approximately seven miles to the

1 northeast of the subject well. What I've outlined is the
2 Fruitland outcrop again, and put in cumulative production
3 figures.

4 I left the structure off, because it's -- Just to
5 keep the thing a little simplified, but it's very
6 structurally similar to the area -- the Steward Com Number
7 1.

8 And what I'd like to point out to you, Mr.
9 Examiner, with this exhibit, is that as you get closer to
10 the outcrop, the gas production decreases significantly and
11 the water production increases significantly, and there are
12 a lot of noncommercial commercial wells.

13 What I'd also like to state is, it's not the fact
14 that we're just right up next to the outcrop. It also has
15 to do with being below the breakover point of the monocline
16 itself that helps control the commercial productivity of
17 the wells.

18 Q. Basically, when you move on to the monocline, you
19 have a constant recharge of the water; is that -- by virtue
20 of being placed in that position on the structure; is that
21 not true?

22 A. That's right. And with the constant recharge,
23 you cannot dewater your well and get the pressure sink
24 created to get the gas to desorb from the coal and move
25 toward the wellbore.

1 Q. All, right, let's --

2 A. But I'd like to point out in Section 30 and 31,
3 I've highlighted three wells that are in the same pattern,
4 possibility, in the same structural relationship to Section
5 28, where the Steward Com well is. The Steward Com would
6 be drilled in the southeast corner of the -- quarter of the
7 section. And in Section 31 there is a commercial well
8 located in that quarter section. Yet you go to the
9 northeast or to the southwest, close to the outcrop and up
10 on the monocline, and you get very poor production.

11 Q. All right. Let's move to Exhibit Number 4, and
12 keeping Exhibit 3 before us, review the information on that
13 exhibit.

14 A. Exhibit Number 4 is just a blowup of Section 31
15 from Exhibit Number 3. It shows multiple year production.
16 And what I want to point out is, the gas production is in
17 MCF per year. And as you can see, the wells in the
18 northeast and in the southwest are very poor producers,
19 they will never be commercial. Yet the well in the
20 southeast corner -- quarter of the section is a commercial
21 well.

22 Q. In your opinion, if we're to drill a successful
23 well in Section 28, will it have to be located in the
24 southwest quarter?

25 A. Yes, it would.

1 Q. Is Thompson Exhibit Number 5 an affidavit
2 confirming that notice of today's hearing has been provided
3 in accordance with Oil Conservation Division rules?

4 A. Yes, it is.

5 Q. And you notified Texakoma and Hallwood Energy; is
6 that correct?

7 A. That is correct.

8 Q. What response have you received from Hallwood?

9 A. Hallwood submitted a letter to the Commission,
10 and we received a copy of that letter, and in that letter
11 they went on record as saying they did not oppose the
12 Application and that they were, in fact, the recipient of
13 two off-pattern wells themselves in this area.

14 Q. And they own the tract to the east of the
15 proposed location; is that right?

16 A. That is correct, they have two wells drilled in
17 that section, one of them being an off-pattern well.

18 Q. And you're also 790 from that lease?

19 A. Yes, that's correct.

20 Q. What geological conclusions have you been able to
21 reach from your study of the area?

22 A. From studying the area, I've determined that
23 there is a Fruitland Coal Gas reservoir under the east half
24 of Section 28 that has recoverable reserves.

25 I've concluded that we must drill in the

1 southeast quarter section to have a commercial well, to
2 have access to produce those reserves.

3 The reservoir at our location, we're actually
4 closer to the monocline than Texakoma's well directly to
5 the south of it. I feel that although we're going to have
6 a commercial well, we're probably not going to do as good
7 as their well will. That seems to be the trend, that the
8 wells closest to the monocline and the outcrop are poorer
9 wells.

10 I've also concluded from the cleat orientation
11 that has been published and cleat measurements taken in the
12 same section as our well that the face cleats are
13 predominantly in an east-west direction, and I feel that
14 preferential production and drainage within the reservoir
15 will proceed along this east-west direction.

16 Without our well at the present location, the
17 proposed location -- Excuse me, the Texakoma well to the
18 south that is 790 feet of the other side of the common
19 lease line from us will probably drain some of our reserves
20 if we're not able to drill our well.

21 Without our well at the proposed location, these
22 reserves would be drained by Texakoma, and we would not
23 have access to those reserves.

24 Q. Now, Mr. Emmendorfer, if there is no well drilled
25 in Section 28, will, in fact, reserves be left in the

1 ground?

2 A. Yes, it would.

3 Q. Will Thompson also call an engineering witness in
4 this case?

5 A. Yes, they will.

6 Q. Were Exhibits 1 through 5 either prepared by you
7 or compiled under your direction?

8 A. Yes, they were.

9 MR. CARR: At this time, Mr. Catanach, we would
10 move the admission into evidence of Thompson Exhibits 1
11 through 5.

12 EXAMINER CATANACH: Exhibits 1 through 5 will be
13 admitted as evidence.

14 MR. CARR: And that concludes my direct
15 examination of Mr. Emmendorfer.

16 EXAMINER CATANACH: Mr. Kellahin?

17 MR. KELLAHIN: Mr. Catanach.

18 CROSS-EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Emmendorfer.

21 A. Mr. Kellahin.

22 Q. Would you turn to your isopach, sir, your Exhibit
23 Number 1? I'm going to give you one of my red pens and ask
24 you to show me how to recontour that 30-foot line to
25 correct the mistake that you said occurred in 32 when you

1 went the wrong way around the LP-1. Did I remember that
2 right?

3 A. Yes.

4 Q. All right, let me have you do that.

5 All right, sir, you've got it?

6 A. Yeah, I was already prepared for that.

7 MR. KELLAHIN: Mr. Examiner, I show you what Mr.
8 Emmendorfer has done to correct the contouring error that
9 occurred on Exhibit 1.

10 Q. (By Mr. Kellahin) When I look at the isopach,
11 I'm looking at the isopach of the gross coal thickness for
12 the basal coal?

13 A. Yes.

14 Q. Did I say that right?

15 A. The bottom -- the lowest coal within the
16 Fruitland formation --

17 Q. That's right.

18 A. -- which is the basal coal --

19 Q. Yeah.

20 A. -- that's correct.

21 Q. And this is not like we would sometimes do in
22 trying to create a net isopach; this is simply a gross
23 isopach of that interval?

24 A. That is correct.

25 Q. Yeah, there's no kind of cutoff or other

1 adjustments made. You simply look at the log and find the
2 top and the bottom of the basal coal?

3 A. That's correct.

4 Q. Okay. When we look at the proposed location, the
5 unorthodox location, what is your estimate of the coal
6 thickness at that point?

7 A. Somewhere above 30 feet but less than 35.
8 Probably 31 to 32 feet.

9 Q. Okay. The LP-4, that's a USGS core of the coal?

10 A. It's a -- There was a core test hole where they
11 drilled down through the coal, logged it and plugged the
12 well, just to determine the depth and the thickness of the
13 coal, under federal land.

14 Q. Okay. Is that reported public information?

15 A. Yes, it is.

16 Q. And you examined that information?

17 A. Yes, I did.

18 Q. Are we looking at a way to measure the top and
19 the bottom of the basal coal in a way that's accurate to
20 correlate it back to the logs of the conventional oil and
21 gas wells? It's a reliable method by which to identify the
22 top?

23 A. Yes, they -- The USGS ran a wireline log very
24 similar to what an oil company would run. Normally, an oil
25 company wants to get more data than what the USGS was

1 wanting, but they ran a log that is often used by operators
2 also to cut costs and to determine depth and thickness of
3 reservoirs in their wells also.

4 Q. What kind of log do they run? I'm not familiar
5 with these.

6 A. It was a gamma-ray neutron, which is -- like I
7 said, it's a standard log that oil companies also run.

8 Q. When you look in the southeast quarter of 28, the
9 LP-3 --

10 A. Uh-huh.

11 Q. -- by your analysis, you've got 39 feet --

12 A. Yes.

13 Q. -- in that quarter section?

14 A. Yes.

15 Q. What's your estimate of the coal thickness up in
16 Merrion's location in the southwest of 22?

17 A. Somewhere above 35 feet, probably about 37 feet.

18 Q. Is the amount of gas available in the coal in
19 relationship to the thickness of the coal?

20 A. Yes. The coal -- Coal has gas absorbed onto the
21 coal itself, and the thicker the coal, the more tons of
22 coal there is, and coal reserves -- the coal has -- is --
23 gas in place is calculated in so many standard cubic feet
24 per ton of coal, and per ton of coal is in relationship to
25 thickness in an area.

1 Q. Have you made those calculations for any portion
2 of Section 28?

3 A. No, I have not.

4 Q. When I look at the Fruitland outcrop that's shown
5 on Exhibit 1 --

6 A. Yes.

7 Q. -- if I am north and west of that outcrop, am I
8 no longer in the coal?

9 A. That is correct.

10 Q. Can I presume that if I am south and east of that
11 line, that there's coal available in Section 28?

12 A. That is correct.

13 Q. What assumptions can you make about the thickness
14 of the coal as it approaches the outcrop within Section 28?

15 A. Could you -- I'm not sure I understand your
16 question.

17 Q. All right, look in Section 28.

18 A. Okay.

19 Q. Except for the northwest of the northwest, which
20 is outside the outcrop --

21 A. Okay.

22 Q. -- if you go to the other side of the outcrop,
23 everything within that portion of 28 has coal available in
24 it that contains the gas?

25 A. Yes.

1 Q. Within that area you have estimated for me at
2 your proposed unorthodox location you have 31 to 32 feet of
3 coal?

4 A. That is correct.

5 Q. If I move to the southwest quarter I now have 39
6 feet?

7 A. That's correct.

8 Q. Right? At the control point LP-4 in the
9 northeast quarter I've got about 34 feet --

10 A. Correct.

11 Q. Right?

12 As I move from LP-4 towards the outcrop, what
13 happens to the coal thickness?

14 A. From my map, I would estimate that it increases a
15 few feet in thickness.

16 Q. Okay. If I understand correctly, the gas is
17 stored in the coal, and so throughout the east half of 28
18 there is gas stored in the coal?

19 A. Correct.

20 Q. Okay. Mr. Thompson wrote a letter to the
21 Division with this Application when it was processed
22 administratively. It's dated December 23rd of 1996. It
23 says the request is necessitated for geologic reasons and
24 in our opinion result in an economic -- not in an economic
25 well if you're required to be in the northeast quarter,

1 right?

2 A. Yes.

3 Q. Okay.

4 A. I believe that's what he said.

5 Q. Coal thickness in the northeast quarter is better
6 than the southeast quarter, isn't it?

7 A. Yes, it's thicker in the northeast than it is in
8 the southeast, correct.

9 Q. So a preference to the northeast quarter, if
10 you're using coal thickness as a criteria, shows the
11 advantage is in the northeast quarter as opposed to the
12 southeast quarter, right?

13 A. Yes, there's more gas in place.

14 Q. Are you involved at all with the Merrion prospect
15 in the southeast of 22?

16 A. No, I am not.

17 Q. It does not involve you at all?

18 A. Doesn't.

19 Q. Do you think they're going to make a well at that
20 location?

21 A. I wouldn't put my money in it.

22 Q. Would you?

23 A. I would not.

24 Q. Would not?

25 A. It's -- Assuming I had some.

1 Q. Well, that's probably an assumption for all of us
2 in here, Alan.

3 Let's look at 27. 27 is where Hallwood has the
4 wells in the east half?

5 A. Yes.

6 Q. The off-pattern well that they have in the
7 southeast quarter is the result of taking an existing gas
8 well -- I believe it was a Dakota well --

9 A. That's correct.

10 Q. Hallwood took a Dakota well and recompleted it in
11 the coal as an off-pattern coal well, didn't they?

12 A. That's correct.

13 Q. And they did so because there was no objection by
14 any of the offset operators; isn't that right?

15 A. I don't know if anybody objected or not. I
16 wasn't involved with it.

17 Q. All right. Are you involved in the land
18 transaction by which Thompson attained the farmout of the
19 east half of 28? Are you involved in any of that?

20 A. No, I'm the geologist.

21 Q. Is Mr. Thompson involved in that?

22 A. I don't know. You'll have to ask him.

23 Q. Who does the land stuff for you guys on this
24 deal?

25 A. In my company, Chris Coleman, the vice president,

1 does the land work.

2 Q. Do you know if Mr. Coleman did the land work on
3 this deal?

4 A. The majority of it.

5 Q. Do you know whether or not the ownership position
6 or the right to drill that you have for your company in the
7 east half of 28 results from a farmout from Hallwood?

8 A. Part of it, yes. It's a 40-acre lease from
9 Hallwood.

10 Q. Where was their 40-acre lease, do you know?

11 A. I don't know exactly, no. I know it's in the
12 southeast quarter, but that's as far as I know.

13 Q. Okay. Were you involved at all in the spacing
14 rules that developed through the Division for the coal gas
15 spacing?

16 A. No, I was not.

17 Q. You weren't involved in any of that?

18 A. No.

19 Q. Have you read any of the transcripts and the
20 orders to know why the Division selected the alternate
21 quarter sections to place the wells?

22 A. I did not read that -- I have an idea, but I did
23 not read that, no.

24 Q. Do you understand the basic idea was to keep
25 these wells spaced apart so we could optimize drainage on

1 320-acre spacing?

2 A. Yes, that makes sense to me.

3 Q. Approval of an off-pattern location for you
4 disrupts that pattern, does it not?

5 A. That is correct, but that's fine when you're in
6 the middle of the Basin where you have a lot of room to
7 work. But when you come to the edge of the Fruitland Gas
8 Pool, then you have to -- if you're going to be allowed to
9 drill your proration unit, you sometimes have to make
10 exceptions.

11 Q. Let's talk about the geologic reasons that you
12 contend are the basis for the exception. Coal thickness is
13 not one of them, is it?

14 A. No, it's not.

15 Q. Is it the depth of the coal from one location to
16 the other?

17 A. No, not from one location to the other.

18 Q. When we look at a standard location in the
19 northeast quarter of 28, what's the approximate thickness
20 of the basal coal in that area?

21 A. 35 feet.

22 Q. If I am 790 out of the east boundary of the
23 northeast of 28 --

24 A. Okay.

25 Q. -- from the surface to the top of the basal coal

1 is how many feet?

2 A. 790 from the east and what footage from the north
3 or south?

4 Q. Let's take it all the way down and put it --
5 What's the closest you can get under the coal gas rules to
6 the interior quarter section, the quarter-quarter line?

7 A. I'm sorry?

8 Q. The quarter-quarter line between the north half
9 and the south half of your spacing unit, how close can you
10 get?

11 A. If it's a standup, I believe it's 2510.

12 Q. I believe that's right. You can get as close as
13 330 to the interior quarter-quarter line?

14 A. Yes.

15 Q. All right. I think it's 130 --

16 A. 120 or 130.

17 Q. I think it's 130, Alan.

18 A. Okay.

19 Q. All right. Let's assume for purposes of the
20 argument that it's 130 from the quarter line that separates
21 the north 160 from the south 160. Let's assume it could be
22 130 from that common line. Let's also assume it has to be
23 a 790 setback from the east boundary of the spacing unit.

24 Okay, at a point located on the map, how deep do
25 I have to get to the basal coal?

1 A. I really can't answer that, because that would
2 require knowing the surface elevation, and I don't now what
3 the surface elevation is. But we would definitely be
4 higher up on the monocline. And when -- while you ask if
5 the relationship in elevation, subsurface elevation, from
6 one well to the other was a factor, it is not, but being
7 below the breakover point of the synclinal bend of the
8 monocline is a critical part --

9 Q. All right.

10 A. -- of the equation.

11 Q. My question, though, is, in terms of the volume
12 of overburden that's available at a location, will have an
13 affect on the reservoir pressure in the coal?

14 A. Yes.

15 Q. The deeper you are, the greater the pressure?

16 A. Correct.

17 Q. All right. Is that a geologic component of the
18 decision to decide to drill the off-pattern location, as
19 opposed to a standard location in the northeast quarter?

20 A. No, it is not.

21 Q. Okay. So that's not -- All right.

22 Is the proximity to the outcrop one of the
23 components that concerns you and forms a basis for the
24 geologic belief that you need to be in the off-pattern
25 location?

1 A. No.

2 Q. So you can be close to the outcrop and still have
3 a successful coal gas well?

4 A. As long as you're below the synclinal bend of the
5 monocline, being in the San Juan Basin and not on the
6 monoclinal uplift.

7 Q. All right. And why does that matter?

8 A. Because in the basal Fruitland Coal, the coal --
9 the gas is absorbed onto the coal. The fracture system,
10 which in coal is called cleats, contains water. And what
11 you have to do is draw that water out of the fracture
12 system, or -- to create a pressure sink to get the coal --
13 the gas to desorb off of the coal. And the outcrop is a
14 source of recharge for the water within the cleat system of
15 the coal.

16 Q. It's that point I want to discuss with you. The
17 proximity to the outcrop has a relationship to the amount
18 of water coming into the reservoir in the form of recharge;
19 is that not true?

20 A. That's true. Well, wait a minute, repeat that,
21 please.

22 Q. Yes, sir. I have a degree in English and I don't
23 do well with that --

24 A. No, I --

25 Q. -- so help me with the geology.

1 A. Okay.

2 Q. My understanding is that the outcrop at least
3 forms a point in which surface waters, rain and
4 precipitation, subject to evaporation and all the rest,
5 will percolate down through the soil, move in to form a
6 water component, if you will, to the basal coal; the point
7 of potential recharge is the outcrop, is it not?

8 A. That's correct.

9 Q. But it's not a concern to you, about how close
10 you are to that outcrop?

11 A. No, it has to do with the -- being below that
12 monoclinal bend. It's been my observation that wells
13 drilled on the monocline itself, which would be directly
14 communicated with the outcrop, that the wells are not able
15 to dewater, thus providing the pressure sink to get the
16 coal to come off of the -- or the gas to come off the coal
17 and migrate toward the wellbore.

18 Q. All right, help me illustrate the monocline. Am
19 I correct from seeing this as a drape reservoir of coal, if
20 you will? It comes down off of a slope at a particular
21 degree; it then has a fold to it?

22 A. Yes, it's a synclinal bend to where it levels out
23 and gradually dips farther into the San Juan Basin.

24 Q. Okay. Where that reservoir folded, came
25 downslope and folded, there's a point of stress that has

1 fractured the coal and created this cleat system; is that
2 not true?

3 A. Well, that helped it forming the cleat system
4 there. The cleat system for the San Juan Basin varies from
5 different parts wherever you are in the Basin, and it is a
6 function of tectonic stress, the monoclinial bending being
7 one of those tectonic stresses, but other larger stresses
8 that affected the whole San Juan Basin also helped create
9 the cleat system.

10 Q. Okay, starting from the outcrop, moving down this
11 slope of basal coal to the point of some flexure and
12 fracturing, where is it that you don't want to put the
13 well?

14 A. On the monocline itself, above that synclinal
15 bend.

16 Q. How do we find the point of synclinal bend where
17 you don't want to be above it? How do you find it?

18 A. Structure map, structure contour map.

19 Q. Okay, let's look at the structure map. Down in
20 one of the Texakoma wells in Section 5 --

21 A. Yes.

22 Q. -- all right, the 5-1 well down there, is that a
23 commercial coal gas well?

24 A. From the economic runs and predictions that I've
25 seen, no, it will not be a commercial well.

1 Q. Okay. Where is it located in relation to this
2 point of preference that you want to be in, in relation to
3 this monocline fold?

4 A. It looks like it's right in that synclinal bend,
5 or just to the east of it.

6 Q. It appears on this map that it is south and east
7 of the bend, the synclinal bend, right? Did I read this
8 map right?

9 A. It's either right in it or just to the south and
10 east of the bend.

11 Q. All right, so this well has achieved the
12 advantage that you're trying to obtain by being Basin-
13 oriented or Basin-side of this synclinal bend?

14 A. Correct.

15 Q. They got on the right side of the monocline?

16 A. Yes.

17 Q. All right. When we go up into 27 in the Hallwood
18 section, all of those wells are on the proper side of the
19 synclinal bend?

20 A. Right.

21 Q. Are there examples of commercial coal gas wells
22 that are on the wrong side of the synclinal bend?

23 A. Not that I'm aware of.

24 Q. The analogy you're attempting to draw with the
25 Valencia wells in Colorado --

1 A. Yes.

2 Q. -- the environment there, what's your point of
3 comparison?

4 A. That as you -- When you're on the monoclinical
5 bend, that you cannot dewater your coals. And then as you
6 get below that point of flexure that you then are able to
7 dewater the coals and have commercial production.

8 Q. Okay. Is that -- Are the geologic criteria in
9 Valencia equivalent to the geologic criteria in Section 28?

10 A. Pretty much so, yes.

11 Q. In Valencia, isn't it a shallower slope, more
12 gentle degree of slope?

13 A. I don't think so.

14 Q. What is the volume of water that has to be moved
15 in order to dewater the coal in the Valencia area?

16 A. I haven't done a study to see what -- how many --
17 how much water has to be moved before the coal is
18 dewatered.

19 Q. What kind of peak rate do they get on the gas
20 wells in Valencia?

21 A. Peak rate?

22 Q. Yes, after they've dewatered, what's the peak gas
23 rate? Do you know?

24 A. No.

25 Q. Was that part of your analysis?

1 A. Not really, but if you look at Exhibit Number 4,
2 you will see yearly production of -- comparing the good
3 wells to the bad wells.

4 Q. When we compare the geologic component between
5 Valencia and your Section 28, is the depths to the coal
6 similar?

7 A. I don't know how close they are, but I would say
8 they are fairly similar, but I'm not -- I don't remember
9 exactly the depths of the wells.

10 Q. Was that a point of decision by which you drew
11 the comparison, then, between the Valencia and Section 28,
12 depth to coal?

13 A. No, it had to do with the monoclinial flexure
14 points.

15 Q. How do the thicknesses of the coal compare in
16 Valencia versus Section 28?

17 A. I don't remember.

18 Q. How about the coal gas content between the two
19 areas?

20 A. I didn't do a study of that.

21 Q. How about the fractures? That's the point,
22 right? Is it not? It's not the point?

23 A. No, it has to do with being below the synclinal
24 flexure of the monocline.

25 Q. So the size and the length of the fracture system

1 in Valencia was not compared to what you forecast to be the
2 size and the distance of the cleat system, if you will, in
3 28?

4 A. I don't know a good way to determine the size and
5 length of the cleat system in any of the coal wells for the
6 logs.

7 Q. Can you categorize for me the amount of fracture
8 in the coal in 28?

9 A. No, I cannot.

10 Q. Is it high, moderate, slight?

11 A. I'm projecting it to be high.

12 Q. Are you?

13 A. Uh-huh.

14 Q. What's the projection of the amount of fractures
15 in the coal in Valencia?

16 A. I would imagine that they're high also, but I do
17 not know that.

18 Q. When you say high, what kind of value are you
19 using when you say it's high?

20 A. Well, I don't have an exact cutoff, but I would
21 say that you should be able to see cleating within the
22 cuttings of the coal.

23 Q. What kind of thickness are we dealing with in
24 millidarcies?

25 A. Thickness of what?

1 Q. The fracture, how big a fracture am I looking at?

2 A. Fracture aperture?

3 Q. Yeah.

4 A. I have no idea.

5 Q. As big as your finger?

6 A. I doubt it.

7 Q. As big as a hair, what few I have? No, you don't
8 know?

9 A. I wouldn't want to state.

10 Q. Can we do it on a comparison of permeabilities?

11 That's really, I think, what I'm asking you, is, this
12 fracture system in the coal is equivalent to the
13 permeability; without it you're not going to get the gas?

14 A. That's correct.

15 Q. All right. Have you made a comparison of the
16 permeabilities in Valencia to the ones in Section 28?

17 A. No, I have not.

18 Q. Do you have any permeability information on 28?

19 A. No, I do not. There's not a producing well in
20 there.

21 Q. Okay. All right, if I'm at the proposed location
22 I'm going to be on the proper side of this synclinal bend,
23 under your interpretation?

24 A. We're going to be as close as we can get, yes.

25 Q. All right. What contour line on your structure

1 map does that put me on? I've got to follow one of these
2 lines out. Is it plus 4100 subsea elevation?

3 A. When I'm looking at the scale over here on the
4 far right, the first structural contour line that crosses
5 the southeast-southeast corner of 28 is plus 3900?

6 A. Correct.

7 Q. The next one up is going to be 4000?

8 A. Yes.

9 Q. The next one up, where the red dot is, is going
10 to be 4200?

11 A. The red dot is 4100.

12 Q. 4100.

13 A. It's not labeled on the map.

14 Q. I see what I'm doing wrong. I missed -- There is
15 no label for that. Okay, it's 4100?

16 A. Yes.

17 Q. Okay. When I get up to a point on the structure
18 map where I am in the proper quarter section, I'd have to
19 be at plus what? 4600 or 4500?

20 A. "The proper quarter section" meaning what?

21 Q. The northeast quarter.

22 A. I'd say at least 4700 feet, plus 4700 feet.

23 Q. All right, the LP-4 is at plus 4968?

24 A. Correct.

25 Q. All right. How far down on that can I go and

1 still be in the northeast quarter? About 4700, you said?
2 Plus 4700? Am I reading this right? You pick a number,
3 I'm not trying to give you a number.

4 A. I know, I'm trying to understand what you said.

5 Q. All right. I'm following your structure map, and
6 I want to put my well in the northeast quarter.

7 A. Why would you do that?

8 Q. Well, I'm going to tell you in a minute. If I'm
9 putting a well in the northeast quarter, I want to find the
10 point on the contour map that gives me my control point,
11 and what number is that?

12 A. About plus 4700 or plus 4800 feet.

13 Q. All right. Okay, you say you want to be at 4100
14 feet on the structure, and I would prefer that you were at
15 4700 or 4800. So we've got 600 to 700 feet of difference
16 between us, all right?

17 A. Okay.

18 Q. Okay. As I'm going upstructure, I'm getting
19 shallower?

20 A. Correct.

21 Q. But you tell me being shallower doesn't matter.
22 The only thing that matters is being downstructure of the
23 point of this synclinal bend, right?

24 A. The way I understand coal gas production,
25 correct.

1 Q. Okay. Am I on the proper side of the synclinal
2 bend if I move to plus 4200?

3 A. I don't believe so.

4 Q. How about 4300?

5 A. No.

6 Q. What happens if I go down to 4000?

7 A. Then you would be at a nonstandard setback from
8 the lease line.

9 Q. I understand that. I'm just trying to get on the
10 right side of the synclinal bend.

11 A. It's somewhere in there.

12 Q. So your judgment is, the critical point of the
13 synclinal bend is at plus 4100 on this map?

14 A. Well, we're hoping it will be.

15 Q. I hope it's more than hope. How do you as a
16 scientist find out where it is?

17 A. Well, the synclinal bend is right in that area;
18 there's not an exact point.

19 Q. Okay, so how do we know where it is? How do we
20 find it?

21 A. By -- If you really wanted to get exact you'd
22 take a second derivative of the structure and find the
23 exact point.

24 Q. Have you done that?

25 A. No, I have not.

1 Q. Why not?

2 A. Because you can't -- I don't think it's necessary
3 to find the exact point. I think you try to drill in the
4 best place that you can on your lease to ensure a
5 commercial well.

6 Q. If the critical geologic criteria -- and I think
7 it's the only one I can find from you, Mr. Emmendorfer, is,
8 you want to be downstructure of this synclinal bend point,
9 I'm trying to find out how you determined where that point
10 was in Section 28.

11 A. Okay.

12 Q. How did you do it?

13 A. Looking at my structure map.

14 Q. I'm looking at it too.

15 A. We're approximately in that area.

16 Q. Okay. When I look at the Merrion location that
17 they want in the northeast of 28, it appears that I'm
18 shallower than plus 4800. They're going to be on the wrong
19 side of the bend, aren't they?

20 A. I think so.

21 Q. Okay. How do you determine that it's at the
22 minus 4100 point on this structural map?

23 A. Would you repeat the question?

24 Q. Yes, sir. How do you find the bend? I'm sorry
25 I'm being dense. I don't see how you as a geologist make a

1 decision about where that bend is by using this map.

2 A. By -- The synclinal bend is a large area. It's
3 not one particular single spot, and it's a broad area, and
4 you want to be as low on that bend or below that bend as
5 possible.

6 Q. All right, let me see if I understand. If we are
7 in an area where the structure is steeper, if you will, the
8 slope --

9 A. Yes.

10 Q. -- is greater, that is going to create a point of
11 structural bend that's more dramatic, right?

12 A. If you go from very steep to very flat, it's --
13 make a sharper bend than if you had shallower dips.

14 Q. Let's take a trip down to 32 and 33. See the two
15 sections to the south?

16 A. Yes.

17 Q. Do you see how tight the contour lines of the
18 structure are?

19 A. Yes.

20 Q. They're really stacked very closely together?

21 A. (Nods)

22 Q. Is that an indication that we are in a steeper
23 structural slope presentation than we find in 28?

24 A. Yes.

25 Q. Okay. When I look in the relationship between 32

1 and 33, where is this synclinal bend going to occur there?

2 A. At the -- in the southeast corner of 32 and the
3 southwest corner of 33, that synclinal bend would be
4 approximately at around plus 4100 feet.

5 Q. When we go up to 28, the contour lines are spread
6 out, if you will?

7 A. Yes.

8 Q. That's going to mean, is it not, that the point
9 of synclinal bend is gentler?

10 A. Correct, and that's why I indicated that a
11 relationship of a well to the exact outcrop didn't matter
12 so much as where that synclinal flexure point is.

13 Q. How is the contouring generated on this display?
14 Was this computer generated, or did you hand-draw it?

15 A. I hand-drew it -- -drew it.

16 Q. What is the point of widening some of these
17 contour lines? Look at the spacing of the contour line
18 west and south of LP-4. How come that's spread out that
19 way?

20 A. I would probably have to attribute that partly to
21 my draftsman who used tape and complained the whole time
22 that my contour lines were too close together and that he
23 had a hard time drafting it.

24 Q. Will the -- in your opinion, this point of
25 synclinal bend follow a contour line on structure?

1 A. No, it will vary depending on the -- how --
2 depending on the structural configuration of the Basin.

3 Q. Okay.

4 A. You cannot follow one particular structural
5 elevation due to surface topography at all.

6 Q. As I fold the monocline to create this bend and
7 create the fracture system --

8 A. Uh-huh.

9 Q. -- the face cleats, the main cleating system in
10 the coal, will that be perpendicular to structure, or will
11 it be parallel to structure?

12 A. From my understanding, the face cleats were
13 formed before the Basin was uplifted into the present
14 configuration, so they should be -- should be in the east-
15 west direction that has been shown at the surface.

16 Q. So they would not be parallel to the structure?

17 A. Parallel to the structure?

18 Q. Well, the orientation of the structure, if you
19 will, is northeast-southwest through 28?

20 A. Yes.

21 Q. And you've told me the orientation of the face
22 cleats is more east-west.

23 A. Yes.

24 Q. What causes that to happen?

25 A. What causes -- I don't know I understand -- I

1 thought I just explained that the face cleats were formed
2 before the present configuration of the Basin was formed.

3 Q. All right. How was the orientation of the face
4 cleats in this area determined?

5 A. By surface mapping.

6 Q. Just the surface mapping?

7 A. Yes.

8 Q. Is there any other way available to the industry
9 to determine the orientation of the face cleats?

10 A. Well, you have to drill a well and take an
11 oriented core. You have to, of course, drill the well
12 first to determine the --

13 Q. There's none of that kind of information
14 available in this area, is there?

15 A. As far as I know, there is none.

16 Q. We've got methane in place throughout the east
17 half of 28 in relation to coal thickness.

18 A. Yes.

19 Q. Depth of coal is not an issue, structure is not
20 an issue. You -- How do we recover the gas in the coal in
21 the northeast quarter?

22 A. By producing the well in the southeast.

23 Q. So the well in the southeast is going to be able
24 to drain the northeast quarter?

25 A. Well, I'm not a reservoir engineer, and from what

1 I understand, that working committee made up a list of
2 things to be able to study exactly how big a drainage area
3 the well, the existing wells are going to be, so I would
4 hate to speculate to the exact drainage influence from the
5 well.

6 Q. I was just going back to your original testimony
7 about determining a generalized orientation of a drainage
8 shape. You indicated you thought it would be elliptical in
9 preference to the cleat system and that that advantage over
10 the butt cleat was three to four times.

11 A. Yes.

12 Q. All right. If that is the expected shape of the
13 drainage pattern, how are you ever going to get the gas
14 reserves in the northeast quarter with the well in the
15 southeast?

16 A. I don't know.

17 Q. I don't either.

18 Were you involved in any of the original staking
19 of this well location?

20 A. Yes, giving a footage, yes, footage
21 recommendation as to where to put the well, yes.

22 Q. Is this the only location that was staked in the
23 east half of 28, the proposed unorthodox location?

24 A. No, it was not.

25 Q. There was an original location staked elsewhere,

1 was there not?

2 A. An application was never made for that, yes.

3 Q. I understand. Where was the original well
4 staked?

5 A. In the southeast of the northeast.

6 Q. When was that done?

7 A. Probably in around -- about October of last year.

8 Q. Anything happen between October and now in terms
9 of the available geology to change the location?

10 A. I became a full-time employee of Coleman Oil and
11 Gas and recommended that we put it in the southeast where
12 it is now.

13 Q. Was the original staked location at a standard
14 location in terms of footage?

15 A. I believe that's correct.

16 Q. And it was in the correct quarter section?

17 A. Yes.

18 Q. Apart from Coleman, who are the other working
19 interest owners that will pay for the well?

20 A. I don't know.

21 Q. Okay. When did you become an employee of
22 Coleman?

23 A. November 18th, 1996.

24 Q. Last year?

25 A. Yes.

1 Q. Okay, and it was your recommendation, then, to
2 change the location?

3 A. Yes.

4 Q. Was there any other location staked, other than
5 the original location and this proposed unorthodox
6 location?

7 A. Not that I'm aware of.

8 Q. Am I correct in remembering that the -- you're
9 not concerned about the recharge of the coal by water
10 infiltration?

11 A. Yes, I am concerned about that.

12 Q. You are?

13 A. That's why I want to drill the well in the staked
14 location.

15 Q. All right. Let's go to the wrong side of the
16 synclinal bend. Have you studied what would be the amount
17 of additional water that you would have to move in the
18 northeast quarter, as opposed to the southeast quarter?

19 A. No, I have not done a study of that.

20 Q. Am I correct in understanding that you want to be
21 on the Basin side of the synclinal bend because you want to
22 be in an area where you have less water in the coal for
23 which to dewater?

24 A. Want to be able -- Now, the water is still
25 present, but that up on the monocline itself the water --

1 the coal never seems to dewater because of the recharge.

2 Q. All right, that's the issue I want to discuss
3 with you. The reason to be southeast of the bend, the only
4 reason, is the amount of water that has to be moved to
5 dewater the coal, right?

6 A. Yes.

7 Q. Okay. Do you have examples, other than this
8 Valencia example -- and I'm not even sure that's the
9 example. Do you have examples of wells being drilled on
10 the wrong side of the synclinal bend and what they have had
11 to do in terms of moving water to dewater the coal?

12 A. No, I don't have any examples to show you.

13 Q. None at all?

14 A. No.

15 Q. Okay. So you don't know, and I don't know, what
16 the challenge is for Thompson to dewater the coal if you're
17 north and west of the synclinal bend, right?

18 A. Just what all the other operators tell me is
19 their problems.

20 Q. So I've got gas in place north and west of the
21 synclinal bend, on the wrong side that you tell me, that's
22 available there, and the only reason I can't get it, in
23 your opinion, is, it's going to involve producing more
24 water to dewater the coal, right?

25 A. Yes.

1 Q. Have you attempted to quantify the amount of
2 water you have to dewater at the nonstandard location,
3 compared to what you would have to dewater if you're in the
4 northeast quarter?

5 A. No, I have not, but I think if you look at the
6 engineering testimony and look at economics of the
7 dewatering and gas production, it will become clearer.

8 Q. I'm simply looking at your testimony, Mr.
9 Emmendorfer, when you told Mr. Carr that you had copious
10 volumes of water to move the closer you were to the
11 outcrop, and I wanted to find out what you meant by that
12 statement. But you haven't studied it; is that not true?

13 A. We've done economic runs to show the cost of
14 disposing of the water that is produced and what it takes
15 to make a commercial well.

16 Q. Have you analyzed what the operators are doing in
17 Colorado to move large volumes of water, to dewater the
18 coal in close proximity to the outcrop? Have you studied
19 any of that?

20 A. Not the mechanics of it, no. I don't get into
21 the production mechanics of the downhole configuration of
22 wells.

23 Q. Okay. Have you attempted as a geologist to try
24 to quantify the amount of recharge that occurs in this area
25 of the Basin from water moving through the outcrop into the

1 coal?

2 A. No, there's published reports that talk about the
3 recharge along the outcrop, throughout the Basin.

4 Q. Have you studied any of those reports for
5 purposes of this testimony?

6 A. I've looked at that in the past in researching
7 this area.

8 Q. Is there a way to compare what you've seen and
9 apply it to 28? In terms of volume? What's the amount of
10 recharge?

11 A. I don't remember the numbers that were published.

12 Q. Okay. So you have not attempted to study this
13 water issue to determine the volume of recharge occurring
14 in the northeast quarter, as opposed to the potential
15 recharge in the southeast quarter?

16 A. The northeast quarter versus the southeast
17 quarter?

18 Q. Yes, sir.

19 A. It's -- The amount of recharge should be on the
20 same order for the outcrop.

21 Q. Okay, so the amount of water to be moved to
22 dewater the coal in the northeast, compared to the
23 southeast, is not controlled by the volume of recharge?

24 A. Yes, it is, because as you get -- as you're
25 producing water out of the cleat system, you have water

1 coming in from the outcrop.

2 Q. What volume of water do you expect to have to
3 move at the proposed unorthodox location in order to
4 dewater the coal?

5 A. I don't know, because it's variable. There are
6 wells that take very little water to get the classic
7 incline gas curves, and there are wells that take a
8 tremendous amount of water.

9 Q. All right. You were involved in four of the five
10 Texakoma wells, were you not?

11 A. As the well-site geologist, yes, sir.

12 Q. All right, sir. Are you aware of the volume of
13 water that is estimated to be removed from each of those
14 wells in order to dewater the coal at those locations?

15 A. I don't know the exact volumes. I do know that
16 for a while last summer, several of the coal wells -- I
17 believe it was the Number 5 and the Number 8, located in
18 Section 5 and Section 8, were shut in for several months,
19 because the economics were such that it was costing more to
20 remove the water and dispose of it than they were getting
21 in revenue from the wells, and so they shut them in for
22 several months. That's my understanding.

23 Q. Did you understand my question? My question was,
24 what was the amount of total water anticipated to be
25 removed from any of those wells? Do you know that number?

1 A. No, I do not know that number.

2 Q. Do you know the number of total water that needs
3 to be removed from any of these coal gas wells in this area
4 in order to dewater the well?

5 A. I don't think any- -- I don't know, and I don't
6 think anybody has a magic number that says when you remove
7 X amount of barrels then you're going to have a producible
8 coal well.

9 We could -- There's been studies done that show
10 gas inclining with water production declining and the
11 economics of that, and each well is different.

12 Q. Have you studied the pattern to see the rate of
13 water withdrawal from the coal gas wells in this area?

14 A. Engineering testimony will show --

15 Q. That's not your work? I want to ask you, sir,
16 did you study the amount of water being removed from any of
17 these wells?

18 A. I've looked at the data with Paul.

19 MR. KELLAHIN: Okay.

20 Thank you, Mr. Examiner.

21 EXAMINER CATANACH: Mr. Carr?

22 REDIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Mr. Emmendorfer, your testimony is that there is
25 methane gas under the entire east half of Section 28; is

1 that right?

2 A. That's correct.

3 Q. The issue here is not the presence of the gas,
4 but the ability to produce it; isn't that right?

5 A. Produce it and produce it at an economic rate.

6 Q. And isn't that related to the ability to actually
7 dewater the reservoir and produce that gas?

8 A. That is correct.

9 Q. And is it your testimony that the farther
10 southeast you move on this spacing unit, the better your
11 chances are to be able to dewater the formation?

12 A. Correct.

13 Q. The better your location would be?

14 A. Yes.

15 Q. The better your well would be?

16 A. Yes.

17 Q. The more gas you could produce?

18 A. Yes.

19 Q. If we look at your Exhibit Number 3, does this
20 exhibit not show the relationship between wells drilled
21 close to the monocline or on the monocline and wells that
22 are drilled to the south and the east of the monocline?

23 A. That is correct.

24 Q. And doesn't it show you that when you drill wells
25 closer to the monocline, you produce more water?

1 A. Yes.

2 Q. And when you produce more water, don't you
3 produce less gas?

4 A. Yes.

5 Q. And when you produce so little gas, you -- less
6 gas, at some point you hit a point where you can't even
7 drill the well; isn't that right?

8 A. That is correct.

9 Q. And if there is producible gas in the reservoir,
10 then that gas can be drained by your offsetting -- by the
11 offsetting operator; isn't that right?

12 A. Eventually, yes.

13 Q. Did you, looking at your structure map, recommend
14 to anyone to drill a well in the northeast quarter of
15 Section 28?

16 A. No, I would not.

17 Q. Do you think they could recover the reserves
18 under that tract with a well at that location?

19 A. No, I do not.

20 Q. Would they be producing mostly water?

21 A. My judgment is that that's correct.

22 Q. Could you drill in the southwest quarter of that
23 section and make a good commercial well?

24 A. No.

25 Q. And if you honored the rules that are in place

1 for this pool and could only drill those locations, would
2 you have reserves there that could never be produced by
3 you?

4 A. Yes.

5 MR. CARR: That's all I have.

6 EXAMINER CATANACH: Just a couple of questions.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Why would you necessarily produce more water in
10 the northeast quarter and the southwest quarter than you
11 would in the southeast quarter? Is it related to the
12 distance from the outcrop?

13 A. The recharge -- yes, as you get -- Unfortunately,
14 there's no magic way of saying that one well is going to
15 have very little water and one well is going to have a lot.
16 But the farther away you get from the outcrop, there seems
17 to be a relation that the less water you have to produce to
18 get that pressure sink, because the -- I guess the
19 transmissibility of the reservoir is such that you could
20 pump the water off faster than the recharge could get from
21 the outcrop all the way to your well.

22 But the closer you are to the outcrop, that time
23 goes down, and therefore you can never seem to get ahead of
24 the water and get that pressure drop to get the gas to move
25 off of the coal, into the cleat system and into the

1 wellbore.

2 Q. So is it your opinion or -- Your testimony on the
3 bend is that it's not a single-point-type thing, it's more
4 of a wide --

5 A. Yeah, it's -- You can't just, you know, go out on
6 the surface and you can't put your finger at the -- There
7 is a mathematical point if you had a smooth curve, but it's
8 a broad area.

9 Q. So between which of these contours would you
10 estimate that this bend occurs in the southeast quarter?

11 A. The southeast quarter, where the proposed
12 location is, I think that we're in that bend, somewhere in
13 that bend.

14 Q. What would be the upper limit of that thing,
15 where it starts?

16 A. Well, to be exact, you really would need to take
17 a second derivative of that slope. But I would say that
18 shortly to the north and to the northwest of the proposed
19 location, you're going to be out of that bend and on the
20 monocline itself.

21 Q. Okay, so once you pass that point, then it's your
22 opinion that's the point where you get into the higher
23 water production?

24 A. Yes.

25 Q. Does that increase the higher -- the closer you

1 get to the outcrop?

2 A. Yes.

3 Q. So you could still be on the monocline and not
4 necessarily have a tremendous amount of water production;
5 is that your opinion?

6 A. No, I think that when you get on the monocline,
7 even though you may be -- The outcrop may be farther away.
8 If it's a gentler slope, you're still going to have water
9 problems, producing water problems, and that you would
10 never get a commercial well.

11 EXAMINER CATANACH: Okay, I have nothing further.

12 MR. CARR: At this time we call Paul Thompson.

13 PAUL C. THOMPSON,

14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. CARR:

18 Q. Will you state your name for the record, please?

19 A. My name is Paul C. Thompson.

20 Q. Where do you reside?

21 A. I live in Farmington, New Mexico.

22 Q. By whom are you employed?

23 A. I'm the president of Thompson Engineering and
24 Production Corporation.

25 Q. Mr. Thompson, have you previously testified

1 before this Division?

2 A. Yes.

3 Q. At the time of that testimony, were your
4 credentials as an expert in petroleum engineering accepted
5 and made a matter of record?

6 A. Yes, they were.

7 Q. Are you familiar with the Application filed in
8 this case?

9 A. Yes, I am.

10 Q. Have you made a study of the Fruitland Coal
11 production in the area surrounding the proposed off-pattern
12 well location?

13 A. Yes, I have.

14 MR. CARR: Are the witness's qualifications
15 acceptable?

16 EXAMINER CATANACH: They are.

17 Q. (By Mr. Carr) Mr. Thompson, initially describe
18 what it is you have prepared for presentation in this
19 hearing.

20 A. I have prepared a cash-flow analysis for a well
21 that would be drilled in the location of the Steward Com
22 Number 1.

23 Q. And what does this analysis show you?

24 A. Well, it shows that a well drilled in this
25 location is on the borderline of commerciality and that any

1 wells drilled to the north and to the west of this location
2 probably would be uneconomic.

3 Q. If the well was penalized because of this
4 location, would you be able to go forward with your plans
5 to develop this well as an economic prospect?

6 A. I don't believe so.

7 Q. Let's go to what's been marked as Thompson
8 Exhibit Number 6. Would you first identify this and then
9 explain to Mr. Catanach what it shows?

10 A. Exhibit Number 6 is titled the "Offset Gas
11 Rates". What I needed to do in order to forecast the
12 economics for an undrilled location was to develop a
13 deliverability model.

14 Normally what I'll do is, I'll pick a well that's
15 structurally equivalent to our proposed location that has
16 actual production, then I'll use that actual production to
17 forecast a deliverability curve. Now, from there, then you
18 can go plug that into your economic model and make a
19 forecast.

20 Immediately to the south of our Steward Com
21 Number 1 location is the Texakoma well, La Plata 33 Number
22 1, and this is the closest producing well to the area that
23 is approximately equivalent structurally to our proposed
24 Steward Com Number 1 well.

25 Also in this same area are two other Texakoma

1 wells, the La Plata Number 5 well, which we believe to be
2 higher on the structure and actually on the monocline, and
3 the La Plata Number 1 well, which is off the monocline and
4 in the relatively flatter part of the Fruitland Coal area.

5 What I did -- Unfortunately, though, those three
6 wells, when I looked, only had eight to ten months of
7 actual production data, which in this area that's got
8 classic coal deliverability, you know, increasing rates
9 with time, I didn't feel like those eight to ten months of
10 actual production history gave me a good enough feel to
11 forecast the rest of that curve.

12 So what I did and is shown in Exhibit 6 are the
13 closest 10 offset wells to our Steward Com Number 1 well
14 that have produced for two years or more.

15 And what I tried to do was to develop a
16 deliverability model based on the well's first-year
17 production. So to do that, I took the second year and then
18 every year thereafter of the reported data and divided it
19 by the first year's production to get a factor, which is
20 the -- the average of which is at the bottom of that
21 exhibit.

22 And since the gas rates in all these wells are
23 inclining, that factor, then, is greater than one.

24 Q. Basically, that's what you have done with Exhibit
25 Number 6; is that right?

1 A. That's correct.

2 Q. And you have a typical profile for a Fruitland
3 Coal gas well in terms of the gas rates?

4 A. For this area.

5 Q. All right. Let's take a look at what has been
6 marked as Thompson Exhibit Number 7. Can you explain what
7 this is?

8 A. Exhibit Number 7 is actually the production curve
9 of the Chavez H 2 Number 2 well, which is a close offset,
10 and on this curve I've shown the actual production from the
11 well -- it's been on line for six years -- and then also
12 indicated my model. And as you can see from the actual
13 production of the well and my model that there's a fair
14 approximation.

15 The wells in this area do look like they level
16 out and start to decline. So at the end of the data that I
17 had -- the six years production was the longest producing
18 time that I had -- I went from that point, then, and just
19 assumed an exponential 15-percent decline per year from
20 then on.

21 Also listed on Exhibit 7 is the water forecast.
22 And on Exhibit 8 is exactly the same thing that I've done
23 for the gas, I've done for the water on the same 10 wells.
24 I started with the first year's water production, reported
25 water production, and then divided that into all of the

1 subsequent years, to prepare a water deliverability, if you
2 will, forecast.

3 And as you'll notice, the average of those
4 factors are all less than one, because the water rates in
5 this area decline with time.

6 Q. And the significance of the water forecast in
7 your calculations is, you've got to pay to dispose of that
8 water; isn't that right?

9 A. That's correct. The water disposal rates play a
10 very significant portion of the lease operating costs.

11 And I went ahead and used this water forecast to
12 run the economics on all three of the wells, including the
13 well that's on the structure, even though there's data that
14 indicates that those wells do not -- the wells on the
15 monocline do not do water.

16 Q. Let's take a look at Thompson Exhibit Number 9.
17 Would you identify and review that, please?

18 A. Exhibit Number 9 is actually the production
19 forecast that I used to run the economics. The gas factors
20 and water factors are shown there. And year one in all
21 three of the wells are the actual production reported in
22 this eight- to ten-month period that I have available to me
23 for those individual wells.

24 And in my economic model, then, I would plug
25 those -- my forecasted volumes of both gas, and then

1 actually the water production goes in as an LOE expense.

2 Q. All right. Now, taking this data, you then have
3 done some potential analysis on each of the three wells
4 shown on Exhibit Number 9; is that correct?

5 A. That's correct.

6 Q. And are those analyses set forth on Exhibits 10,
7 11 and 12?

8 A. Yes, they are.

9 Q. Let's go to those, but as we first go -- start
10 looking at those exhibits, I think it would be helpful if
11 you would first review for Mr. Catanach the economic
12 assumptions you made in preparing these cash flow analyses.

13 A. All right. In addition to the deliverability
14 forecasts of gas and water shown in Exhibit 9, I also
15 assumed that Thompson would have a hundred-percent working
16 interest, net revenue interest of 85 percent.

17 I prepared a drilling AFE which showed that the
18 drilling, completion and the purchase and installation of
19 all surface facilities would cost around \$250,000. Lease
20 acquisition costs were approximately \$30,000, for a total
21 investment of \$280,000.

22 For a starting gas price, I used the average of
23 the San Juan Basin index price for 1996, which was \$1.65
24 per MMBTU, and I escalated that price at three percent per
25 year from then on.

1 I assumed the gathering and processing fees were
2 36 cents per MCF. We tie into the Williams Field Services
3 line in the northwest quarter of the section. And that
4 would leave us, then, a net wellhead price of \$1.29 per
5 MCF. I assumed that MCFs equaled MMBTUS in this case,
6 which is probably pretty fair.

7 I assumed severance tax rate 8.23 percent, ad
8 valorem taxes of 1.64 percent.

9 Wells in this area require a pumpjack to pump the
10 water and a compressor on the back side to get you into the
11 sales line, so I estimated lease operating costs at \$2300 a
12 month, plus \$1.50 per barrel for water disposal fees.

13 Q. Now, those are the assumptions; is that right?

14 A. Those are the assumptions.

15 The only thing I had left is that on the lease
16 operating cost, at the end of the seventh year -- starting
17 with the seventh year, I held the water production flat and
18 escalated the costs at three percent per year.

19 Q. Okay, let's go to, first, Exhibit Number 10.
20 This is your first case. This is the cash flow analysis on
21 the La Plata Number 1. Where is that well? Maybe we
22 should look at Exhibit Number 2, the -- structure map.
23 Whereabouts is the well actually located?

24 A. The well is located in the southwest quarter of
25 Section 4.

1 Q. Let's now take a look --

2 MR. KELLAHIN: I can't find it, Mr. Carr.

3 MR. CARR: Southwest quarter of Section 4.

4 MR. KELLAHIN: I'm with you.

5 MR. CARR: Okay?

6 MR. KELLAHIN: Yeah.

7 Q. (By Mr. Carr) All right. Now, let's go to
8 Exhibit Number 10, case number 1, on the La Plata Number 1,
9 and I'd ask you to summarize the conclusions you were able
10 to reach in your cash flow analysis.

11 A. I apologize for this busy sheet here, but to
12 highlight some of the results of the cash flow -- Let me
13 first explain, there's three pages stapled together. The
14 first one is actually the results, the second one is just
15 the input data in the Aries format, and the last page is
16 just a graph showing the production as we forecast it.

17 So we're showing a flat production for each year,
18 you know, then it inclines according to my model. And
19 those production rates were manually input into the
20 computer.

21 we also had the ability here to keep the well
22 going, even though it might have a negative cash flow. You
23 know, sometimes in the early years your water disposal fees
24 exceed your revenue, and in some of your economic models it
25 will just tell you to plug the well at that point. But we

1 forced it to continue on until we got a positive cash flow.

2 But most of the results of the cash-flow analysis
3 will be shown in the lower right-hand corner.

4 In this case the payout, undiscounted payout, is
5 3.2 years, with a rate of return of approximately 59
6 percent.

7 The cumulative reserves produced from this well
8 would be approximately 4.5 BCF.

9 Q. This is a good well?

10 A. This would be a very good well.

11 Q. It pays out in three years?

12 A. Yes.

13 Q. All right, let's take a look at the second case,
14 the case for the La Plata Number 5-1 well. Whereabouts is
15 this well actually located?

16 A. This well is in the northeast of Section 5. We
17 believe this well will be higher up on the structure than
18 our Steward Com Number 1 well.

19 Q. Okay, and what conclusions could you reach with
20 your analyses on this well?

21 A. Well, using the -- you know, the same economic
22 model and the actual starting point, it shows that this
23 well will never pay out.

24 The way that the model worked is that we forced
25 it to stay positive -- or we forced it to continue

1 calculating, even though the annual cash flows would be
2 negative. And the cash flows actually get positive for a
3 while, but at the end of the tenth year they go negative
4 again and stay negative for the life of the well.

5 So essentially you never get your investment back
6 on the well. So it consequently has a zero-percent rate of
7 return.

8 And the calculated recovery is only a .4 BCF of
9 reserves.

10 Q. All right. Let's now go to Exhibit Number 12,
11 the third case on the La Plata 33-1.

12 A. The 33-1 is located in the southwest quarter of
13 Section 33. We hope that our Steward Com well is
14 equivalent to this. As you can see on this well, the
15 undiscounted payout is 6.3 years, rate of return is 12.5
16 percent. It has recoverable reserves of 1 BCF.

17 Q. What, Mr. Thompson, does this information
18 actually tell you about your proposed location?

19 A. Well, it shows me that the economics of the
20 Steward Com Number 1 well, if it is indeed indicative of
21 the La Plata 33 Number 1, that it is on the borderline of
22 commerciality and that if any of the parameters that I've
23 used in my economic model are more negative than I have
24 estimated, the well is probably uneconomic.

25 Q. What's going to occur if, in fact, a well is not

1 drilled at your proposed location?

2 A. The recoverable reserves that I've estimated will
3 be probably produced by the well to the south.

4 Q. Will there be additional reserves that could, in
5 fact, be ultimately left in the ground without a well on
6 this spacing unit?

7 A. Probably, yes.

8 Q. The reserves that are -- If the reserves are
9 drained from your spacing unit, what impact will that have
10 on your correlative rights?

11 A. The way I understand it, we have the right to
12 drill -- to produce gas from our spacing unit.

13 Q. And without a well you won't be able to do that?

14 A. That's right. And pretty much, if we have to
15 move it any way, we'll be denied our rights to produce
16 wells -- produce our share of the reserves.

17 Q. The rules for the Fruitland Coal Pool provide for
18 wells drilled in the northeast and in the southwest quarter
19 of the section to promote orderly development for the pool.
20 Does what you propose, in your opinion, disrupt orderly
21 development?

22 A. I don't believe so. I think the pool orders
23 certainly were written for the center of the pool. We have
24 standard sections, and you're not encumbered by the
25 outcrop.

1 There are and have been many exceptions to the
2 pool rules in cases for economic and geologic reasons, and
3 as Mr. Emmendorfer pointed out, there have already been two
4 examples of nonstandard or off-pattern wells drilled in
5 this area.

6 Q. If this Application was granted, would it prevent
7 Texakoma from producing reserves that are located under its
8 tract?

9 A. No, I don't believe so.

10 Q. Will it afford you an opportunity to produce
11 reserves that are under your tract?

12 A. Yes.

13 Q. In your opinion, will approval of this
14 Application and drilling of a well at the proposed location
15 be in the best interests of conservation, the prevention of
16 waste and the protection of correlative rights?

17 A. Yes, it will.

18 Q. Were Exhibits 6 through 12 prepared by you?

19 A. Yes, they were.

20 MR. CARR: At this time, Mr. Catanach, I would
21 move the admission of Thompson Exhibits 6 through 12.

22 EXAMINER CATANACH: Exhibits 6 through 12 will be
23 admitted as evidence.

24 MR. CARR: And that concludes my direct of Mr.
25 Thompson.

1 MR. KELLAHIN: Mr. Catanach? Mr. Thompson.

2 THE WITNESS: Mr. Kellahin.

3 MR. CARR: Good night, John Boy.

4 CROSS-EXAMINATION

5 BY MR. KELLAHIN:

6 Q. The forecast, using your analysis of what you
7 expect to be the recoverable gas for a well drilled at the
8 proposed unorthodox location is what volume, sir?

9 A. For the Steward Com Number 1 well?

10 Q. I've got to tell you, I don't know the name of
11 your well. Is it the Steward Com?

12 A. That's the Steward Com Number well [sic].

13 Q. All right.

14 A. Real close to 1 BCF.

15 Q. One BCF?

16 A. Yeah, that's based on the analogy of the 33
17 Number 1.

18 Q. The 33-1 is your analogy?

19 A. Yes.

20 Q. Okay. What -- Let's look at that analysis for
21 the 33-1. You'll have to help me find -- I think it was
22 Exhibit 12?

23 A. Yes.

24 Q. All right. The 33-1 -- All right, you've got a
25 total, about -- just over a BCF of gas recovered?

1 A. Yes.

2 Q. Right? What is the total volume of water
3 produced associated with that well? Do you have a forecast
4 of that?

5 A. No. Let's see, if we go back, though, to Exhibit
6 Number 9, you know, if you would like to take those daily
7 rates, multiply them times 365 and add them all up, that
8 would be it.

9 Q. Tell me what you estimate to be the forecast of
10 the total volume of water that has to be dewatered, if you
11 will, from this well in order to have access to that volume
12 of gas reserves.

13 A. I didn't calculate that specifically. Actually,
14 I did, because I calculated that number, multiplied it
15 times 1.5 and added it to the LOE costs. I don't know what
16 it is.

17 Q. Where did you get your EUR of 1 BCF for the 33-1
18 well?

19 A. That was calculated from the cash-flow analysis.

20 Q. Yeah, but not the EUR. The 1 BCF of gas, where
21 did you get that? Off the decline curve?

22 A. Yeah, from the starting point, you know, the
23 actual production from that well, plugging it into the
24 model, based on all the offset wells, assuming that it
25 produces in the same shape curve as all the offset wells,

1 with the economic parameters that I've already told you
2 about, the model will calculate, then, when --

3 Q. I understand how this works.

4 A. -- the well goes negative, and then that's -- it
5 cuts it off. And at that point, that's where you get the 1
6 BCF of recoverable reserves.

7 Q. Has the 3-1 been dewatered?

8 A. It's in the process now, I think.

9 Q. What do you anticipate to be its peak gas rate?

10 A. According to my model on Exhibit Number 9, about
11 336 MCF a day.

12 Q. All right. And then we can take one of those
13 tables and calculate the total volume of water that will
14 have to be produced to achieve that peak rate, right? You
15 know, you said you hadn't added the numbers, but I assume I
16 can do that later.

17 A. Yeah, it's -- Well, yeah, I guess it's not a
18 magic number like you don't make any gas at all, and you
19 produce X number of barrels of water, and then whammo, you
20 get up to the peak rate.

21 Q. Well, I understand --

22 A. It's a gradual -- as your gas -- As your water
23 declines, your gas inclines --

24 Q. I understand.

25 A. -- and that's what, you know, the model showed on

1 that Exhibit 7.

2 Q. I'm trying to get a handle on the total volume of
3 water forecasted to be removed from these wells that are on
4 the Basin side of Mr. Emmendorfer's syncline bend and in
5 this area I'm trying to get a handle for that volume. And
6 I think I can do it by adding up some of the numbers on one
7 of your exhibits, at least for the 3-1 well.

8 A. Yes.

9 Q. All right.

10 A. Yeah, Exhibit 8, then, would be for all of the
11 offset wells, and you can see that those water volume
12 numbers, you know, change quite a bit from well to well.

13 Q. All right.

14 A. And basically, it's not a function of the amount
15 of water; it's the ratio between the amount of gas you get
16 and the amount of water you get.

17 Q. Prior to averaging, I want to talk about the
18 range. What is the range of initial water production among
19 the wells in the statistical analysis?

20 A. Referring back to Exhibit 8, the range looks like
21 it goes from a low of 25 barrels a day to a high of 154
22 barrels a day.

23 Q. Okay.

24 A. That would be the first year.

25 Q. The analysis is made off of these 10 wells?

1 A. Yes.

2 Q. Okay. And the range of water is what again, sir,
3 I'm sorry?

4 A. From 25 to 154.

5 Q. All right. Is there a range for the length of
6 time it will take these 10 wells to dewater the coal?

7 A. Well, you never fully dewater the coal.

8 Q. I understand. In order to achieve the peak rate,
9 is there an approximation of the length of time it takes to
10 achieve that peak rate?

11 A. Well, in my model I only had six years of
12 production.

13 Q. Okay.

14 A. And it looked like for most of the production
15 curves I looked at, that they had either reached their peak
16 or were close to reaching their peak at the end of the
17 sixth year, by the end of the sixth year. So I would --
18 you know, to answer your question, I guess, after six years
19 you're at the peak rate.

20 Q. Among the group of 10 wells selected for this
21 analysis, did any of them achieve a peak rate sooner than
22 six years?

23 A. Oh, yeah, it's -- you know, it's kind of
24 intuitively obvious that the best producing wells are going
25 to peak faster.

1 Q. What is the earliest peak rate for those wells?

2 A. Some of the good wells, you know, that started
3 out at a million a day are actually peaking in the second
4 year.

5 Q. Do you see a direct relationship to the initial
6 gas rate and how soon that well is dewatered?

7 A. Yes, the higher the initial rate, the faster the
8 well will dewater. Or maybe it works the other way around.

9 Q. So to get the recoverable gas that you have
10 forecasted for the 33-1, you did that off of its peak rate?
11 Or what your computer model generated would be its peak
12 rate?

13 A. Right, which takes -- That peak rate occurs in
14 year six.

15 Q. And you forecasted year six, and once you got the
16 peak rate, then you chose to decline from the peak rate at
17 15 percent?

18 A. Yes.

19 Q. Okay. Did you attempt to match that with any
20 kind of gas-in-place number?

21 A. No, I didn't.

22 Q. When I look at the relationship on the coal
23 thickness map for the 33-1 compared to your location, you
24 have an advantage over that well in terms of coal
25 thickness, do you not?

1 A. I believe so.

2 Q. Would that relate directly to the amount of gas
3 to be produced at your location?

4 A. We don't think that the actual gas in place is a
5 significant factor in the amount of recoverable reserves.

6 Q. At your proposed location, Mr. Emmendorfer said
7 it was 31 to 32 feet. At the 31 location that Texakoma
8 has, it's 27 feet. Where else is the gas stored but in the
9 thickness of the coal?

10 A. That's it.

11 Q. That's it. And if it's thicker coal, you've got
12 more gas in place?

13 A. That's true.

14 Q. But you're telling me that that is not going to
15 be a contributing factor in determining how much gas is
16 ultimately recovered in relation to the two?

17 A. It's not a -- Yeah, we didn't feel that that was
18 the most significant factor, no, that -- I'm not aware of
19 any core data here to calculate a gas in place based on the
20 standard cubic feet per ton.

21 However, in most areas of the Basin if you look
22 at the amount of gas in place in a Fruitland Coal well,
23 it's significantly higher than what your economic model
24 will forecast that you'll ever produce.

25 And so, you know, whether the model -- whether

1 the gas-in-place calculation shows you'll make 10 BCF of
2 gas in place, being the engineer, I want to know how much I
3 can get to the surface, and that looks about like a BCF.

4 Q. You've got a -- We deal with percentages of
5 recovery of gas in place often before the Division. Do you
6 have an estimate of the percentage of recovery of gas in
7 place?

8 A. No, without having any core data to estimate what
9 the gas content of the coal is, I couldn't make a guess at
10 that.

11 Q. The La Plata 1 on Exhibit 10 that we're talking
12 about, let's talk about that. It's in Section 4.

13 A. Okay.

14 Q. The La Plata 1 is your Exhibit 10. On Mr.
15 Emmendorfer's isopach map it's got 20 feet of thickness.
16 Its structural position, if you will, is plus 3834. When
17 we look at the 33-1 just to the north, that one is at 3854,
18 so they're reasonably equivalent in structural position.
19 When I look at your Exhibit 10 -- if I can find it --
20 you've got 3.8 BCF of recoverable gas attributed to that
21 well?

22 A. Yes.

23 Q. How did we do that?

24 A. Based on its first-year production and with the
25 same deliverability model that I've used in all the cases,

1 that's what the economics show.

2 And by the way, you know, we think that that
3 would be a pretty close approximation to the well in the
4 northeast of Section 33.

5 Q. And the well -- The Number 2 well in the
6 northeast of 33 is a newer Texakoma well for which there's
7 probably not much data?

8 A. None, to my knowledge.

9 Q. Okay.

10 A. We think that will be a really good well.

11 Q. What's your reason for believing the 32 -- 33-2
12 well in the northeast of 33 is going to be comparable to
13 the La Plata well in Section 4?

14 A. It would appear to be off the slope of the
15 monocline, down to the flatter part of the Basin, which is
16 approximately where this well, the La Plata Number 1, is.
17 And by analogy, then, it looks like it ought to be a good
18 well.

19 Q. And so by analogy, you think the Texakoma well,
20 the direct offset to the south, is about 3.8 BCF of
21 recoverable gas?

22 A. I was thinking that was 4.5.

23 Q. It may be. Did you have 4.5 for that?

24 A. Yes.

25 Q. The area drained by your proposed location to get

1 you the 1 BCF of gas, what would be the size and the shape
2 of that drainage pattern?

3 A. Based on Mr. Emmendorfer's testimony, I would
4 assume that it's going to be an elliptical drainage
5 pattern, east to west.

6 Q. Will it be competing for the same gas reserves
7 with the Texakoma well drilled in the northeast of 33?

8 A. The production forecasts from -- If the analogy
9 is correct, the well that we propose to get, the Steward
10 Com Number 1 well, is only going to be a BCF well. It's
11 going to start at a lot lower rate, compared to the well
12 that will be immediately to the south of us, start, you
13 know, maybe four or five times as high in production.

14 So actually they're going to produce four times
15 the amount of gas, four and a half times the amount of gas,
16 as the Steward Com Number 1 well will.

17 Eventually I see those drainage patterns growing
18 together. But the way I see it, they're growing towards us
19 four times faster than we're growing towards them, all
20 things being equal, you know, cleat structures, et cetera,
21 et cetera. And so probably where those two wells start
22 interfering is going to be well into Section 28.

23 Q. You've got greater coal thickness in your section
24 than the offset that Texakoma is concerned about, and yet
25 you think you're going to have a poorer well?

1 A. Yes.

2 Q. And what causes you to believe that?

3 A. Because of the ratio of water production to gas
4 production.

5 Q. What is the estimated volume of water to be
6 produced at your proposed unorthodox location?

7 A. Again, you would have to sum up, you know,
8 multiply the daily rates, multiply times 365 and sum those
9 up.

10 Q. Have you attempted to quantify or estimate the
11 volume of water that you would produce if you were required
12 to be in the northeast quarter of 28?

13 A. No, I don't believe that the absolute value of
14 the volume of water is significant. It's the ratio of the
15 gas produced to the amount of water, and whether or not
16 it's economic to dispose of that water. And those wells --

17 Q. Have you made an examination of that ratio in the
18 southeast quarter compared to the northeast quarter?

19 A. Well, essentially what we're saying is, yes, the
20 Exhibit Number 10 would be a well that would be drilled in
21 the southeast quarter, and Exhibit Number -- No, excuse me,
22 12 would be in the southeast quarter and Exhibit Number 11
23 would reflect the well drilled up in the northeast, a well
24 that's on the syncline.

25 Q. And 11 is the La Plata 5-1, that's the Texakoma

1 well in the northeast of 5?

2 A. Right.

3 Q. All right. That well's not been dewatered yet,
4 has it?

5 A. Nor do we think it ever will be.

6 Q. All right. And that's your point of comparison?

7 A. Yes.

8 Q. All right, let me see how you did the model. If
9 you'll look at Exhibit 7. Now, this is not a reservoir
10 simulation model; it was done with a computer-assisted
11 program, is it?

12 A. No, this is just based on the actual production
13 reported by -- all these are Hallwood wells -- to the Oil
14 and Gas Commission. This data is all available, and I
15 pulled it off of *Dwight's*.

16 What I was trying to do was make a model that was
17 based on the first year's actual production, so that I
18 could use the actual data from the three wells in question
19 as a starting point.

20 Q. All right. When we look at Exhibit 7 --

21 A. Yes.

22 Q. -- how many wells are going into this analysis?

23 A. This is just an example. This is only one well
24 here, showing the model, which is the sum of the 10 wells.

25 The actual production data is only the Chavez H

1 Number 2.

2 Q. All right, the Chavez H Number 2 is located
3 where, sir?

4 A. It's located in Unit Letter H of Section 2, 31
5 North, 13 West.

6 Q. You're using a well that's one, two -- at least
7 three miles south and east of our location?

8 A. It just happened to be the first well on the
9 list. If you look at the factors there, you know, where it
10 says second year divided by first year on Exhibit 6, you
11 know, there's a few anomalies there. But actually, that's
12 a pretty close trend. For an engineer I'd say that's a
13 pretty good approximation.

14 And you can actually plot the model on any of
15 those 10 well deliverability sheets, and you'll see that
16 it's a fairly close approximation.

17 Q. When I look at the Exhibit 6, what I'm really
18 looking at are having all these values for these wells
19 averaged?

20 A. Those are the actual reported production on MCF
21 per day.

22 Q. I understand. And then it's averaged, and the
23 averages, then, are used to make the modeling forecasts on
24 7?

25 A. Yes.

1 Q. Have you attempted to construct an Exhibit 7 for
2 each of the individual wells that are contained on Exhibit
3 6 to see what happens?

4 A. That's what I say, that in most cases it's going
5 to be a pretty close approximation.

6 Q. So despite the wide range of differences in
7 initial rate and water rate, you're averaging ratios,
8 aren't you? That's what's happening, you are averaging
9 ratios?

10 A. Averaging ratios. Yes, I guess that's true.

11 Q. Well, sure, you've got 10 wells and you're
12 averaging these ratios, and you're plotting them on 7.

13 What I'm asking you, have you taken the
14 individual data for each of the individual wells and not
15 averaged them but given us a forecast like we see on
16 Exhibit 7?

17 A. I'm not sure I understand the question.

18 I have the production curves for each individual
19 well, and I could take my models with the starting rate for
20 each individual well and draw the model on the actual
21 production curve, and I think you would see a close
22 approximation to the model, to the actual production curve.

23 Q. When we look at the actual rate on the Chavez H
24 2, something's occurring in 1994-95, where it looks like at
25 the end of 1994 it attains what I would see to be a peak

1 gas rate, and then it begins to approximate some type of
2 decline. Do you see that?

3 A. That's correct.

4 Q. What's your estimate of the actual decline on
5 that well from the end of 1994 through the end of 1995?

6 A. I didn't actually calculate it.

7 Q. It appears to be less than the 15-percent decline
8 that you're using for your average in the model?

9 A. It appears to be pretty close to the 15 percent
10 to me.

11 Q. Have you done any engineering studies, Mr.
12 Thompson, with regards to this project, to try to quantify
13 the volume of water that is -- needs to be removed in the
14 northeast quarter if you were required to be in the
15 northeast quarter of 28?

16 A. No, not the finite quantity of water.

17 Q. Do you know the amount of recharge that the east
18 half of 28 might be subject to, in terms of its water
19 volumes?

20 A. No, I don't.

21 Q. When we look at the drainage pattern at your
22 proposed location, can you approximate for me how much of
23 the area contained within the east half of 28 will be
24 drained by your well?

25 A. No, without drilling a well I don't have enough

1 reservoir parameters to estimate a drainage.

2 Q. So you -- At this location you can't estimate the
3 amount of area to be drained within your own spacing unit
4 by the well at this location?

5 A. No, that would require a gas-in-place figure,
6 which I don't have.

7 Q. Okay, and correspondingly, we can't tell how much
8 of the gas outside of your spacing unit you would drain
9 with a well at your location; you simply don't know?

10 A. I just don't know.

11 MR. KELLAHIN: Thank you, Mr. Examiner.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Thompson, as I understand it, you're saying
15 that your well drilled at the proposed location is going to
16 resemble the behavior of the La Plata 33 Number 1; is that
17 correct?

18 A. That's the closest producing that we thought, you
19 know, was on the same structural place as our well.

20 Q. Okay, but you said that that well, your well
21 would initially produce only about one-fourth what that
22 well produced; was that your testimony?

23 A. Well, looking at the -- Let's see, that would be
24 Exhibit 9 -- I'm sorry -- Yeah, Exhibit 9, actually, is the
25 deliverability forecast for the three wells.

1 Q. Uh-huh.

2 A. So I guess, right, if we had a well that was down
3 in the flatter part of the section, you know, I'm
4 forecasting that would start, if it was the same as the
5 well in Section 4, at 183 MCF a day, average for the first
6 year, whereas the 33-1 would produce about 45 MCF per day.
7 So I'm not sure exactly what the ratio is there but, you
8 know, it's significantly higher.

9 Q. So you're saying that the well at your proposed
10 location would behave more like which well, the --

11 A. The well -- The Steward Com, I think, would be
12 like the 33-1.

13 Q. Okay.

14 A. The well that's in the northeast of 33, I think,
15 will behave like the La Plata Number 1, because it's off
16 the flank of the dip.

17 Q. So can you tell what your initial gas production
18 from your Steward well might be?

19 A. You know, we're assuming it will be close to this
20 33-1, so we're assuming that our initial, first-year
21 average gas rate is going to be 45 MCF per day, 23 barrels
22 of water a day.

23 Q. Somewhere in your testimony there was something
24 mentioned about a factor of four, as opposed to --

25 A. I think that was just the ratio of the reserves

1 recovered from the La Plata 33-1 versus the reserves that
2 were to be recovered in the La Plata Number 1, which I
3 think it was 4.5 BCF reserves for a well like the La Plata
4 1 that's down in the flat part of the coal, and probably
5 about a BCF of reserves on a well that's in the flexure,
6 versus a point for -- if you're on the slope.

7 And again, that's not gas in place; that's
8 economically recoverable reserves.

9 Q. Okay. At this point in time, you estimate that
10 recoverable gas from the Steward well is 1 BCF?

11 A. Yes.

12 Q. Okay. And you don't have an estimate of how much
13 water is going to have to be produced?

14 A. No, I'm -- No, not exactly. The way I'd have to
15 calculate that is, I've given daily rates for the first six
16 years, so you'd have to multiply those times 365, and then
17 add all those up and that would give you the total amount
18 of water that we think will be produced in the first six
19 years.

20 But the well -- You know, the dewatering is a
21 continual process, so it's...

22 And these -- and the wells on the 10-well study
23 are classic examples of coal-seam production in that the --
24 you know, the gas increases with the declining water rates.

25 Q. Do you think it's necessary to place a penalty on

1 your well to protect correlative rights?

2 A. You know, with the forecasted economics of the La
3 Plata 33-1, that's, you know, to me real borderline
4 economics there anyway. Six-year payout and a 12.5-percent
5 rate of return is a pretty skinny project going into it.

6 Any kind of penalties or any of the parameters in
7 the model, if they're worse -- if I'm off on the gas
8 prices, say, or my LOE costs are higher, I think the well
9 is a loser.

10 Q. Well, do you feel like you're adversely affecting
11 the correlative rights of Texakoma to the south?

12 A. Not at all. I don't see how our well could
13 possibly beat them to the punch if they start out at such a
14 much higher rate.

15 Q. What is their well producing at this point?

16 A. The well in the northeast of 33, to the best of
17 my knowledge, has not been first delivered yet. It was
18 drilled last summer sometime.

19 Q. But you feel like they'll be adequately -- they
20 can adequately protect their acreage with that well from
21 offset drainage?

22 A. If they produce it, yeah, I think so.

23 Q. If you were required to drill a well at a
24 standard location in the northeast quarter, is it -- It's
25 just the fact that there's going to be, in your opinion, so

1 much more water to produce that that's going to make it
2 uneconomic?

3 A. Whether it's the quantity of water, I'm not sure.
4 But I just don't think the gas will come fast enough to
5 make it economically profitable to continue to pump the
6 well.

7 Now, there's wells in Colorado that make 500
8 barrels of water a day, and they're economic because
9 they're also making 3 million of gas a day.

10 You know, from what we project based on other
11 wells that are on the same structural position here,
12 there's not going to be enough gas to pay for the water
13 production, and the well will be uneconomic.

14 Q. So you believe the initial -- an initial gas rate
15 for a well in the northeast quarter would be less than 45
16 MCF a day?

17 A. Yes.

18 Q. With maybe more water?

19 A. You know, looking at the 5 Number 1, which is up
20 on the flank, the water is about the same, 25, 23 barrels a
21 day. However, the gas production is only half, 21 MCF a
22 day, versus 45.

23 EXAMINER CATANACH: I have nothing further of
24 this witness.

25 Mr. Carr, I don't seem to have a letter in our

1 file from Hallwood. If you have a copy of that --

2 MR. CARR: I have a copy of a letter addressed to
3 Bill and dated January the 9th, Hallwood.

4 EXAMINER CATANACH: Excuse me?

5 MR. CARR: I have a copy of a letter from
6 Hallwood dated January 9th to LeMay. It's in reference to
7 this location, and it says we're not opposing the
8 nonstandard location for this well as Hallwood has also
9 benefitted from two similar nonstandard locations. I can
10 give you a copy of it.

11 MR. KELLAHIN: Mr. Examiner, it would be my
12 preference for you simply to accept the fact that Hallwood
13 has waived objection. Mr. Kevin O'Connor goes on for pages
14 to narrate his discussion, and I prefer not to have his
15 hearsay statements considered by you. If Kevin O'Connor
16 has a position he should come and testify. I have no
17 objection to the letter being taken as a waiver of
18 objection, but I would ask that you ignore all his
19 argumentative discussion.

20 MR. CARR: There's a lengthy discussion about --
21 it seems to me, about seeps in the area, and we're not
22 offering the letter for that at all. It has nothing to do
23 with this case. But there's a copy of the letter, if you
24 want to see, the fact they have waived objection. That's
25 the only purpose for which we'd offer it.

1 EXAMINER CATANACH: Let me ask you, Mr. Kellahin,
2 I've also got letters that the Division has received from
3 Robert Bayless and Benson-Montin-Greer. In those letters
4 they do object to the location, and they do express some
5 opinions regarding drainage. Do you also not want me to
6 consider these?

7 MR. KELLAHIN: I don't think that's fair, Mr.
8 Examiner. You can take them as objections, but it's not
9 fair for Mr. Greer to express an opinion in a letter and
10 not come and testify.

11 MR. CARR: I agree. What color paper is Mr.
12 Greer's letter on?

13 EXAMINER CATANACH: We'll enter this Hallwood.

14 MR. CARR: I think Mr. Kellahin's statement is
15 correct. When people want to narrate other, than just
16 waiving or stating an objection, I think beyond that the
17 letter is -- really shouldn't be considered.

18 MR. KELLAHIN: It's not fair to anybody, Mr.
19 Examiner.

20 EXAMINER CATANACH: Okay, this witness may be
21 excused.

22 Let's take a break here before we start.

23 (Thereupon, a recess was taken at 3:12 p.m.)

24 (The following proceedings had at 3:30 p.m.)

25 EXAMINER CATANACH: Go ahead.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BRADLEY W. SALZMAN,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Salzman, for the record would you please state your name and occupation?

A. Bradley W. Salzman.

Q. And where do you reside, sir?

A. Farmington, New Mexico.

Q. And what's your occupation?

A. I'm a petroleum engineer, a contract consultant.

Q. Give us a summary of your education.

A. High school, BS degree in petroleum and natural gas engineering from Penn State University, 1980.

Q. Summarize for us your experience with the coal gas production in the San Juan Basin.

A. I came to Farmington with Amoco in the mid-Eighties, basically at the height of all the activity, Fruitland Coal-wise. I'm in the beginning stages of a lot of the completion technology and a lot of the reserve estimates and did a lot of work with Amoco as far as drilling, completion and the reservoir end of the Fruitland Coal.

Q. What's the time frame of that involvement?

1 A. 1984 through mid-1986.

2 Q. Subsequent to that, describe your involvement
3 with the coal gas production and exploration.

4 A. As a consultant, drilled in excess of 30 wells,
5 have completed in excess of 50, and operated pumpingwise on
6 a contract basis 60 or more Fruitland Coal wells.

7 Q. What's your responsibility for any of the
8 Texakoma coal gas wells that were identified on the
9 exhibits introduced by Thompson?

10 A. Presently, I'm doing their engineering, field
11 engineering, I've taken a look at fluid levels, analyzing
12 that production, and I also had a contract operating
13 service where my guys were out there actually on the
14 ground, doing the work, operating the wells.

15 Q. Are you familiar with drilling wells near and
16 producing coal gas wells from the vicinity of the outcrop?

17 A. Yes.

18 Q. Have you been provided geologic displays by
19 Texakoma as part of your preparation?

20 A. Yes.

21 Q. In addition, did they provide you all the
22 production and other engineering data they had available in
23 their office for your preparation today?

24 A. Yes.

25 Q. And based upon your work, your experience and

1 your preparation, do you now have engineering opinions and
2 conclusions concerning the Thompson Application this
3 afternoon?

4 A. Yes.

5 MR. KELLAHIN: We tender Mr. Salzman as an expert
6 petroleum engineer.

7 EXAMINER CATANACH: Mr. Salzman is so qualified.

8 Q. (By Mr. Kellahin) Let me circulate the structure
9 map, Mr. Salzman.

10 I show you what is marked as Texakoma Exhibit
11 Number 1, Mr. Salzman. This display was generated by the
12 draftsman with Texakoma in Dallas, was it not?

13 A. Yes.

14 Q. Describe for me the color code, and then we'll
15 talk about the information.

16 A. This is a structure map of the same area as
17 Thompson Engineering Exhibit Number 2, Texakoma wells in
18 green, Hallwood wells in blue. These are all Fruitland
19 completions. We do not have the core holes from the USGS
20 spotted on here. And a yellow well in Section 28, being
21 what Texakoma considers the best standard location and a
22 red dot denoting the nonstandard location as applied for.

23 Q. Have you discussed the information contained on
24 this exhibit with the draftsman that prepared it and with
25 David Williams of Texakoma, the technical manager for that

1 company concerning this data?

2 A. Yes.

3 Q. Have you independently satisfied yourself to the
4 best of your knowledge that the information shown on this
5 display is true and accurate?

6 A. Very accurate.

7 Q. Have you utilized this information from which to
8 illustrate some of your engineering conclusions and
9 information?

10 A. Yes.

11 Q. When we look at the Texakoma wells, they're
12 identified by the green triangles, are they not?

13 A. Yes, sir.

14 Q. And have you become knowledgeable about those
15 wells?

16 A. Yes, sir.

17 Q. There is some difference in this structure map
18 and Mr. Emmendorfer's structure map?

19 A. Yes, there is.

20 Q. The opportunity for Thompson to drill a well in
21 the east half of 28, in order to recover gas reserves
22 attributable to 28, do you have an opinion as to whether
23 it's necessary to put that well at its proposed unorthodox
24 location?

25 A. I see no reason why it should be.

1 Q. You do not see a reason why it should be?

2 A. No.

3 Q. When you look at the standard location in yellow,
4 do you have an opinion as to whether that represents a
5 viable well location in which to access any recoverable
6 coal gas in the east half of 28?

7 A. The way the present pattern is set up, a standard
8 location, in my opinion, would produce more of those
9 reserves under the east half of 28.

10 Q. Summarize for us the reasons that you have
11 reached that engineering conclusion.

12 A. Standard pool rules call for a southwest and
13 northeast quarter section well, being 320-acre spacing.

14 Q. Is that simply an arbitrary rule, or does it have
15 meaning and significance for the coal gas development?

16 A. It -- Yeah, it has meaning and significance. I
17 don't think it was arbitrary. I'm not saying that it won't
18 change in the future.

19 However, to eliminate the kinds of things we're
20 getting into with the alternate location, the proposed
21 nonstandard location, that was the reasoning for those
22 rules, and to provide for adequate drainage, protection of
23 correlative rights and a fair and equitable distribution of
24 those reserves.

25 You were talking earlier about drainage patterns,

1 shapes of such, as they relate to positions on structure,
2 fracturing, natural and induced fracturing, under
3 stimulation. These aren't always going to be reserves
4 attributable to that gas under that lease line. However,
5 it provides for a fair and equitable distribution of those
6 reserves and recovery.

7 The red dot, the applied-for nonstandard
8 location, in my opinion, really takes that fair and
9 equitable right out of the ball park. And I think, as Mr.
10 Thompson testified earlier, there would be reserves left in
11 the northeast section of 28 by the nonstandard location.

12 Q. Do you concur in Mr. Thompson's conclusion that
13 the well in the northeast of 33 is going to recover more
14 than 4 BCF of gas in relation to what he forecasts to be a
15 BCF of gas recovered in the southeast of 28 by that well?

16 A. Let me go into some comparisons. Mr. Thompson's
17 testimony was somewhat unclear in my mind because of the
18 averaging of ratios, modeling of production curves, with
19 ten wells in the area, but with very limited data, as far
20 as long-term.

21 Texakoma and Hallwood both make their reserve
22 estimates based on the thickness of the coal and the gas
23 content of that coal in the area, defined by vitronite
24 reflectance.

25 Like Paul was saying, you would need a

1 pressurized core and do a degasification process to get an
2 exact and an actual. But the published data in this area
3 say that a 320 with an average of 30 feet of coal has 12 to
4 14 BCF of gas. And a recovery of 35 to 50 percent gets you
5 in that 4-BCF range. And the model fits for the 33-1 well
6 in the northeast quarter.

7 Now, how we get to a quarter of that, I think Mr.
8 Emmendorfer said that there was no difference in the coal,
9 the quality of the coal, the thickness of the coal or the
10 proximity to the outcrop would make any difference.

11 So I don't understand how a well, which is
12 actually a 57-acre offset to the 33-1, would produce a
13 quarter of the reserves of the 33-1. That -- I can't get
14 that engineeringwise.

15 Q. Mr. Emmendorfer is concerned about his position
16 in relation to the point of this anticlinal flexure or
17 bend, and his concern is founded, as I understand it, based
18 upon the expectation that if he's in the northeast quarter
19 he's going to have larger volumes of water, which he's not
20 able to quantify, but which concerns him and may affect his
21 well.

22 He draws by analogy information from Valencia in
23 Colorado.

24 Do you have experience and knowledge about the
25 Valencia area, and can you apply that in comparing or

1 contrasting the coal gas production that he is analyzing
2 with what we would see in Section 28?

3 A. You bet.

4 Q. Let's have you do that.

5 A. Reserves are directly proportional to the amount
6 of coal and the gas content of that coal. The La Plata
7 area, as we can see, it's basically 30 feet of coal.

8 Q. "La Plata area" meaning here in the 28 area --

9 A. Right.

10 Q. -- of this case?

11 A. The Valencia Canyon is 60 to 90 feet of coal,
12 depending on where you are from the outcrop.

13 Vitronite reflectance studies have shown the La
14 Plata area, for coal -- or gas content of the coal, to be
15 about 200 to 300 MCF per ton. The Valencia Canyon unit
16 area is in excess of 1000 standard cubic feet per ton.
17 When you compare those two, it's basically three times the
18 gas content.

19 In published data, in AAPG journals, they talk
20 about the fracture fairway, or the high-productivity
21 fairway, which runs directly into the Valencia Canyon area.
22 What controls that is a very highly fractured scenario.

23 Q. Do we have that fractured occurrence fairway in
24 the La Plata area, the 28?

25 A. I think Alan -- Alan said he hoped it would be

1 high, but I think that's a relative term. Relatively to
2 the -- if we would call the Valencia Canyon unit, or area,
3 high, which it is because it's the most fractured area in
4 the Basin, the cleat system at deposition in the La Plata
5 area would be classified as moderate to slight.

6 Q. The gas content of the coal in Valencia, compared
7 to La Plata, the advantage is to Valencia?

8 A. Oh, you bet, three times as much. Thickness --
9 Now, I'm talking about coal content per ton of coal [sic].

10 Q. I understand.

11 A. Thickness is another 20 to 30 percent higher.

12 Q. When Mr. Emmendorfer looks at the high water
13 production -- When Mr. Emmendorfer looks at the high water
14 production in the Valencia area, what is the range of water
15 production of those wells?

16 A. They're more highly fractured. The water
17 production in that area averages over 150 barrels of water
18 a day, in the Valencia. So you're looking at a more highly
19 fractured, more conductive reservoir. To compare that to
20 here as far as production characteristics, it's not even
21 close.

22 Salinity data shows lower salinities in that
23 northern part of the Basin, in the coal, and they -- This
24 leads into the recharge question. Yes, there is a lot of
25 recharge in that Valencia area. This is evidenced by

1 salinities, very, very low, less than 100 parts per million
2 chlorides.

3 That is not the case here. There's two things
4 that control that, and that's the hydrodynamic conditions
5 of that Valencia Canyon unit area -- They have a higher
6 potential because of elevation. The recharge area to the
7 north, obviously, those mountains around Durango have -- I
8 think it's about four times the amount of annual
9 precipitation.

10 So that, combined with the better reservoir
11 characteristics, gives that Valencia Canyon area a higher
12 recharge, that is not comparable to the recharge in the La
13 Plata area.

14 Q. Mr. Thompson is concerned that if he is required
15 to put his well back at a standard on-pattern 160 acres,
16 that he will be exposed to higher water rates, and because
17 he's only recovering a BCF of gas, he's concerned that his
18 well will be uneconomic unless it moves closer to the
19 Texakoma well.

20 One of the analogies he draws is to look at the
21 Texakoma well in Section 5, the 5-1 well, and he condemns
22 that well.

23 What is your information from Texakoma and your
24 analysis of the potential for the Texakoma well in 5-1?

25 A. The 5-1 well has made quite a bit of water, more

1 water than the 4-1. However, this distance to the outcrop
2 at the 5-1 is actually less than either the nonstandard or
3 the standard of Thompson.

4 Q. When we look at the 5-1, it's 2520, as plotted on
5 Exhibit 1?

6 A. Yes, sir.

7 Q. And then we look at either the standard location
8 or the unorthodox location for Thompson, and the footages
9 are shown there?

10 A. 2980 at the standard, 3980 at the nonstandard.

11 Q. Despite the fact that the Texakoma 5-1 is closer
12 to the outcrop, what do they forecast and what have you
13 analyzed to be its estimated ultimate gas recovery?

14 A. I think Alan's testimony said that the coal was
15 relatively the same, gas contents were the same.
16 Texakoma's reserve analysis projects the 5-1 to be about a
17 3-BCF well.

18 Of the five wells there, it has got to recover
19 the most water, and that being about 43,000 barrels of
20 water.

21 Now, that's not a cumulative water over the life;
22 that is 43,000 barrels to reach the peak rate.

23 Q. Do you recall what is being forecast as the peak
24 rate for the Texakoma 5-1 well?

25 A. About 450 MCF a day.

1 Q. That's forecasted to be a commercial success?

2 A. Yes, sir.

3 Q. All right.

4 A. The -- As Paul was talking about, the early time,
5 it's going to be uneconomic.

6 Q. Uh-huh.

7 A. However, the gas desorption and the gas
8 dewatering process is not anywhere correlative to standard
9 oil and gas production, and you have got to go through that
10 process of dewatering to get your gas to come.

11 Desorption rates in this area, 50-percent
12 reduction in bottomhole pressure provides you about 10
13 percent of your reserve.

14 Q. Let's try to quantify in this area the type of
15 initial water production that's occurring. Let me show you
16 what we've marked as Exhibit Number 2.

17 Again, Exhibit Number 2 uses the same base map on
18 structure, and then it plots by color code the various
19 wells in the area, showing the first monthly average daily
20 water production rate; is that not true, sir?

21 A. Yes, sir.

22 Q. All right. Help us analyze and understand what's
23 occurring in this area, as contrasted to the Valencia area,
24 in terms of these initial monthly average water rates.

25 A. The initial monthly averages -- I mean, we can

1 take a look here, 37, 25, 53, 33, 75 -- I mean, taking a
2 look at what we call the synclinal area, these are
3 relatively low, as compared to some of the wells in
4 Valencia Canyon. Very high productivity. Initial
5 potentials up to 10 million a day and 400 or 500 barrels of
6 water a day. This is nowhere near that type of prolific
7 production.

8 Q. Draw some comparisons or dissimilarities for us.
9 Next to each well symbol that's colored there's a number.
10 That number represents what? The first monthly average
11 water for that well?

12 A. Right.

13 Q. When you look at that and find that well's
14 position in relation to the outcrop or this point of
15 flexure, there's no direct correlation, is there?

16 A. No, there isn't.

17 Q. For example, in 27, when you get that Hallwood
18 well it's got 122 barrels a day at plus 4100, right?

19 A. Right.

20 Q. And then you go back over and look at Section 5,
21 the 5-1, which is closer to this point of flexure, and it's
22 only making 37 barrels of water a day?

23 A. Right.

24 Q. Okay.

25 A. These -- Your next question, obviously, is, what

1 causes this?

2 Q. Yes.

3 A. The natural characteristics of the well and the
4 reservoir, number one. However, what we do to that well,
5 how we complete that well, what we've done to the well
6 during the drilling and completion process also affects
7 that, and can be quite dramatic.

8 For example, in Hallwood's 22 wells, they
9 completed 14 of them with an open-hole packer, which kept
10 the cement off of the basal coal. And when you compare
11 those two completion techniques, the gas and water rates
12 both are about double for the wells that were, let's say,
13 kept cleaner during the completion.

14 Another thing that can affect that is your
15 stimulation job. Most of these wells are frac'd with a gel
16 or a foam and 100,000 pounds of sand. Texakoma, at one
17 point, thought that two grades of sand would help them out,
18 two sizes. Hallwood didn't necessarily believe that; they
19 used primarily 24 sand. But frac lengths, frac widths all
20 affect these numbers.

21 So to try to say that these wells in this area
22 should average this and compare that to my location or your
23 location, there's a whole lot of things that go into that.

24 Q. All right. In order for Mr. Thompson's analysis
25 to be reliable, do you not have to start with the

1 assumption that all these wells are drilled and completed
2 in identical situations?

3 A. For the best statistical reliability, that's
4 true.

5 Q. And if the initial oil or water rate of a well
6 has been affected by the manner of completion and
7 stimulation, that is going to distort whether that well's
8 position in the reservoir is affected by its position or by
9 its completion; is that not true?

10 A. That's true.

11 Q. Mr. Thompson is concerned that it's not the total
12 volume of water to be produced, but it is the ratio of gas
13 rate to water rate and the economic consequences of that.
14 I believe that was his position. And he's finding that his
15 forecast is that his gas rate will be low in comparison to
16 the water ratio, and therefore his well would be uneconomic
17 and it would have -- it failed.

18 A. Averaging ratios, statistically, in statistical
19 theory, will tend to narrow your band. It does the same
20 thing as throwing percentages around. Politicians like to
21 do that.

22 If you take -- I've plotted his model, and
23 looking at -- well, number one, the sample of wells,
24 they're all close, they're relatively close. It's a small
25 sample.

1 To try to draw conclusions from only three wells
2 that have been on for six years or more and make that your
3 model, only three wells have been on for five years or
4 more, only four of those wells on for four years or more,
5 that is not statistically a very good sample of wells.

6 As you plot this data, you find that his ratios
7 in high-IP wells are relatively close. And then, as you
8 come back and take a look at that first-year average
9 production, these things vary wildly.

10 So this ratio -- attempt at averaging ratios
11 falls apart at low rates. I mean, it ranges from a 1.7-
12 fold increase to a 10.7-fold increase. I mean, that's a --
13 Let me use a percentage. That's a 1000-percent range, from
14 top to bottom. Statistically, that's not a -- I wouldn't
15 use this for statistical accuracy and reliability.

16 It is a method. It seems to work at higher
17 deliverabilities, but it falls apart in the low ranges.

18 Now, you ask, where are those low-range wells?
19 Well, obviously, it's right where we're dealing with,
20 because Paul feels his well is going to be marginally
21 economic in that low range.

22 But to take his model and apply it to any of
23 those low-rate wells, we have no statistical consistency to
24 do that, which shows -- I expressed a concern over a 57-
25 acre offset well recovering only a quarter of the 33-2 well

1 in the northeast quarter.

2 That illustrates the statistical unreliability of
3 this model. You wouldn't expect a well, a 57-acre offset,
4 to be a whole lot different reservoirwise, pressurewise,
5 water-saturationwise, thicknesswise, gas-contentwise, and
6 should be relatively close on ultimate recoveries. But it
7 illustrates how this model falls apart at low rates,
8 because of the averaging of ratios.

9 Q. Let me show you an Exhibit 3 to illustrate where
10 these wells are in terms of their de-watering process,
11 tabulates the cumulative water produced.

12 Use this as illustration for us, Mr. Salzman,
13 show us where we are in terms of dewatering the coal in
14 this area.

15 A. Well, obviously these wells have -- the -- Well,
16 let's just take a look at the colors on the map and compare
17 that to your Exhibit Number 1 and find the blue Hallwood
18 wells. In relation to Texakoma's wells, they have had
19 higher water recovery.

20 This is completely expected, due to the fact that
21 they were drilled in the early 1990s, and a few of them
22 have been on production for six years or more. The
23 Texakoma wells have been on all for less than two years.
24 The 33-2 that's in question here was just first delivered
25 in November of 1996. We have very, very limited data on

1 that well.

2 Q. At this point is there -- have these wells been
3 dewatered to the point where we can make decisions about
4 granting exceptions to the on-pattern requirement of
5 putting wells in the northeast or the southwest quarter
6 sections of a section?

7 A. Now --

8 Q. The Hallwood exception, I guess, was a matter of
9 convenience for Hallwood.

10 A. The southeast of 27?

11 Q. Yes, sir.

12 A. That was an existing wellbore?

13 Q. Yes, sir.

14 A. Anytime you can use an existing wellbore, they
15 own the entire 640, and they were -- they may see some
16 interference. These are 160-acre offset wells. They will
17 probably see some interference between those two.

18 Q. Have we reached the point of producing the coal
19 in this area to make accurate and reliable decisions about
20 the necessity to grant exceptions for off-pattern
21 development?

22 A. No, I -- The geology, proximity to the outcrop,
23 this synclinal theory, all of Texakoma's wells and the
24 contested well here are in that area. I -- As an engineer
25 looking for accuracy, I wouldn't say that any predictions

1 can be made, as far as the necessity of a nonstandard
2 location.

3 Q. Would the granting of this Application create a
4 precedent in here for the off-pattern development, which
5 will create 160-acre spacing?

6 A. Not only do I think it's detrimental to the fair
7 and equitable distribution of reserves, it -- As Mr.
8 Thompson admitted, it is not the most efficient mechanism
9 by which to drain this reservoir. As he said, there would
10 be reserves left in the northeast quarter, should the
11 nonstandard location be approved.

12 Q. Are you familiar with the requirements of the
13 coal-gas spacing rules for the San Juan Basin that requires
14 significant reservoir simulation and study in order to take
15 an area to 160-acre gas spacing?

16 A. I have not been involved in any of those, but I
17 understand it's a quite lengthy process. And the level of
18 accuracy and the level of in-depth investigation is fairly
19 high.

20 Q. In your opinion as an engineer, are we ready to
21 engage in 160-acre development in this part of the
22 Fruitland Coal Gas Pool.

23 A. No, when I have 320s on standard pattern in an
24 area that have only been on two years or less, no, I don't
25 see any way to draw any conclusions to densify to 160, let

1 alone 57.

2 Q. Is there any way to construct a penalty to
3 balance the equities between Section 33 and a well drilled
4 in an off-pattern location in 28?

5 A. Does that require a yes or no answer? I'm sure
6 there is.

7 Q. Well, let's talk about the things that we would
8 have to know.

9 A. Okay.

10 Q. When we look at standard spacing patterns in the
11 northeast of the southwest, the assumption with that
12 pattern is that there will be some off-spacing-unit
13 drainage under that situation; is that not true?

14 A. You bet.

15 Q. And let's look at what happens when you stay on
16 pattern. If you'll look at the area of Sections 3, 4, 34
17 and 33, all those wells are on pattern?

18 A. Everything Texakoma has drilled is on pattern.

19 Q. Illustrate for me as an engineer how that pattern
20 remains a useful way to balance correlative rights in
21 competition in the reservoir, by honoring such a pattern.

22 A. Well, when you honor that pattern it goes back to
23 the terminology of fair and equitable distributions of
24 reserves.

25 It's easy in this area to see how that is done,

1 because our coal thicknesses are basically the same, our
2 gas contents are basically the same. Mr. Emmendorfer has
3 testified that proximity to the outcrop shouldn't make any
4 difference. And we can't quantify a water number,
5 according to their testimony, based on that proximity to
6 the outcrop.

7 But you can see how this on-pattern spacing has
8 provided for adequate well density to drain the reserves
9 and adequate reserves to justify drilling a well.

10 Q. Let's look at the relationship of 28 to 27.

11 A. Okay.

12 Q. Hallwood, by intention, if you will, has
13 defaulted on its opportunity to drill a well in the
14 southwest quarter, taking the expedient solution of
15 recompleting an existing wellbore in the southeast, right?

16 A. Right.

17 Q. And by default, then, they're conceding
18 recoverable gas reserves to any well drilled in the east
19 half of 28?

20 A. Right.

21 Q. Isn't that right?

22 A. Uh-huh.

23 Q. The west half of 27 is now available for drainage
24 by a well in 28?

25 A. Oh, you bet. If you take a look at the middle --

1 I mean, just the distances from the middle of the west half
2 of 27, to either -- either the proposed standard or
3 nonstandard location, those reserves are liable to be
4 drained by either well.

5 And the pattern provides for that. I mean, you
6 just can't drain the reserves under your lease as a square
7 pattern with some type of radial or elliptical drainage.

8 Q. Thompson makes the contention that by keeping the
9 wells the equivalent distance from the common section line,
10 that somehow that's fair?

11 A. No, it's really --

12 Q. -- response? Well, under this spacing pattern,
13 there are reserves attributable to the 33-2 well that lie
14 in the southwest quarter of 27, southeast of 28 and some in
15 the northwest of 34, just due to the nature of what I've
16 just explained, a radial or elliptical drainage pattern in
17 a rectangular proration unit. But that has been planned on
18 and expected.

19 However, to pool one in at 57 acres then distorts
20 that pattern and precludes the 33-2 from recovering its
21 fair and equitable portion of those reserves.

22 Q. In your opinion, is the drilling of the Thompson
23 well a well that's necessary? Or are we going to have two
24 wells competing for the same general area of reserves?

25 A. Oh, you bet. Two wells -- If these two wells

1 were not competing, the Commission would have already
2 approved 40-acre spacing for Fruitland wells.

3 Q. Let's look at the components or the parameters
4 that you used, Mr. Salzman, at determining viable well
5 locations for coal gas wells. You do look at coal
6 thickness, do you not?

7 A. Yes.

8 Q. And why is that important?

9 A. It is one parameter under which you can define
10 gas in place and then recoverable reserves.

11 Q. And when we look at Mr. Emmendorfer's coal-
12 thickness map, he enjoys that opportunity at a standard on-
13 pattern location, which has an advantage to the off-pattern
14 location, does it not, using that parameter?

15 A. As far as coal thickness?

16 Q. Yes, sir.

17 A. That's right.

18 Q. Proximity to the Fruitland outcrop is not a
19 concern, as I understand it?

20 A. According to Mr. Emmendorfer, that is not.

21 Q. How would you recommend that the well be drilled
22 and completed if the Division requires it to be drilled in
23 the northeast quarter? What would you do? Are you going
24 to drill this as a cased hole or an open hole?

25 A. I believe that based on Hallwood's completion

1 analysis, I would drill an open hole in the basal coal
2 section and use an open hole packer.

3 If you take a look at -- These are the number of
4 months on production, average daily production. The yellow
5 represents the wells in which the open-hole packer was not
6 used.

7 MR. CARR: Is this an exhibit?

8 MR. KELLAHIN: Not yet. I'm about to mark it.

9 MR. CARR: Okay, because I'd like to see a copy.

10 THE WITNESS: And these wells with the higher
11 rates did use the open-hole packer.

12 Q. (By Examiner Catanach) Do you have copies of
13 that Mr. Salzman?

14 A. Ten of them.

15 And this also is another piece of data that shows
16 why this averaging of ratios, as far as predicting a model,
17 why some of those completion techniques and problems make
18 this model fall apart, as you can see is evidenced by the
19 higher rates from the wells completed with the open-hole
20 packer.

21 Q. You would complete it in the open-hole fashion in
22 the Basin Coal. How would you stimulate it? Would it be
23 fracture-stimulated?

24 A. Yes.

25 Q. Do you have a forecast, based upon your

1 experience, an estimate of the total volume of water that
2 you would have to remove from a well in this area in order
3 to dewater it and obtain a peak gas rating?

4 A. With Texakoma's modeling work, average is about
5 35,000 barrels of water removed to attain a peak rate.

6 Q. In this area, is that total water volume going to
7 be affected by whether the well is drilled in the northeast
8 quarter of Section 28 versus the southeast of 28?

9 A. According to Mr. Emmendorfer's testimony -- I'm
10 not a geologist, but according to his testimony, that
11 recharge was not an issue and didn't -- did not -- or was
12 not a controlling factor in that water production.

13 Q. Do you see any justification, then, for approval
14 of this Application at its off-pattern location?

15 A. No.

16 Q. What do you recommend?

17 A. I would recommend drilling it at the standard
18 location. Because of the outcrop in the northwest part of
19 that section, that coal is still available, and Mr.
20 Emmendorfer's testimony said that those reserves are there
21 and are recoverable. I believe they're economic reserves.
22 And like Paul says, at certain times you've got to drill
23 the well to find out where you are.

24 We've seen that this model falls apart at very
25 low rates. The 33-2 is a low-rate well. I don't think we

1 can predict rates and reserves from a production model.

2 However, from gas in place we know that we -- all
3 of these wells should cum 2.8 to 4 BCF of gas, which is a
4 far cry from his 1 BCF.

5 However, if he drills the nonstandard location,
6 his ultimate recovery is going to go down, because he's
7 going to be competing with the 33-2 well.

8 I would recommend drilling it at the farthest
9 south and farthest east location in 28. If this was my
10 prospect and my money, according to the geologist, the
11 reserves are there in the east half.

12 There's a caveat involved here --

13 Q. I'm sorry, where were your footages? I've
14 forgotten. In the east half where would you put the well?

15 A. In the east half?

16 Q. Yeah --

17 A. 790 from the east line, and as far south as I
18 could go from the north line. What is that?

19 Q. In the northeast quarter?

20 A. Yes. I mean, at a standard location.

21 Q. I see what you're saying.

22 A. But that would give me the opportunity to deplete
23 the reserves in the northeast quarter of 28, the southeast
24 quarter of 28.

25 And then the caveat lies in the fact that the

1 existing wellbore exception was granted to Hallwood in 27,
2 and there is a good chance that some reserves would be
3 drained from there.

4 Q. A well at a standard on-pattern location, then,
5 would join the opportunity to recover those gas reserves
6 without being in direct competition with any other well?

7 A. No, no.

8 Q. It has no competition, does it?

9 A. No.

10 MR. KELLAHIN: That concludes my examination of
11 Mr. Salzman. We move the introduction of his Exhibits 1
12 through 4.

13 EXAMINER CATANACH: Exhibits 1 through 4 will be
14 admitted as evidence.

15 CROSS-EXAMINATION

16 BY MR. CARR:

17 Q. Mr. Salzman, do you have a copy of the structure
18 map --

19 A. Yes, sir.

20 Q. -- prepared by Mr. Emmendorfer?

21 Let's go first to your Exhibit Number 1.

22 A. Uh-huh.

23 Q. I believe you testified you did not prepare this
24 exhibit?

25 A. No, sir.

1 Q. And we have this structure map, and we compare it
2 to the structure map prepared by Mr. Emmendorfer. We have
3 two interpretations of the structure on the base of the
4 Fruitland Coal --

5 A. Yes, sir.

6 Q. -- is that not right?

7 Now, you have reviewed this information on the
8 exhibit, your Exhibit Number 1; is that not true?

9 A. Yes.

10 Q. Now, when you started to testify, you -- I
11 believe you testified that you had not looked at the data
12 on the wells from the BLM that are shown on Mr.
13 Emmendorfer's exhibit. Have you seen the four wells that
14 are --

15 A. Oh, yeah.

16 Q. -- the BLM wells?

17 A. Yeah, LP-4, 2, 3 and 1?

18 Q. Yes. Have you reviewed those, other than just
19 noting them on this exhibit here today?

20 A. No.

21 Q. The logs on those wells were not made available
22 to you?

23 A. And so you don't -- haven't been able to
24 independently check what those might have shown, as opposed
25 to what anybody may have mapped?

1 A. Exactly.

2 Q. Okay. If we look at Mr. Emmendorfer's structure
3 map --

4 A. Uh-huh.

5 Q. -- and we go into the southwest quarter of
6 Section 28, do you see where the BLM log LP-3 is indicated?

7 A. Yes, sir.

8 Q. And below that it says plus 5234?

9 A. Yes, sir.

10 Q. Now, if we go over to the structure map you've
11 been working from and we go into the southwest of Section
12 28 --

13 A. Uh-huh.

14 Q. -- we don't see contours there, but if we would
15 place a well spot close to where we have the LP-3 on
16 Emmendorfer's exhibit --

17 A. Yes, sir.

18 Q. -- we, in fact, would have a well spot somewhere
19 between the 4500 contour and the 5000; isn't that right?

20 A. Yes, sir.

21 Q. And yet the BLM log is showing that well to be at
22 5234; is that right?

23 A. Right.

24 Q. Somebody's wrong here, isn't that fair to say?

25 A. It's fair to say.

1 Q. And so either Mr. Emmendorfer is wrong or your
2 geologist is incorrect --

3 A. Right.

4 Q. -- as to that? All right.

5 I think you indicated that what you're concerned
6 with when you deal with the Fruitland Coal rules is an
7 equitable, fair distribution of those reserves?

8 A. Yes, sir.

9 Q. And that works well if we're in the heart of the
10 Basin Fruitland Coal and we have section after section
11 where you're able to put a well in the northeast quarter
12 and in the southwest quarter; isn't that right?

13 A. Oh, you bet.

14 Q. And if you can produce reserves from Section 28,
15 if you can produce gas, recover gas from Section 28, then
16 it ought to work there too; isn't that your testimony?

17 A. Oh, yeah.

18 Q. And you believe that you can recover reserves
19 from all of 28; is that right?

20 A. No, from the proration unit that we're dealing
21 with here. I did not say --

22 Q. All right.

23 A. -- the entire section.

24 Q. You believe there is recoverable reserves under
25 the east half of 28?

1 A. Yes, sir.

2 Q. And you're not talking just about gas in place or
3 the thickness of the formation, but in fact that there is
4 the mechanism to recover that, those reserves?

5 A. The mechanism by which to dewater that coal,
6 desorb the gas and produce those reserves.

7 Q. Do you think that the pool rules would provide an
8 equitable distribution of reserves if, in fact, the only
9 producible reserves under Section 28 were in the southeast
10 quarter?

11 A. That's conjecture.

12 Q. Well, but we're talking about what would be an
13 equitable distribution of reserves. You would agree with
14 me that if there are recoverable reserves under the
15 southeast of Section 28, that it isn't conjecture that
16 somebody has a right to produce those?

17 A. Under the rules of the Commission, it requires
18 320 acres to drill a well.

19 Q. So if there is only, for the purpose of argument,
20 160 acres, being the southeast quarter of that section that
21 has recoverable reserves under it, then the owner of those
22 reserves, do they still have to go up into the standard
23 locations and drill wells there? Do you understand --

24 A. Who would lease 320 acres where you only had 160
25 acres of reserves? That wouldn't happen, I don't believe.

1 Any prudent operator, no.

2 Q. You don't know of an operator that has a 320-acre
3 lease that only half of it is productive?

4 A. Not here where we're talking about, no.

5 Q. If we look at the Texakoma well in Section 33 up
6 in the northeast quarter --

7 A. Uh-huh.

8 Q. -- that well is not producing at this time; is
9 that correct?

10 A. That well is producing.

11 Q. How long has it been producing?

12 A. Four months.

13 Q. And if I understood your testimony, for it to get
14 its equitable distribution of reserves out of the
15 reservoir, it will be draining reserves from the southeast
16 of Section 28; is that right?

17 A. Yes, sir.

18 Q. And if you locate a well equidistant from that
19 common boundary where we're proposing, 790 from the lease
20 line, would you expect there to be net drainage toward
21 either of those tracts, along that common lease line?

22 A. Okay, let's start that one more time. I lost
23 you.

24 Q. All right, you've got wells equidistant from a
25 common lease line, a proposed location, and your well in

1 the northeast of 33 --

2 A. Okay.

3 Q. -- and they're both producing. Based on what you
4 know of this reservoir, would there be net drainage across
5 that lease line?

6 A. In a radial pattern, an elliptical pattern?

7 Q. I don't care what pattern.

8 A. Well, you're -- That's theory.

9 Q. Well, I'm asking you for your opinion. You've
10 qualified as an expert, and I'd like your expert opinion as
11 an engineer to tell me if in a situation where you have two
12 wells equidistant from a common lease line and both are
13 producing at unrestricted rates, do you see drainage across
14 that lease line, or should that be reasonably close to the
15 no-flow barrier?

16 A. That would be a no-flow barrier under your
17 assumptions.

18 Q. All right. And now go with me and assume that
19 there isn't a well in Section 28. Without that the
20 reserves from Section 28 are going to be drained toward the
21 well in 33; isn't that right?

22 A. Yes, sir.

23 Q. And if, for whatever reason -- Just ride with me,
24 take this as an assumption, that I can't drill in the
25 northeast or the southwest of that quarter, there's no

1 other way for me to produce the reserves in the southeast
2 unless I drill a well there; isn't that right?

3 A. That is right, but that does not relate to a fair
4 and equitable share of the gas in the reservoir --

5 Q. Well --

6 A. -- and I'll tell you why, because a standard
7 location would be draining some of the --

8 Q. Standard location, what section?

9 A. In 28, would be draining some of the reserves out
10 of 22, southwest quarter, southeast of 21 --

11 Q. Let me back up.

12 A. -- and some --

13 Q. A standard lo- --

14 A. -- in the west half of 27.

15 Q. I'm talking now about in the southeast quarter.
16 I'm saying that you -- for the purpose of the argument, if
17 you can't drill a well and produce reserves in either the
18 northeast or the southwest of 28, you have to drill in the
19 southeast? I mean, it's a simple question.

20 A. If I can't drill in the northeast, do I have to
21 drill in the southeast?

22 Q. If you can't drill in the northeast or the
23 southwest and you've got reserves in the southeast,
24 obviously you have to put your well there, don't you?

25 A. Under your assumptions, yes, sir.

1 Q. And yet where we differ is, you think we can
2 locate a well in the northeast, and we do not? Isn't that
3 a fair way to characterize our differ- --

4 A. You bet. I think that's why we're here.

5 Q. Let's take a look at Thompson Exhibit Number 3.

6 A. You bet.

7 Q. This is up in Valencia County where I believe you
8 testified they have --

9 A. Valencia Canyon.

10 Q. Canyon?

11 A. Canyon.

12 Q. Canyon. -- where they have three times the gas
13 in place as they do in the area we're talking about in this
14 area.

15 If we look at Section 31, we still do have a
16 section that is traversed on the west side by the Fruitland
17 outcrop; isn't that right?

18 A. Uh-huh, yes.

19 Q. They are similar in that regard?

20 A. Yes.

21 Q. And if we look at the three wells that are on
22 this tract, the one in the northeast quarter has produced
23 1/100 of a BCF and 375,000 barrels of water?

24 A. Right.

25 Q. And that's not a very good well, is it?

1 A. No, sir.

2 Q. And if we go down to the southwest quarter and we
3 see 2/100 of a BCF and 381,000 barrels of water, that's not
4 a very good well, is it, either?

5 A. No.

6 Q. However, if we go over to the well in the
7 southeast quarter, we have 1.3 BCF and only 192,000
8 barrels. That's a much better Fruitland Coal well, is it
9 not?

10 A. Uh-huh.

11 Q. And basically what we have here is, the well away
12 from the outcrop is a better well? Do you agree with me on
13 that?

14 A. Yes.

15 Q. And when we look at our section, although we have
16 only one-third the gas in place, we still have a situation
17 where we are proposing a well as far away from that outcrop
18 and monocline as we can get; isn't that right?

19 A. Yes.

20 Q. Now, if we go to your Exhibit Number 3 -- and
21 don't let me misstate you, but I don't believe you're
22 signing on to the monocline theory; is that a fair
23 statement? You --

24 A. Explain to me --

25 Q. Do you believe -- Do you believe that you should

1 try to drill wells away from the monocline, if you're going
2 to make a good well?

3 A. Theory on monoclines says that you ought to drill
4 at the base --

5 Q. -- of the monocline?

6 A. -- of a monocline, because that is where you get
7 maximum flexure and maximum fracture.

8 Q. Okay. And so it would make sense, if Mr.
9 Emmendorfer is correct, to place a well at the base of the
10 monocline where he's trying to do it; isn't that right?

11 A. No, I think his theory was, Basinward from that
12 maximum flexure.

13 Q. Now --

14 A. He wants to stay away from the maximum flexure.
15 Physics tells me that that's where the most fractures are
16 going to be, and they'll be parallel to strike.

17 Q. Would you be in agreement with Mr. Emmendorfer
18 that what you want to be is not on the monocline itself?

19 A. Is that -- I don't understand the theory. He
20 said that the distance to that outcrop made no difference,
21 because the coal was of consistent physical nature, I mean
22 thickness and gas in place, and that that didn't make any
23 difference.

24 So I don't understand how I'm supposed to
25 delineate on the monocline, on the syncline or into --

1 Well, high dip, high flexures or flat formations, I don't
2 know how to --

3 Q. Basically --

4 A. -- quantify that.

5 Q. Basically you're saying that you don't understand
6 his theory as to why he would want to be in the southeast
7 corner of the east-half spacing unit in 28; isn't that
8 right?

9 A. Yeah, I don't see any difference in those two
10 locations, as far as the ability to produce economic
11 quantities of gas.

12 Q. All right. If we look at your Exhibit Number 3,
13 you were talking about the Hallwood well in the southeast
14 of Section 27?

15 A. Yeah.

16 Q. And I believe it was your testimony that this was
17 an expedient place to test the Fruitland because there was
18 an existing well at that location?

19 A. You bet. And there was probably a log run -- I
20 don't -- They could take a look at the coal and the quality
21 and the entire deal.

22 Q. And it was -- Was it your testimony that by going
23 to that location, in fact, Hallwood was conceding drainage
24 to the offsetting wells?

25 A. On a purely physical basis, anything in the west

1 half is liable to be drained by anything in the east half
2 of 28, any well drilled in the east half of 28. Those
3 reserves would be available to drainage.

4 And going back to your assumptions, all things
5 being equal, and I think you said producing unrestricted.

6 Q. Let's move from that well, where they drilled at
7 a convenient location, to Section 24 on the right edge of
8 your exhibit, all right? Do you see Section 24, right side
9 of the exhibit, second full section down?

10 A. Yeah.

11 Q. And we have a Hallwood well in the southeast-
12 southeast in that section too, do we not?

13 A. Uh-huh.

14 Q. That was a new drill, was it not?

15 A. Uh-huh.

16 Q. It's been plugged and abandoned, has it not?

17 A. Uh-huh. Is that the USA Number 1?

18 Q. I don't know the number of the well.

19 A. Is that --

20 Q. That is the USA Number 5.

21 A. Okay, Number 5.

22 Q. That well has been plugged and abandoned?

23 A. Yes, sir.

24 Q. And it has been plugged and abandoned because
25 they could never get it to dewater, isn't that right?

1 A. I don't know, honestly. I think there was a
2 mechanical failure.

3 Q. If you go directly -- If you go directly west of
4 that, there is a gas well spot. I'm talking about the
5 right spot of the two in that southwest of 24. That well
6 is experiencing the same problem, is it not? They can't
7 get it to dewater?

8 A. Spot me again?

9 Q. It's the well, if you go from the one we were
10 just talking about in the southeast of 24, go due west,
11 it's the first gas spot of the two on that in the
12 southeast. It's the -- In the southwest quarter of 24,
13 it's the easternmost of those two gas spots.

14 That well is also having problems because they
15 can't get it to water -- to dewater; isn't that right?

16 A. I'm not -- I'm not -- I don't work for Hallwood.

17 Q. Was it your testimony that back on the well in
18 the southeast of 27 that it was not going to drain reserves
19 from the southwest of 27? I just didn't hear you.

20 A. I don't -- If I said that, that's not what I
21 mean.

22 Q. Okay.

23 A. You know, if a 320-acre spacing is what we
24 interpret now as adequate to drain, we've got -- the
25 proration units would be laydowns, then. And it would

1 drain some reserves from that southwest quarter in a radial
2 or elliptical pattern.

3 Q. Mr. Salzman, the reason you're here today for
4 Texakoma is that you're concerned that a well at the
5 proposed location is going to reduce the reserves produced
6 by your well, the 33-2; is that not right?

7 A. Yes.

8 Q. And you believe that by putting the well where
9 we're proposing, that you're going to get your fair and
10 equitable distribution of the reserves in the reservoir; is
11 that not right?

12 A. Right.

13 Q. And with a well where you're placing the 33-2,
14 and without a well north of it as we're proposing, it's
15 obviously going to drain reserves from the offsetting
16 sections; is that not correct?

17 A. I think that's why the patterns were set up that
18 way, to keep that consistent.

19 Q. And if Thompson is to be able to also get its
20 fair and equitable distribution of reserves in the
21 Fruitland, it needs to not only have a well in the
22 northeast quarter, but a well that can effectively drain
23 the reserves, correct?

24 A. Correct.

25 Q. And you believe that a well at that location

1 could effectively drain that spacing unit?

2 A. More effectively drain the spacing unit than the
3 nonstandard location.

4 Q. And you believe that that well is not on the
5 monocline; isn't that right?

6 A. I believe it's not -- ?

7 Q. -- on the monocline itself, at a standard
8 location in the northeast?

9 A. How far from the north line?

10 Q. Where you're proposing it.

11 A. Oh, where I propose it?

12 Q. Yes.

13 A. No, on my map, if you take a look at the 5500
14 contour, the 5000 and 4500 contour, that well would be at
15 the base of the monocline, in the area of highest flexure,
16 which in my opinion is the area of highest fracturing, and
17 in most people's opinion the area of a higher IP than on
18 that monocline.

19 Q. And to get to that point, we have to assume that
20 the geological interpretation you're working with is
21 correct, and not the one that Mr. Emmendorfer has
22 integrated BLM data into, correct?

23 A. As far as depths above sea level?

24 Q. As far as the location of the monocline.

25 A. Okay, let's go through that one more time.

1 Q. If we look at Mr. Emmendorfer's structure map --

2 A. Yes, sir.

3 Q. -- the monocline comes right through the
4 northeast of Section 28, does it not?

5 A. Yes.

6 Q. If we look at yours, it does not?

7 A. Yes, it does. The monocline comes through the
8 northeast.

9 Q. But your well location is not placed in the
10 center of the monocline as it would be if we used Mr.
11 Emmendorfer's interpretation; is that not correct?

12 A. Well, you know, it's very hard to tell. And like
13 Mr. Emmendorfer has testified, his draftsman was having
14 problems due to the thickness of these lines. This was
15 also hand-drawn and not computer-generated.

16 If you take a look at the smoothing of the
17 computer-generated curve, you'll find that it may be, as
18 far as your distance between contours, at any -- or between
19 any two data points may provide a more accurate
20 interpretation than a hand-drawn one where -- You know,
21 these contour lines are 100-foot contours, and the width of
22 those -- the width of those ink lines, assuming that the
23 section is 5280, I'd say those -- the width of them is 100
24 feet. So it may be difficult to say.

25 Q. Well, whether we're computer-generating or hand-

1 drawing, wouldn't it be important to you to have all data
2 available in the area integrated into your geologic
3 interpretation?

4 A. You bet.

5 Q. And wouldn't you want the BLM data?

6 A. You bet.

7 Q. And that data is commercially available, and if
8 you were doing this again wouldn't you want that integrated
9 into your interpretation?

10 A. If I were paying for it, I'd want it.

11 Q. And if we have a well at your location, the
12 location of your 33-2 well and no offsetting well, in fact,
13 you're going to be draining reserves from the southeast of
14 Section 28; that's correct, is it not?

15 A. To an extent, yes.

16 Q. And you've been talking about the number of
17 barrels of water you have to produce to generally get a
18 well in this area to its peak producing rate?

19 A. Right.

20 Q. And you said 35,000 barrels?

21 A. As an average of the Texakoma wells.

22 Q. And that's just an average, is it not?

23 A. And that -- That is just an average.

24 Q. And you have to look at the individual well to
25 really know what it takes to get that well --

1 A. Yeah, because -- I mean, as we've seen, averaging
2 techniques and trying to predict from arithmetic averages
3 falls apart when we're dealing with wells of this nature.

4 MR. CARR: That's all I have.

5 MR. KELLAHIN: No, sir, nothing else.

6 EXAMINER CATANACH: Just a couple.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Where do you estimate the base of that monocline
10 to be? At 4500, more or less? Is that where you're
11 estimating that?

12 A. I've got a -- yeah, the base of the monocline --
13 and it's hard to tell -- What direction are you wanting to
14 come from? If we're coming from the north to our yellow
15 dot, I would say the 5500, 5000 and 4500 are equidistant,
16 showing a monocline.

17 Right there at 4500, at the yellow location,
18 standard location, is where your flexure, your maximum
19 flexure, starts. That's where those lines start getting
20 closer together. That is the start of the curve. I think
21 Alan described that as the second derivative. You would
22 take the second derivative to find the arc of that or the
23 angle of that. The rate of change is what it is.

24 But the base of that monocline, yes, is at about
25 that location.

1 Q. So would you want to go any further north or east
2 -- I'm sorry, north or west of that yellow dot? Would you
3 feel safe in going any further north or west?

4 A. Based on the fact that there probably are
5 reserves in the southeast quarter of 21? Based on
6 everyone's analysis here, I don't think it would hurt.

7 However, if you want to maximize the reserves I'd
8 put it right there, because it's going to be equidistant
9 between the northeast of 33, the southeast of 27 and the
10 northeast of 27. I think that's -- would maximize my
11 recovery.

12 Q. Do you know what the 33 Number 2 is currently
13 producing at?

14 A. Yes, sir. Production report for 3-18-97 was 40
15 MCF, 50 barrels of water, at a flowing tubing and casing
16 pressure, 41 on the tubing, 47 on the casing. That well is
17 on pump.

18 Q. Would you expect -- If a well was drilled in the
19 southeast quarter of Section 28, would you expect that well
20 to exhibit similar producing rates as the 33-2?

21 A. In the southeast of 28?

22 Q. Yes, sir.

23 A. No, I don't think that you have -- you know, on
24 that pattern with a -- Did you say southeast or southwest?

25 Q. Southeast.

1 A. Oh, southeast. Would I expect it to have rates
2 comparable to the northeast?

3 Q. Comparable to the 33-2, to that well?

4 A. I think all things being equal, it would be more,
5 because I've got competition with my 33-1 down here, as to
6 where a southeast quarter of 28 would have no competition
7 to the north. I mean, all other things being equal.

8 Q. Texakoma's position in this case is that the
9 proposed location should be denied and the Applicant should
10 be required to drill a well in the northeast quarter.
11 That's your position?

12 A. At a standard location.

13 Q. And you're not proposing that they be allowed to
14 drill in the southeast, subject to any kind of production
15 penalty?

16 A. I'm not familiar with those penalties. I know
17 that it happens a lot in the southeast part of the state,
18 where you're dealing more with reef and algal-type
19 deposits. But I don't know how that would be allocated.

20 And I can't speak for Texakoma. If you were to
21 offer a compromise and would I agree, I couldn't -- I
22 couldn't do that. I see no reason why a northeast well
23 couldn't and shouldn't be drilled.

24 So my position is, a standard location.

25 EXAMINER CATANACH: Okay, thank you.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. CARROLL:

Q. Mr. Salzman, you heard the testimony earlier about the proposed Merrion well in the southeast quarter of 22?

A. Right, yes.

Q. Why do you think Merrion moved that well to the southeast when the standard location would be in the southwest?

A. Because his proration unit in the southwest would be a standup, and if you take a look at the northwest corner of that section it has an outcrop, and that doesn't provide the opportunity to make as many -- as much gas as in the southeast quarter.

You see the outcrop runs -- I think I'm -- Both maps, it's pretty similar.

FURTHER EXAMINATION

BY EXAMINER CATANACH:

Q. Could Merrion be proposing that location for the same reason that Thompson is proposing theirs? Is that possible?

A. Well, you've got the nonstandard here. If this southeast of 28 is approved, you've got the pattern so screwed up you -- I'd have to think about that.

Q. You don't know why Merrion is proposing to drill

1 at that location?

2 A. Okay.

3 EXAMINER CATANACH: Okay, we're not going to ask
4 you to speculate.

5 Is there anything further?

6 MR. KELLAHIN: I have a closing statement --

7 EXAMINER CATANACH: Okay.

8 MR. KELLAHIN: -- but I'm through with this
9 witness.

10 EXAMINER CATANACH: The witness may be excused.

11 Go ahead, Mr. Kellahin.

12 MR. KELLAHIN: Mr. Catanach, I'm getting old and
13 tired and often cranky, but I can still remember a few
14 years ago that you and I and Brother Carr went to the San
15 Juan College in Farmington, and we spent hours, days and
16 months developing comprehensive rules for the coal gas
17 development of San Juan Basin.

18 And we were pretty smart that month and that
19 week, and we developed some very impressive rules, I think.
20 We recognized in the industry and among us that there was
21 the necessity, based upon the science presented, to create
22 a system of true 320-acre gas development.

23 And we intentionally and consciously put the off-
24 pattern requirement in the rule. And we did it for a
25 number of reasons, not the least of which is recognizing

1 that in southeastern New Mexico, simply by case-by-case
2 exception, simply by a case-by-case accommodation in the
3 absence of opposition, if we weren't careful in a pool,
4 then you turn a pool in to be spaced less than you
5 intended. And you can, by granting exceptions to off-
6 patterns, develop a system of a new pool rule.

7 We were careful to recognize that there would be
8 areas in the Basin that may require different spacing, and
9 we developed a detailed set of parameters, conditions and
10 requirements to set aside an area for special pool rules.

11 I caution you that if you're not careful with
12 this case, recognizing what Merrion has asked to do, and
13 seeing the exceptions that are going to be created, we are
14 going to have an area of the Basin that by exception
15 defaults to 160-acre gas competition.

16 I contend that if you grant this exception, then
17 you'll have to grant all other exceptions. There is simply
18 no way you can every deny another application. You can
19 kiss 320 gas spacing in the Fruitland Coal goodbye. And
20 because if you buy Mr. Carr's argument, then you can never
21 deny any other similar based argument again.

22 His argument is that the correlative rights of
23 Thompson are impaired or affected unless he gets the off-
24 pattern location. Correlative rights is the opportunity to
25 recover recoverable gas.

1 In order for Thompson to get to that argument,
2 they must absolutely prove they cannot drill an on-pattern
3 location, and therein lies the flaw in their argument.

4 We sat here at length, trying to understand what
5 is wrong with the on-pattern location. We can't put a
6 finger on it.

7 If the concern is that you need to be on the
8 platform of this monocline, where is the evidence to show
9 us that that's not successful? The concern is not about
10 coal thickness. In the northeast quarter you've got better
11 coal thickness than in the southeast quarter.

12 We asked at length that they were concerned about
13 the infiltration of fresh water as a result of the outcrop.
14 It may have been some concern, but they haven't studied it
15 and quantified it. As best I can understand, is, there is
16 some theoretical concern that the water-production volumes
17 may be higher in the northeast quarter. Let them go out
18 and study it, show it, present the evidence.

19 All the evidence shown here is to demonstrate
20 that a well at a standard on-pattern location should be
21 reasonable. The excuse here is that you need to be a like-
22 kind distance away from the Texakoma well; and if you're
23 not, then Texakoma gets to drain some of the off-pattern
24 spacing units.

25 We authorized off-pattern drainage when this

1 Division and Commission accepted the off-pattern
2 requirements of the coal gas Fruitland rules. We
3 authorized offset drainage. We recognized that adherence
4 to this pattern was necessary.

5 We also recognized that when an area became
6 unique, that we would call for a special pool rule hearing,
7 and we'll let everyone decide if we should have competition
8 in this area on 160 acres.

9 And so if you grant this Application, you have
10 just decided the competition in this portion of the
11 reservoir is going to take place based upon 160 acres.

12 The problem about that being unfair is that up to
13 now the players in here have made their investment based
14 upon the recognition by the Division that we would remain
15 on pattern.

16 And perhaps it's my fault as much as anyone that
17 we have allowed and accommodated operators like Hallwood,
18 in the absence of any opposition, to utilize an existing
19 wellbore. It's expedient, it's -- you feel comfortable in
20 doing it, giving them a chance to do this thing.

21 But quite frankly, I think we've made a serious
22 mistake by allowing the exceptions, then, to create an
23 opportunity whereby the exceptions become the rule.

24 I can find no reason to grant an exception in
25 this case, Mr. Examiner, and we would request that you deny

1 the Application and require this Applicant to drill a
2 standard location.

3 Think about the precedents you set in this case.
4 Think about the other cases that you've had where you've
5 tried to deal with establishing equities for a well in an
6 off-pattern spacing unit. I think you still remember the
7 Reed and Stevens case, where in that reservoir there was
8 off-pattern exceptions, and you granted it and you
9 struggled considerably in trying to figure out a penalty
10 formula.

11 Well, take the difficulties of that Reed and
12 Stevens case and multiply it tenfold when you figure out
13 how to establish equity in a reservoir that doesn't operate
14 like a conventional sandstone reservoir. You've got to
15 dewater the coal, you've got to figure out a peak rate,
16 you've got to go through all the science to figure out what
17 your ultimate gas recovery is going to be.

18 Where is the Applicant's evidence of his
19 recoverable gas that he's threatening he's going to lose?
20 Where are his estimates of his gas in place by which we get
21 recoverable gas? He's not done the science, and yet he
22 wants the benefits of an exception.

23 I contend that Thompson went in with their eyes
24 open, they took a farmout from Hallwood, they originally
25 intended to drill a standard location, and only after the

1 fact that Mr. Emmendorfer suggested that he needed the
2 unorthodox location are we now here. And the reason is
3 that he wants to be Basinside of this anticlinal bend for
4 which he has no indication or proof that he needs that
5 advantage.

6 We contend that if you need exceptions in this
7 part of the pool, it's premature to ask for them until
8 you've done the science and the homework. It is our belief
9 that the well that Texakoma has in Section 5 is going to be
10 a commercial, profitable well.

11 Explain to me and figure out the ambiguities, the
12 inconsistencies with the contention by Mr. Thompson that
13 he's only going to get a BCF of reserves at his well
14 location, and yet 1500 feet away at the Texakoma location
15 that well is going to get four BCF?

16 I can't figure it out, but my degree is in
17 English, not engineering. I'll let you figure out if that
18 makes sense to you.

19 Does it make sense to grant this exception? Does
20 it make sense to create an opportunity for an unnecessary
21 well to compete? We believe not, and we would ask that you
22 deny this Application.

23 EXAMINER CATANACH: Thank you, Mr. Kellahin.

24 Mr. Carr?

25 MR. CARR: Mr. Catanach, Mr. Kellahin and I agree

1 about one thing: He has become old and cranky.

2 He also is sitting before you today wrestling
3 with an trite and old adage that every lawyer has to
4 endure, and that is the simple statement that when you
5 don't have the law you argue the facts, when you don't have
6 the facts you argue the law.

7 Well, he doesn't have the facts, so he's here
8 today arguing about a rule. He's asking you to cast this
9 rule in stone.

10 But when we did go to Farmington, we adopted
11 rules and proposed rules that were designed to protect
12 correlative rights. And your duty here today is not to be
13 narrow, not to say the rule is the rule, but to do what
14 statute charges you with doing, and that is to act and
15 protect correlative rights. And when rules impair
16 correlative rights, exceptions to those rules are granted.
17 That's why we're here.

18 The rules that were adopted for the Basin
19 Fruitland Coal Pool work in the heart of the pool. They do
20 give you a fair, equitable distribution of reserves if
21 you're in the middle of the pool and you have a section
22 where you can, from a standard location, produce what is
23 under your tract, for there you have an opportunity to
24 produce your just and fair share.

25 But when you move out to the edge, when you get

1 where you're near the outcrop, where you're contending with
2 a monocline, where the locations are limited, you have to
3 let the rule bend. Because if you don't, you tell Mr.
4 Thompson, You own the value property interest, while you
5 have a right to go out and develop it, but the rule is the
6 rule, and you have to drill where you'll never be able to
7 water out your well -- or dewater the well.

8 It will be just like the Hallwood wells in
9 Section 24. Go to it, throw your money in the ground. We
10 know there are reserves there, but the rule is the rule,
11 and you can't get it.

12 That's what Mr. Kellahin is asking you to do.
13 He's asking you to sign on to that kind of a scheme, to
14 keep someone away from the Texakoma well so they can,
15 without competition, drain reserves that belong to somebody
16 else, someone else who wants you to get them what you're
17 required to do, I submit by law, the opportunity to go out
18 and produce those reserves. They want to be as close to
19 Texakoma as Texakoma is to us.

20 Mr. Salzman says, What -- In that case, they'll
21 even drain more, if all things are equal. Mr. Catanach,
22 all things aren't equal. You can look at these exhibits.
23 We're right on the edge of the reservoir. The monocline
24 runs, by everybody's interpretation, pretty much through
25 our tract.

1 And the interpretations do vary, the geological
2 interpretations, but I submit it's because we've honored
3 all the data, we have the BLM wells on our exhibits, and
4 they do not.

5 They're not telling you, We're here because we're
6 worried about not having an opportunity to produce the
7 reserves under our acreage. They're here saying, You're
8 going to impair our well's ability to produce, and to
9 protect our well you have to tell us we can drain Thompson.
10 That's what this is about. It's absolutely ridiculous.

11 All we want to do is, at the edge of the
12 reservoir, have you say that there is enough flexibility in
13 the Oil and Gas Act and in the rules that are promulgated
14 pursuant thereto and in the authority you have to grant
15 exceptions to those rules, to let us go forward, give us
16 the opportunity to protect our correlative rights with a
17 well that absolutely cannot drain their own acreage. Their
18 own witness says it will be right up against the no-flow
19 boundary.

20 Without it, well, you're telling us that because
21 years ago in the San Juan Community College we adopted some
22 rules, that when you get out to the edge of the reservoir
23 where they don't work, the remedy isn't an exception, it's
24 impairment of correlative rights.

25 We think you have one choice if you're to meet

1 your duty under statute. That is to approve the location
2 and let us develop our fair and reasonable share of the
3 reserves that are under our tract, not deny us our
4 correlative rights.

5 EXAMINER CATANACH: Thank you, Mr. Carr.

6 I'm not going to ask for rough-draft orders.
7 What I am going to ask for is, if you would summarize your
8 geologic and engineering points on each side. Just submit
9 those to me within a couple of weeks.

10 MR. KELLAHIN: We can do that.

11 EXAMINER CATANACH: Fine.

12 MR. CARR: Just a summary of the case?

13 EXAMINER CATANACH: Just a summary of the -- your
14 engineering conclusions, your geologic conclusions, some of
15 the points you want to make.

16 MR. KELLAHIN: Okay.

17 EXAMINER CATANACH: And with that, we'll -- there
18 being nothing further, we'll take this case under
19 advisement.

20 And we'll go ahead and continue the Case 11,516
21 to May 1st at this time.

22 And we'll adjourn this hearing.

23 (Thereupon, these proceedings were concluded at
24 5:03 p.m.)

25 * * *

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.


WITNESS MY HAND AND SEAL April 7th, 1997.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 1172P, heard by me on March 20 1997.

 , Examiner
 Oil Conservation Division