

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

IN THE MATTER OF CASE NO. 11,750 BEING)
REOPENED PURSUANT TO THE PROVISIONS OF)
DIVISION ORDER NO. R-10,848, WHICH ORDER)
ESTABLISHED TEMPORARY SPECIAL POOL RULES)
FOR THE NORTHEAST SHOE BAR-STRAWN POOL)
IN LEA COUNTY, NEW MEXICO)

CASE NO. 11,750

Reopened

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

March 4th, 1999

Santa Fe, New Mexico

99 MAR 18 AM 10:32

OIL CONSERVATION DIV.

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, March 4th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

March 4th, 1999
 Examiner Hearing
 CASE NO. 11,750

	PAGE
EXHIBITS	3
APPEARANCES	3
CHESAPEAKE WITNESS:	
<u>RANDY G. GASSAWAY</u> (Engineer)	
Direct Examination by Mr. Kellahin	8
Examination by Examiner Stogner	16
GILLESPIE WITNESSES:	
<u>LYNN S. CHARUK</u> (Geologist)	
Direct Examination by Mr. Bruce	18
Examination by Mr. Kellahin	23
Examination by Examiner Stogner	25
<u>MARK MLADENKA</u> (Engineer)	
Direct Examination by Mr. Bruce	26
REPORTER'S CERTIFICATE	36

* * *

E X H I B I T S

Chesapeake	Identified	Admitted
Exhibit 1	9	16
Exhibit 2	11	16

* * *

Gillespie	Identified	Admitted
Exhibit 1	20	23
Exhibit 2	20	23
Exhibit 3	22, 28	23
Exhibit 4	32	33
Exhibit 5	32	33
Exhibit 6	32	33

* * *

A P P E A R A N C E S

FOR CHESAPEAKE OPERATING, INC.:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

FOR CHARLES B. GILLESPIE, JR.:

JAMES G. BRUCE, Attorney at Law
 612 Old Santa Fe Trail, Suite B
 Santa Fe, New Mexico 87501
 P.O. Box 1056
 Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 9:06 a.m.:

3 EXAMINER STOGNER: At this time I'll call Case
4 Number 11,750, which is in the matter of this case being
5 reopened pursuant to the provisions of Order Number
6 R-10,848, which order established temporary special rules
7 for the Northeast Shoe Bar-Strawn Pool in Lea County, New
8 Mexico, in particular, 80-acre spacing, and I believe there
9 were some well-location requirements.

10 So at this time I will call for appearances.

11 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
12 the Santa Fe law firm of Kellahin and Kellahin, appearing
13 on behalf of Chesapeake Operating, Inc., and I have one
14 witness to be sworn.

15 EXAMINER STOGNER: Okay, will the one witness
16 that you're presenting in this case, has that witness
17 previously testified today?

18 MR. KELLAHIN: No, sir, my witness is a petroleum
19 engineer.

20 EXAMINER STOGNER: Okay. Any other appearances?

21 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
22 representing Charles B. Gillespie, Jr., and I have two
23 potential witnesses.

24 EXAMINER STOGNER: Okay, any other appearances?

25 Okay, I count three witnesses or potential

1 witnesses in all. Let me have all three stand at this
2 time.

3 (Thereupon, the witnesses were sworn.)

4 EXAMINER STOGNER: Mr. Kellahin?

5 MR. KELLAHIN: Yes, sir, thank you.

6 EXAMINER STOGNER: Or, I'm sorry, is there any
7 need for some opening remarks today, or any statements?

8 MR. BRUCE: Mr. Examiner, Mr. Gillespie is just
9 here in support of the existing 80-acre spacing. That's
10 all I have to say in introduction.

11 EXAMINER STOGNER: Okay, then Mr. Kellahin?

12 MR. KELLAHIN: Thank you. Mr. Examiner, you
13 heard this case back on May 1st of 1997, and in July of
14 that year you entered an order. This is a request
15 originally by Chesapeake Operating Company to establish
16 special rules for a Strawn oil pool.

17 The process was to do what had been done
18 previously, and that was to establish 80-acre spacing on a
19 temporary basis. The statewide GOR of 2000 to 1 applied,
20 and we have a depth-bracket oil allowable of 445 a day.

21 The well-location rules are relaxed from the
22 prior convention so that this pool is subject to 330
23 setbacks from the outer boundary of the 80.

24 Subsequent to your approval of the Chambers 7
25 well as the discovery well and the adoption of these

1 special rules, there have been a number of wells drilled in
2 this vicinity, all of which are subject to these pool
3 rules.

4 We are here to present you an engineering
5 presentation and a request that you now make these rules
6 permanent, based upon our technical conclusion that the
7 temporary rules are still appropriate, they provide a
8 reasonable opportunity to drill the minimum number of wells
9 necessary for exploiting the Strawn reservoir involved in
10 here.

11 With that introduction, Mr. Examiner, we're going
12 to present Mr. Randy Gassaway. Mr. Gassaway is a petroleum
13 engineer.

14 EXAMINER STOGNER: Okay, let's see, Mr. Kellahin,
15 what did you say the allowable was on this pool?

16 MR. KELLAHIN: It's 445 a day for oil, and it's
17 got the statewide GOR of 2000 to 1.

18 EXAMINER STOGNER: The reason I was asking, I was
19 reviewing Order Number R-10,848. In paragraph 6, on page
20 6, they talk about that portion of Chesapeake's application
21 seeking special pool rules, and they look like that they
22 mirror the -- what would have been -- or what they would be
23 afforded under the general rules.

24 MR. KELLAHIN: Yes, sir.

25 EXAMINER STOGNER: So that's all that dismissal

1 was for; is that correct?

2 MR. KELLAHIN: That's right.

3 EXAMINER STOGNER: Okay.

4 MR. KELLAHIN: It was my choice of drafting to
5 notify all the interest owners of what the entire rules
6 would look like. I recognize that 2000 came out of the
7 statewide rule book; a lot of people might not have found
8 that. So that's how it was handled in the order.

9 EXAMINER STOGNER: Okay. And then the original -
10 - I guess the main effect was that the original well, for
11 discovery allowable, was dismissed. That would have given
12 it an additional production ability.

13 MR. KELLAHIN: Yes, sir, that's right.

14 EXAMINER STOGNER: Okay. All right. Thank you,
15 Mr. Kellahin.

16 MR. KELLAHIN: Mr. Gassaway, Mr. Examiner, is
17 here to report to you on what has happened with the
18 Chambers well and the subsequent wells that have been
19 drilled in this area. We'd like to start with Chesapeake
20 Exhibit Number 1, which is a general locator map.

21 I want to give you a copy of what *Byram's* reports
22 to be the current boundaries of the pool. This is out of
23 the January, 1999, supplement. We believe it's still
24 accurate. We've checked with the District Office. There
25 may be some small difference in nomenclature, but all the

1 wells are -- as indicated on Exhibit 1, are the ones we
2 believe are currently subject to the pool rules.

3 RANDY G. GASSAWAY,

4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Gassaway, for the record, sir, would you
9 please state your name and occupation?

10 A. My name is Randy G. Gassaway. I'm a petroleum
11 engineer with Chesapeake Energy Corporation in Oklahoma
12 City.

13 Q. Mr. Gassaway, summarize for us your education.

14 A. I graduated from the University of Oklahoma with
15 a bachelor of science in petroleum engineering in 1982.
16 I've been employed with various organizations since that
17 time. I started employment with Chesapeake in November of
18 1998.

19 Since that time, I started employment with
20 Chesapeake in November of 1998.

21 Q. At my request, did you inventory the wells that
22 are subject to the pool rules for this pool?

23 A. Yes, sir.

24 Q. And based upon that request, have you analyzed
25 and evaluated all the available pressure data for the wells

1 that are currently subject to the pool?

2 A. Yes, sir.

3 Q. In addition, have you done certain drainage
4 calculations at my request on some of these wells?

5 A. Yes.

6 Q. Let's turn to Exhibit 1. Now, the arrangement of
7 the surface was provided to you by Lynda Townsend and the
8 land people at Chesapeake?

9 A. That is correct.

10 Q. Superimposed upon that land ownership are some
11 well locations, and then associated with each well is a
12 blue rectangle, correct?

13 A. That's correct.

14 Q. Let's start in Section 7, and let's find the
15 Chambers 1-7 well. That is the discovery well for the
16 pool, is it not?

17 A. Yes, sir, it is.

18 Q. And its spacing unit is the south half of the
19 northeast quarter of Section 7?

20 A. That is correct.

21 Q. There are other wells shown on this display, are
22 there not?

23 A. Yes, there are.

24 Q. And these represent other wells that are
25 currently subject to the pool rules for the pool?

1 A. Yes.

2 Q. Let's keep the locator handy so we can find out
3 where these wells are. If you'll set that aside for a
4 moment, let's look at your tabulation on Exhibit Number 2.
5 And if we'll start up with the pressure data points, let's
6 look at the first row for the Chambers 1-7. What have you
7 found?

8 A. Okay, the well was -- penetrated the Strawn mound
9 growth in November of 1996, and on the 9th of November a
10 drill stem test was performed on that interval, and the
11 drill stem test proved production and also indicated an
12 initial reservoir pressure of 4223 p.s.i.

13 Q. What does a pressure at that range indicate to
14 you about the Strawn?

15 A. In pressures, that indicates it's a virgin,
16 undrained, newfound reservoir, or discovery.

17 Q. Based upon your study of these wells, can you
18 give us a general characterization of the type of Strawn
19 reservoir you're dealing with here?

20 A. It's very similar to what Mr. Hefner presented
21 before. They're localized algal-mound growths. They're
22 not continuous. They're relatively discontinuous over a
23 lateral extent.

24 Q. The strategy for locating the optimum place in
25 these various pools for wells is what, sir?

1 A. Eighty acres.

2 Q. And the strategy within an 80-acre tract is to
3 find a location where?

4 A. Where you have the highest chance of production,
5 as structure and growth.

6 Q. Do the current rules that the Division adopted
7 for this area provide that flexibility in well locations?

8 A. Absolutely.

9 Q. Are you satisfied, Mr. Gassaway, that the 80-acre
10 spacing is appropriate for this area?

11 A. Yes, I am.

12 Q. Let's talk about the reasons that support that
13 conclusion. First of all, let's look at the area around
14 the Chambers well. You've talked about the Chambers well.
15 Let's talk about what you calculate to be its drainage
16 area. Is that shown on Exhibit Number 2?

17 A. Yes, sir, it is. If you'll go down to the
18 volumetric area of review, and it's simply -- that table
19 below it is in alphabetical order. The Chambers would be
20 the second entry on there. Based upon the log response
21 characteristics and the estimated ultimate recovery, as
22 determined by decline-curve analysis, we estimate the
23 drainage area to be 94 acres.

24 Q. When you look at the estimated ultimate recovery
25 column, how did you obtain that number?

1 A. Again, that was decline-curve analysis based on
2 almost -- a little over two years' production.

3 Q. Did you use the same methodology for calculating
4 the drainage area for all the wells on the tabulation?

5 A. Yes.

6 Q. Now, let's find the Chambers well and look over
7 in Section 8 and look at the Alston well.

8 A. Yes.

9 Q. When the Alston well is drilled, it's got a date
10 of April 22nd of 1997?

11 A. Yes.

12 Q. It's a year later. What were the pressures
13 reported for the Alston 1-8 well?

14 A. Okay, again, on 4-22-97, after penetrating the
15 algal-mound Strawn interval, a drill stem test was
16 performed prior to completing the well, and we found that
17 the initial reservoir pressure was 3472, and the fluid was
18 very similar in characteristics to the Chambers.

19 Q. Did you find any pressure depletion in this area
20 between the Chambers and the Alston well?

21 A. Yes, since the initial pressure of 3472 is
22 approximately 800 pounds, or p.s.i., less than what the
23 discovery pressure is, it tends to indicate that perhaps
24 the Chambers well had an influence in that area.

25 Q. When we look at where the Chambers and the Alston

1 well are located in relation to each other, you have
2 inferred or concluded that there is pressure communication
3 between those two areas?

4 A. Yes, sir.

5 Q. This is an area being developed on 80-acre
6 spacing, is it not?

7 A. That is correct.

8 Q. If this was reverted back to 40 acres, would the
9 wells be drilled too closely together?

10 A. Yes.

11 Q. Let's look at the third well in this vicinity,
12 the Runnels well. What did you find out about the Runnels
13 well's pressure?

14 A. The Runnels well actually indicated that the
15 pressure was a little bit less upon completion than what
16 was found in the Alston. Although we don't have a drill
17 stem test, we can infer that, based upon the initial well
18 tests after the well was perforated. Estimated to be
19 approximately 3300 p.s.i.

20 Q. Once we leave the Chambers area, let's go over
21 and look to the north in Section 6. There's a three-well
22 area, two of which you've described, the Watson well and
23 the Little well?

24 A. That's correct.

25 Q. Describe for us what's occurring between those

1 two wells.

2 A. Okay, the first well in -- at least the
3 Chesapeake-operated, was the Little 1-6. It was drilled --
4 penetrated the Strawn mound July 4th of 1997, and it had an
5 initial bottomhole pressure, as determined by drill stem
6 test, of 4228 p.s.i.a.

7 Q. That's indicative of virgin pressure in the
8 Strawn?

9 A. Again that indicates that that is an initial
10 discovery in an isolated growth.

11 Q. And that's no surprise to you, is it, that the
12 Chambers well and the Little well are in discrete portions
13 of unique algal mounds?

14 A. No.

15 Q. Do you see that difference as a reason to try to
16 separate each of these areas into individual pools?

17 A. Not particularly.

18 Q. It could be done, I guess, right?

19 A. Sure.

20 Q. As a matter of practicality for both the Division
21 and the operators, is it appropriate to continue to apply
22 80-acre spacing with the appropriate well locations for
23 this entire area?

24 A. Absolutely.

25 Q. Let's look at the Little and Watson area, then,

1 and see what kind of drainage you calculated for those two
2 wells.

3 A. Okay. Again, we go to the volumetric review of
4 area, bottom, and the Little well is going to be
5 alphabetically the fourth entry in this table. Based on
6 the log characteristics and the expected ultimate recovery
7 from this well, the drainage area is determined to be 105
8 acres.

9 Q. Okay. Let's move into the third area now.
10 You've got another area of the pool identified by the
11 Lovington well and the Bus Barn?

12 A. That's correct.

13 Q. Summarize for us what you have concluded
14 concerning that area.

15 A. Again, the Lovington was -- penetrated the algal
16 mound, and its initial pressure was estimated to be 4300
17 p.s.i., based upon its fluid level initially, right after
18 completion.

19 And then the Bus Barn was drilled approximately
20 nine months later, and its pressure indicates that it was
21 somewhat less than the 4300, at 3900, which indicates that
22 the Lovington was having some pressure communication with
23 the Bus Barn well.

24 Q. In summary, then, Mr. Gassaway, is it your
25 engineering opinion that the current rules that apply for

1 this area ought to be made permanent at this time?

2 A. Yes.

3 Q. And in doing so, would it be in the best
4 interests of conservation, the prevention of waste and the
5 protection of correlative rights?

6 A. Yes, it would.

7 MR. KELLAHIN: We move the introduction of
8 Chesapeake Exhibits 1 and 2.

9 EXAMINER STOGNER: Exhibits 1 and 2 will be
10 admitted into evidence, if there's no objection.

11 MR. BRUCE: No objection.

12 EXAMINER STOGNER: Thank you, Mr. Kellahin.

13 Mr. Bruce, do you have any questions?

14 MR. BRUCE: I have no questions of Mr. Gassaway.

15 EXAMINATION

16 BY EXAMINER STOGNER:

17 Q. Mr. Gassaway, what is the drive mechanism in this
18 reservoir?

19 A. We -- The drive mechanism appears to be depletion
20 -- depletion drive, solution gas drive, if you will.

21 Q. Are these wells making any water at all?

22 A. Some wells do make water. Some wells are
23 actually -- like the Carlisle, makes more water than it
24 does hydrocarbons.

25 Q. But the water is not a factor as far as reservoir

1 energy? There's no water drive?

2 A. There doesn't appear to be mobile water, no, sir.
3 It's totally depletion.

4 Q. Of the wells that you show here on your Exhibit
5 Number 1, how many of these algal mounds are represented?

6 A. It appears that there's three separate,
7 distinctive algal-mound growths, as indicated by the
8 pressure on this map.

9 Q. And that would be -- the Lovington and the Bus
10 Barn share in the production of one of the algal mounds?

11 A. Yes.

12 Q. And then the Little and the Snyder and the Watson
13 would be -- in Section 6, would be another one?

14 A. Most likely, yes.

15 Q. And then it looks like you might have a pretty
16 big on here with the Carlisle and the Chambers and the
17 Alston and Runnels wells?

18 A. That is correct.

19 Q. Okay. Do you see a common GOR in these algal
20 mounds? Do they differ slightly, or what?

21 A. There would be very slight differences in
22 production characteristics between the mounds.

23 Q. And that slight difference, would that be more
24 the makeup of the algal mound, or is there some sort of a
25 gas-oil-ratio factor?

1 A. It -- I don't really -- I would say that it would
2 be mainly related to reservoir pressure, as far as the
3 fluid makeup.

4 Q. As far as the Little and the Watson wells, what
5 kind of pressure are you seeing now?

6 A. We have not taken any bottomhole pressure tests
7 since the initial ones.

8 Q. Okay. And the Lovington Bus Barn, has there been
9 any pressure status since then?

10 A. No, sir, only production.

11 EXAMINER STOGNER: Any other questions of this
12 witness?

13 Thank you, sir, you may be excused.

14 Mr. Kellahin?

15 MR. KELLAHIN: That completes our technical
16 presentation, Mr. Examiner.

17 EXAMINER STOGNER: Mr. Bruce?

18 MR. BRUCE: I have a couple witnesses, very brief
19 witnesses, Mr. Examiner.

20 LYNN S. CHARUK,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Would you please state your name for the record?

1 A. Lynn Steven Charuk.

2 Q. Spell your last name, please.

3 A. C-h-a-r-u-k.

4 Q. Where do you reside?

5 A. Midland, Texas.

6 Q. What is your occupation?

7 A. Petroleum geologist.

8 Q. What is your relationship to Mr. Gillespie in
9 this case?

10 A. I am Mr. Gillespie's geological consultant.

11 Q. Have you previously testified before the
12 Division?

13 A. No, sir.

14 Q. Would you summarize your educational and
15 employment background for the Examiner?

16 A. I graduated Penn State University in 1979 with a
17 BS in geological sciences and subsequently moved to Midland
18 after graduation. And I was employed for several oil
19 operators in Midland. Most memorable one was J.C.
20 Williamson. I've done work for Carey Petroleum of New
21 York, and I've been an independent petroleum geologist for
22 the last ten years. I'm an active member of the AAPG, and
23 my certification number is 4162.

24 Q. And are you familiar with the Strawn geology in
25 this area?

1 A. Yes, I've spent several of the past years doing
2 exploration in the Strawn trend through Lea and Eddy
3 Counties, New Mexico.

4 MR. BRUCE: Mr. Examiner, I would tender Mr.
5 Charuk as an expert petroleum geologist.

6 EXAMINER STOGNER: Any objection?

7 MR. KELLAHIN: No, sir.

8 EXAMINER STOGNER: Mr. Charuk is so qualified.

9 Q. (By Mr. Bruce) Mr. Charuk, could you identify
10 Exhibit 1 for the Examiner and just briefly tell him what
11 this shows?

12 A. Exhibit 1 is a portion of a trend map. It's
13 basically a schematic locator for Strawn fields producing
14 in and around Lovington in Lea County, New Mexico. And the
15 one that is dashed in red is the northeast Shoe Bar-Strawn
16 field.

17 Q. It's a portion of the pool?

18 A. A portion, uh-huh.

19 Q. And that in particular is the porosity pod where
20 Mr. Gillespie's well is located?

21 A. Yeah, it's the bioherm.

22 Q. Okay, let's move on to your Exhibit 2. Would you
23 identify that for the Examiner and go through the exhibit
24 and tell him what it shows?

25 A. Exhibit 2 is a combination north-south structural

1 cross-section, a three-well cross-section, through
2 Chesapeake's Watson well, Little 1-6, and Charles
3 Gillespie's Snyder A Com Number 1.

4 It has three main components that are marked on
5 the cross-section: the top of the Strawn carbonate, which
6 is the first marker on the three-well cross-section; and
7 then the top of the porosity and the base of the porosity,
8 through the three wells.

9 And you can see, based on log analysis, an oil-
10 water contact in there and a small assumed gas cap to the
11 south of the Snyder A Com Number 1, updip to the oil
12 production in the other two wells.

13 You can see -- Basically, that's kind of an
14 outline of the bioherm itself, the way I've -- you know,
15 from subsurface mapping control.

16 To the south there is the structure map with
17 structural going updip direction to the south and also an
18 oil-water contact in blue, the oil column in green, and an
19 estimated gas-oil contact at the very southern edge of this
20 particular bioherm.

21 Q. Now, you show the Chesapeake Watson and Little
22 wells and Mr. Gillespie's Snyder well in one separate
23 porosity pod, do you not?

24 A. Uh-huh, yes, sir.

25 Q. You don't disagree with Mr. Gassaway that there's

1 several pods?

2 A. No, in fact, I agree totally with Randy.

3 Q. Do you have anything else on this map, Mr.
4 Charuk?

5 A. No, sir, it's pretty self-explanatory.

6 Completion dates, IPs, DST information, pressures.

7 Q. Let's go on to your final map, Exhibit 3, and
8 identify for the Examiner -- and I think our next witness
9 is going to go over a little bit of this, but just tell him
10 what it shows and maybe describe the Strawn geology just a
11 little bit in this area, for the Examiner.

12 A. Well, this is basically a Strawn production field
13 data map, showing all the information that we were able to
14 assemble on all the wells in this particular area, with the
15 Shoe Bar-Strawn Northeast area outlined in yellow. It
16 shows initial IPs, it shows all the information we could
17 find out on initial bottomhole pressures for the Strawn, it
18 shows current production rates, as near as we could get up
19 to current. And also an important factor here would be,
20 also, current GORs.

21 And all these outlines are based on my
22 interpretation, or Mr. Gillespie's, Inc., interpretation of
23 all the Strawn bioherm buildups in this particular area.

24 Q. Is the Strawn in this area -- It's a porous
25 reservoir, is it not?

1 A. Very, uh-huh. Very porous, very good
2 permeability also, horizontally and vertically.

3 Q. Just from a geologic standpoint, based on the
4 geology, do you agree with the current 80-acre spacing for
5 this pool?

6 A. Yes.

7 Q. Okay. Were Exhibits 1 through 3 prepared by you
8 or under your direction, Mr. Charuk?

9 A. Yes, they were prepared by me.

10 Q. And in your opinion, is the continuance of the
11 existing pool rules in the interests of conservation and
12 the prevention of waste?

13 A. Yes.

14 MR. BRUCE: Mr. Examiner, I move the admission of
15 Gillespie Exhibits 1 through 3.

16 EXAMINER STOGNER: Exhibits 1 through 3 will be
17 admitted into evidence, unless there's a problem, Mr.
18 Kellahin?

19 MR. KELLAHIN: No, sir, no problem.

20 EXAMINER STOGNER: Thank you, Mr. Bruce.

21 Mr. Kellahin, your witness.

22 MR. KELLAHIN: Thank you, Mr. Examiner.

23 EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Do you see any reason to separate out the current

1 pool into three or more pods and give them different names,
2 do something different with them?

3 A. They're separated out based on my interpretations
4 of initial bottomhole pressures and current GORs and
5 drawdowns on production rates in that particular area.

6 Q. But do you see any reason that the Division
7 should create three separate pools?

8 A. Yes.

9 Q. Are you proposing that we take the three pods
10 that appear to operate and manage themselves in the same
11 way and break them apart?

12 A. Oh, well --

13 Q. Are we looking at the same thing?

14 A. Are we talking about the northeast Shoe Bar area?

15 Q. Well, I'm looking at the Watson-Little pod --

16 A. Oh, okay, maybe I don't understand your question
17 here.

18 Q. Yeah, I thought we were miscommunicating here.

19 When we look down in the southeast within the
20 area of this particular pool, we're dealing with the
21 northeast Shoe Bar-Strawn, and I'm looking at Chesapeake's
22 Lovington-Bus Barn pod.

23 A. Uh-huh.

24 Q. I'm looking to the west and seeing the Gillespie
25 Snyder and the Chesapeake Watson-Little pod?

1 A. Uh-huh.

2 Q. And then to the south we've got the Chambers and
3 the Alston pod?

4 A. Right.

5 Q. All right. My question was, do you see any
6 reason that the Division or the operator should break this
7 apart as three different pools?

8 A. I think they're three separate bioherms.

9 Q. I understand that. But in terms of reservoir
10 management, do you think it's necessary --

11 A. No.

12 Q. -- to separate them as separate pools?

13 A. No.

14 Q. For this area, then, it appears that 80-acre
15 spacing and the flexible 330 well locations is doing what
16 it's supposed to do?

17 A. Yes.

18 Q. And that is to minimize the number of wells
19 drilled and to create flexibility to get yourself the best
20 location in these bioherms?

21 A. Yes.

22 MR. KELLAHIN: No further questions.

23 EXAMINATION

24 BY EXAMINER STOGNER:

25 Q. In looking at Exhibit Number 2, this exhibit

1 shows a very poor reservoir. As far as the encasement
2 material that's encasing this bioherm, what is the makeup
3 of that matrix?

4 A. It's primarily limestone carbonate, with vugular
5 porosity in it.

6 Q. Now, I'm talking about the sealing, the sealant.

7 A. The porosity, basically the top of the porosity
8 and the bottom of the porosity are what control the
9 production of the oil and gas. You have to have a minimum
10 of, in this particular area, I feel like, 3-percent
11 porosity, to be commercially economic.

12 Q. Okay. How about the surrounding material, on top
13 and on the bottom?

14 A. It's denser limestone.

15 EXAMINER STOGNER: I have no other questions of
16 this witness.

17 Mr. Bruce?

18 MR. BRUCE: Call Mr. Mladenka to the stand.

19 MARK MLADENKA,

20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name and city of
25 residence for the record?

1 A. My name is Mark Mladenka. I live in Midland,
2 Texas.

3 Q. And could you spell your last name for the court
4 reporter?

5 A. M-l-a-d-e-n-k-a.

6 Q. Who do you work for and in what capacity?

7 A. I work for Charles B. Gillespie, Jr., in Midland
8 as a production manager.

9 Q. Are you an engineer by profession?

10 A. That's correct.

11 Q. Have you previously testified before the Division
12 as a petroleum engineer?

13 A. Yes, I have.

14 Q. And were your credentials as an engineer accepted
15 as a matter of record?

16 A. They were.

17 Q. And are you familiar with engineering matters
18 related to the Strawn pools in this area?

19 A. Yes, I am.

20 MR. BRUCE: Mr. Examiner, I tender Mr. Mladenka
21 as an expert petroleum engineer.

22 EXAMINER STOGNER: So qualified.

23 Q. (By Mr. Bruce) Mr. Mladenka, again, do you agree
24 that 80-acre spacing should be continued in effect?

25 A. Very much so.

1 Q. And the question Mr. Kellahin asked Mr. Charuk,
2 for purposes of reservoir management, is there any need to
3 create separate pools for each of these porosity pods?

4 A. As long as the field rules stay in place, no.

5 Q. Let's go to Exhibit 3. I think both Mr. Kellahin
6 and you and I are almost painfully familiar with the Strawn
7 geology in this area over the last five or six years, Mr.
8 Mladenka, but why don't you go through this and describe
9 the Strawn pools in this area and the development and what
10 the 80-acre spacing has shown?

11 A. All right. We're showing about four recognized
12 pools by the Commission: the West Lovington-Strawn Pool,
13 the Big Dog-Strawn, the Big Dog-Strawn South, and the
14 Northeast Shoe Bar-Strawn.

15 The West Lovington-Strawn Pool consists currently
16 of 15 wells over approximately 2500 acres. Roughly that's
17 160 acres per well. It is a pressure-maintenance project.
18 One gas-injection well in the northwest corner of Section
19 1, 16 South, 35, that well is in pressure communication
20 with every well in that 15-well pool, over a mile and a
21 half away.

22 It is currently under the pressure-maintenance
23 project maintained in -- the original -- I agree with Randy
24 Gassaway with Chesapeake about the initial reservoir
25 pressure of these Strawn pods, appear to be around 4300

1 pounds. On the West Lovington-Strawn pool it was 4300, and
2 currently it's at 3300 under the pressure-maintenance
3 project.

4 The initial gas-oil ratios from fluid combination
5 and so forth that we determined, gas-oil ratios in this
6 reservoir are between 1500 to 1800 GOR. Bubble point,
7 somewhere around 4100 pounds.

8 I'll just go to the Big Dog-Strawn field. This
9 well, in my opinion, pretty much set up this whole thing.
10 It was drilled by Mitchell Energy in 1986. Initial
11 pressure, 4300 pounds. However, this is a one-well pool.
12 It essentially made this 25,000 barrels within five months
13 and another 700 barrels over the next ten years or more.

14 The Big Dog-Strawn South was determined to be in
15 a separate pool. The discovery well on it was the Mobil
16 State Number 1, in Section 2. Initial pressure there was
17 4350.

18 And you can just see the stepwise progression
19 whenever a well is drilled within a common porosity pod or
20 pool. You'll look at the second well drilled in that pod,
21 the Baer Number 2, in Section 32, it had an initial
22 pressure of 3310, essentially five months later. Then the
23 Gallagher State was 2656. It is also in Section 2, south
24 of the Mobil State well.

25 Q. So that indicates excellent pressure

1 communication among these wells?

2 A. Excellent. Vertically, like Lynn discussed also,
3 what happens is that the structurally high part of the
4 reservoir pod, once it goes below the pool, goes below the
5 bubble point, you start forming the gas cap, and the gas-
6 oil ratio then reflects the structural position of each one
7 of these wells on this bioherm or porosity pod.

8 Q. Mr. Mladenka, as you go through the South Big
9 Dog-Strawn, you come to the two Yates wells, the Field
10 "APK" State Numbers 1 and 2. Those don't appear to be very
11 good wells, do they?

12 A. No, they were the last two drilled in this and
13 adhered to the -- I believe this South Big Dog is also the
14 same 80-acre spacing. They drilled these wells two years
15 after the discovery well. And the one well we do have
16 pressure information was the Field "APK" State Number 2, in
17 Section 2, southeast of the Mobil State well, and it had a
18 bottomhole pressure of 1515. The initial gas-oil ratio
19 there was 5052. The cum production on it is less than
20 23,000 barrels as of December, 1998. I doubt very
21 seriously the Field "APK" 1 and 2 will pay out.

22 Q. Now, there's two other wells, the Gillespie well
23 and the Ocean Energy well, in that pool, which appear to be
24 doing much better. What does that indicate to you?

25 A. That's a hard one to call. I think there may be

1 a -- Due to the fact the State "D" 8 initial reservoir
2 pressure was 3644, indicating it was not this 4300 pounds'
3 bottomhole pressure, there must be some type of
4 communication with another pod or -- of the South Big Dog-
5 Strawn, which we have that well depicted in there.

6 Q. So it may be in a separate porosity pod?

7 A. That is correct. You look at the current gas-oil
8 ratio of 8051, it is pretty close to being what the South
9 Big Dog-Strawn is and only communicated with the South Big
10 Dog-Strawn. You would tend to think the West Lovington-
11 Strawn might have some influence, but the gas-oil ratio on
12 that reservoir is 2900, and the current rate of this well
13 is 30 barrels a day, versus any well in the -- any flowing
14 well in the Strawn Pool in the West Lovington is
15 significantly higher.

16 The Townsend State Number 1, very little
17 information on that available. It's depicted in the South
18 Big Dog-Strawn for illustration purposes. However, this is
19 the only well in the South Big Dog-Strawn that makes any
20 significant amount of water. That is a horizontal -- I
21 believe 700-foot leg within the Strawn reservoir itself.
22 I'm not sure, very little information available.

23 Q. But based on what you've seen in the Big Dog-
24 Strawn Pool and the South Big Dog-Strawn and the West
25 Lovington-Strawn, would that information also support the

1 current 80-acre spacing in the Northeast Shoe Bar?

2 A. Yes, it would.

3 Q. Mr. Mladenka, we've got a few other exhibits.
4 Just briefly, what is Exhibit 4?

5 A. Exhibit 4 is the tabular data of the Baer Well
6 Number 1 in the Big Dog-Strawn field, once again showing
7 that most of this production was within the first year, 95
8 percent of the production was in the first year.

9 Q. The production sloped significantly after that?

10 A. I say 95 percent, it was --

11 Q. The Exhibit 5 is production data from the South
12 Big Dog-Strawn?

13 A. That is, that is correct. It's -- The production
14 curve itself shows a drop, but that's due to the timing of
15 some of the wells reporting.

16 But you can see the gas-oil ratio that I was
17 referring to initially below 2000. Once these wells got
18 below the bubble point, the decline rate of this field
19 dramatically increased.

20 Q. And what does that increase in GOR indicate to
21 you?

22 A. It is communicated with the gas cap.

23 Q. Okay. And finally Exhibit 6, what is contained
24 in that exhibit?

25 A. This is, once again, the cumulative pool

1 production for each well within -- in a combination of the
2 pool's production.

3 Q. And it's really --

4 A. Once again, we said that this thing has probably
5 got three separate pods within this pool. It's very hard
6 to tell from a cumulative standpoint what each pod is
7 doing.

8 Q. So this is for informational purposes --

9 A. That is --

10 Q. -- for the Examiner?

11 A. That's correct. Just data to support the -- what
12 I call the curiosity map.

13 Q. To support Exhibit 3.

14 Mr. Mladenka, in your opinion is the continuation
15 of the current pool rules in the interest of conservation
16 and the prevention of waste?

17 A. Yes.

18 Q. Okay, and were Exhibits 4, 5 and 6 prepared by
19 you?

20 A. Yes, they were.

21 MR. BRUCE: Mr. Examiner, I'd move the admission
22 of Exhibits 4, 5 and 6.

23 EXAMINER STOGNER: Exhibits 4, 5 and 6 will be
24 admitted into evidence unless there's an objection.

25 MR. KELLAHIN: None.

1 EXAMINER STOGNER: No objection.

2 Mr. Kellahin, your witness.

3 MR. KELLAHIN: No questions.

4 EXAMINER STOGNER: I have no questions of this
5 witness. You may be excused.

6 Does either party have anything further?

7 I do need one clarification, Mr. Bruce. What's
8 Gillespie's interest in this pool? Are they an operator,
9 or are they an interest owner within the pool?

10 MR. BRUCE: In the Northeast Shoe Bar, Mr.
11 Gillespie operates one well, and I believe he is the 100-
12 percent working interest owner in that well.

13 MR. MLADENKA: Eighty-seven and a half.

14 MR. BRUCE: Eighty-seven and a half.

15 EXAMINER STOGNER: Okay, so he is an operator?

16 MR. BRUCE: Yes, sir.

17 EXAMINER STOGNER: Mr. Kellahin, is there only
18 two operators in this pool?

19 MR. KELLAHIN: I believe that's correct.

20 EXAMINER STOGNER: Okay, and they're both here
21 today?

22 MR. KELLAHIN: Yes, sir.

23 EXAMINER STOGNER: Okay. If there's nothing
24 further in the reopening of Case 11,750, then this matter
25 will be taken under advisement.


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Is there anything further to consider in Docket
Number 7-99 today?

Then this hearing is adjourned.

(Thereupon, these proceedings were concluded at
9:50 a.m.)

* * *

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 11750 (reopened)
heard by me on 4 March 1999
 , Examiner
California Employment Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL March 6th, 1999.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002