

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 12,340
)
APPLICATION OF DAVID PETROLEUM)
CORPORATION FOR AN UNORTHODOX OIL WELL)
LOCATION, LEA COUNTY, NEW MEXICO)
)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

February 3rd, 2000

Santa Fe, New Mexico

CO FEB 17 AM 9:02
OIL CONSERVATION DIV

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, February 3rd, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

February 3rd, 2000
Examiner Hearing
CASE NO. 12,340

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>BILL OWEN</u> (Landman)	
Direct Examination by Mr. Carr	5
Examination by Examiner Catanach	9
<u>KEITH E. MCKAMEY</u> (Geologist)	
Direct Examination by Mr. Carr	12
Examination by Examiner Catanach	19
REPORTER'S CERTIFICATE	27

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	9
Exhibit 2	7	9
Exhibit 3	15	19
Exhibit 4	16	19

* * *

A P P E A R A N C E S

FOR THE DIVISION:

LYN S. HEBERT
Legal Counsel to the Division
Energy, Minerals and Natural Resources Department
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 9:02 a.m.:

3 EXAMINER CATANACH: All right, at this time we'll
4 call Case 12,340.

5 MS. HEBERT: Application of David Petroleum
6 Corporation for an unorthodox oil well location, Lea
7 County, New Mexico.

8 EXAMINER CATANACH: Call for appearances in this
9 case.

10 MR. CARR: May it please the Examiner, my name is
11 William F. Carr. I'm with the Santa Fe law firm Campbell,
12 Carr, Berge and Sheridan. We represent David Petroleum
13 Corporation in this matter, and I have potentially three
14 witnesses.

15 EXAMINER CATANACH: Okay, call for additional
16 appearances.

17 Okay, will the three witness please stand to be
18 sworn in?

19 (Thereupon, the witnesses were sworn.)

20 MR. CARR: Mr. Examiner, initially just a couple
21 of things to be sure we don't get confused partway through.

22 The well is at a proposed unorthodox location
23 1330 feet from the south line and 1150 feet from the west
24 line of Section 11. This well is an unorthodox location
25 for a Strawn oil well, but it will be at a standard

1 location in the deeper zone.

2 This well has also been the subject of a couple
3 of administrative applications. Initially, in October of
4 1999, Yates Petroleum Corporation filed an administrative
5 application for the well. The location was a little
6 different than the location being sought today. The
7 original location proposed was 1330 from the south line,
8 but it was 1080 feet from the west line.

9 That application was denied. David Petroleum
10 Corporation refiled at a new location. The Division set
11 that application for hearing, but inadvertently used the
12 old well location. So just to be sure that -- There is
13 some variation in the well location as set forth in some of
14 the exhibits, but it is correctly advertised and it is
15 correctly on the docket, and it is 1330 feet from the south
16 line and 1150 feet from the west line.

17 EXAMINER CATANACH: So noted.

18 MR. CARR: All right. Our first witness is Mr.
19 Bill Owen.

20 BILL OWEN,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Will you state your full name for the record,

1 please?

2 A. Bill Owen.

3 Q. And where do you reside?

4 A. Roswell, New Mexico.

5 Q. By whom are you employed?

6 A. David Petroleum Corp.

7 Q. What is your position with David Petroleum?

8 A. Land manager.

9 Q. Mr. Owen, have you previously testified before
10 this Division?

11 A. Yes.

12 Q. At the time of that testimony, were your
13 credentials as an expert in petroleum land matters accepted
14 and made a matter of record?

15 A. Yes.

16 Q. Are you familiar with the Application filed in
17 this case?

18 A. Yes.

19 Q. Are you familiar with the proposed unorthodox
20 well location and the status of the lands in this area?

21 A. Yes.

22 MR. CARR: We tender Mr. Owen as an expert
23 witness in petroleum land matters.

24 EXAMINER CATANACH: Mr. Owen is so qualified.

25 Q. (By Mr. Carr) Would you briefly state what David

1 Petroleum Corporation seeks with this Application?

2 A. It's an order approving an unorthodox oil well
3 location for our proposed C.O. Jones "ATK" State Com Well
4 Number 1, which is a well to be drilled at this unorthodox
5 well location in the Strawn formation, 1330 feet from the
6 south line, 1150 feet from the west line, which is in Unit
7 L of Section 11, Township 16 South, Range 35 East, Lea
8 County, New Mexico.

9 Q. Mr. Owen, would you identify what has been marked
10 as David Petroleum Exhibit Number 1?

11 A. Exhibit Number 1 is a series of letters, a
12 correspondence between either David Petroleum or Yates
13 Petroleum and the OCD. The first item is Item Number A, is
14 the original application filed by Yates, back on October
15 the 7th of 1999.

16 The second one is Number B, which was a letter of
17 denial to Yates Petroleum.

18 Item Number C is an application by David
19 Petroleum to the OCD which shows the currently proposed
20 location. That was an application by David Petroleum for
21 an administrative approval.

22 And then Item Number D is a letter back from the
23 OCD to David Petroleum dated January the 3rd, which set
24 this particular case for hearing today.

25 Q. Let's go to David Petroleum Exhibit Number 2.

1 Identify and review that, please.

2 A. This is a land plat showing our well location.
3 It shows the dedicated spacing unit that we are proposing,
4 which is the north half of the southwest quarter, and it
5 shows the location of the well, which is again just ten
6 feet from the southern boundary of this 80-acre spacing
7 unit.

8 Q. Is the south half of the southwest of Section 11
9 dedicated to a well?

10 A. Yes, there's currently a well that's being
11 drilled in the south half of this particular quarter
12 section, which is the same name well, but it's the Number 2
13 well.

14 Q. And so the only acreage available in this 160-
15 acre tract is the north half of the southwest?

16 A. That's correct.

17 Q. Mr. Owen, are there any affected parties to whom
18 notice of this Application should be provided pursuant to
19 Oil Conservation Division Rules?

20 A. Well, this particular tract of land, it's a state
21 lease, a State of New Mexico lease, which covers the entire
22 southwest quarter, and the working interest and the royalty
23 interest ownership in the offsetting acreage to the south
24 is identical to that of the acreage that we're drilling in
25 the north half of the southwest.

1 Q. And there are no affected parties to whom notice
2 should be provided?

3 A. No, that's correct.

4 Q. Is all working interest voluntarily committed to
5 the well?

6 A. Yes.

7 Q. Will David Petroleum call a geological witness to
8 review the technical portions of this Application?

9 A. Yes, we will.

10 Q. Were Exhibits 1 and 2 either prepared by you or
11 compiled at your direction?

12 A. Yes, they were.

13 MR. CARR: At this time, Mr. Catanach, we move
14 the admission into evidence of David Petroleum Corporation
15 Exhibits 1 and 2.

16 EXAMINER CATANACH: Exhibits 1 and 2 will be
17 admitted as evidence.

18 MR. CARR: And that concludes my direct
19 examination of Mr. Owen.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Owen, this well location was amended at some
23 point. Do you know why that occurred?

24 A. Basically just additional geological and
25 geophysical review. When the Application was originally

1 sent in by Yates Petroleum, the location that everybody
2 felt most comfortable with was the 1330 from the south, but
3 that part of it has never changed, and was 1080 feet from
4 the west line, and scientists have just -- subsequent to
5 that, just did additional review. When we knew we were
6 going to have to propose the location again, we went ahead
7 and revised the location to its current location.

8 Q. Now, this Application was originally filed by
9 Yates Petroleum. What is your association with this?

10 A. We're partners with Yates Petroleum, and in this
11 particular prospect, this area right here, we own the
12 majority interest.

13 Q. And will David Petroleum be drilling this well?

14 A. Yates Petroleum will be the actual operator.

15 Q. Yates will operate. And drill?

16 A. Yes.

17 Q. And you said there's currently a well being
18 drilled in the south half of that quarter section?

19 A. Yes, sir, that's the -- It's the same well, same
20 named well, except it's the Number 2. It's the C.O. Jones
21 "ATK" State Com Number 2 well, which is currently being
22 drilled in the south half, southwest quarter.

23 Q. That's being drilled by Yates?

24 A. Yes, sir.

25 Q. And is that at a standard location, do you know?

1 A. No, it's not. Actually, it's a directional well
2 that's being drilled from east -- excuse me, from west to
3 east. It's --

4 MR. CARR: Mr. Catanach, that is at a standard
5 location.

6 THE WITNESS: Did we end up starting that
7 standard?

8 MR. CARR: Yes, 300, 330.

9 EXAMINER CATANACH: Okay.

10 THE WITNESS: Yeah, I would make sure that you
11 understood that. That is -- The surface location is a
12 standard location. It's unusual in a sense because it's a
13 directionally horizontal well being drilled in there.

14 Q. (By Examiner Catanach) Okay. And within the
15 southwest quarter, that is a single state lease?

16 A. Yes, sir.

17 Q. And the interests in the south half and north
18 half of that quarter section are exactly the same?

19 A. Yes, sir.

20 Q. There seemed to be some question, at least in Mr.
21 Stogner's opinion, of what pool this might be in. Do you
22 know that this, in fact, is going to be placed in an
23 80-acre pool?

24 A. This -- That part of the testimony actually will
25 be covered by our geologist.

1 EXAMINER CATANACH: Okay. That's all the
2 questions I have of this witness.

3 MR. CARR: At this time we call Mr. McKamey.

4 KEITH E. MCKAMEY,

5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. CARR:

9 Q. Will you state your full name for the record?

10 A. Keith E. McKamey.

11 Q. Mr. McKamey, where do you reside?

12 Q. By whom are you employed?

13 A. David Petroleum.

14 Q. And what is your position with David Petroleum
15 Corporation?

16 A. Senior geologist.

17 Q. Have you previously testified before this
18 Division?

19 A. Yes, I have.

20 Q. At the time of that testimony, were your
21 credentials as an expert in petroleum geology accepted and
22 made a matter of record?

23 A. Yes, they were.

24 Q. Are you familiar with the Application filed in
25 this case?

1 A. Yes, I am.

2 Q. Have you made a geological study of the area
3 surrounding the proposed well?

4 A. Yes, I have.

5 Q. And are you prepared to share the results of your
6 work with the Division?

7 A. Yes, I will.

8 MR. CARR: We tender Mr. McKamey as an expert
9 witness in petroleum geology.

10 EXAMINER CATANACH: He is so qualified.

11 Q. (By Mr. Carr) Mr. McKamey, what is the primary
12 objective in the proposed well?

13 A. The primary objective is the Strawn zone.

14 Q. And what pool do you believe this well is
15 properly in?

16 A. Big Dog-Strawn South.

17 Q. Could you explain to the Examiner -- and you may
18 want to refer to your Exhibit Number 3 -- explain to Mr.
19 Catanach why the well has been designated as a South Big
20 Dog-Strawn Pool well?

21 A. Certainly. The closest producing well, Mr.
22 Catanach, is the Lusk Number 2 in the northwest corner of
23 our map. That is located -- That proration unit is the
24 south half, northwest, and we will be drilling adjacent to
25 that in the north half of the southwest of 11.

1 The closest 40-acre pool, which is the Shoe Bar-
2 Strawn Shoe Bar feature, is down in the lower left-hand
3 corner, which is Section 15, and the bottom part of the
4 map, which is Section 14.

5 Q. This spacing unit is actually contiguous with the
6 spacing unit in the South Big Dog-Strawn?

7 A. Correct, whereas --

8 Q. And it would not be with the 40-acre pool?

9 A. That's correct.

10 Q. Is the South Big Dog-Strawn operated under
11 special pool rules?

12 A. There is special pool rules in that 80-acre
13 field.

14 Q. And they provide for the 80-acre spacing?

15 A. They do provide for the 80-acre spacing.

16 Q. And do they also provide that wells shall be
17 located no closer than 330 feet to the outer boundary of
18 the dedicated acreage?

19 A. That's correct.

20 Q. So we're seeking an exception to that, correct?

21 A. That's correct.

22 Q. Are there secondary objectives in this well?

23 A. Yes, there are secondary objectives. The Cisco
24 zone, which the closest well is also the Lusk Number 2,
25 it's in the Townsend-Permo-Upper Penn field, and we do have

1 an Atoka-Morrow objective, which the closest well is the
2 Lusk Number 1, which is just due north of our proposed
3 location, and it's a wildcat Atoka field.

4 Q. Let's go now and look at Exhibit Number 3, and I
5 would ask that -- the Strawn gross isopach, and I'd ask you
6 to review the information, the geological information, on
7 the exhibit for the Examiner.

8 A. This is a gross isopach map on the Strawn
9 interval. The thickest portions of the map represent the
10 best wells. As you can see, 140 feet is the thickest part
11 of the interval, and all the 140-foot thicks have been
12 drilled with the exception of our initial location. The
13 Lusk Number 2 is a thick at 140 feet of Strawn interval.
14 The Runnels Number 2, which is in the southeast of 11, is
15 also a producing Strawn well with 140 feet of thickness.
16 And the wells down in Section 14, which is on the south end
17 of the map, are also 140 feet of thickness or better, and
18 I'm referring to the Mayfly Number 2 as the producer there.

19 So the only 140-foot thickness well that has not
20 been drilled is the C.O. Jones Number 1, located in the
21 north half of the southwest of 11.

22 Q. And if we look at this exhibit, we can see that
23 all the other thicks have a well in them; is that right?

24 A. That's correct.

25 Q. Is there any other well in this reservoir that

1 could drain this particular thick?

2 A. Not in this reservoir, and we will get to that in
3 the next exhibit, which is a map that outlines the geometry
4 of that reservoir.

5 Q. Are you ready to go to the --

6 A. Yes, sir.

7 Q. -- seismic information? Let's go to Exhibit
8 Number 4. Identify this exhibit and the various component
9 parts of it, and then review it for Mr. Catanach.

10 A. This is a 3-D seismic trace map, accompanied with
11 a Strawn-Atoka isochron in the lower left-hand corner. The
12 top left-hand corner is a base map that shows you the
13 orientation of the line and the trace on the right.

14 The north-south line is Line 227, which is the
15 trace section on the left. The east-west line is Trace
16 Number 37, and it's the line on the right.

17 Typically, this reservoir is explored by using
18 isochron thicknesses, using 3-D, and the map in the lower
19 left-hand corner represents that isochron thickness and the
20 geometry of that reservoir. And the yellow portion of that
21 reservoir geometry represents the thickest in the
22 commercial part of the reservoir that I have identified as
23 140 feet of thickness on Exhibit Number 3.

24 Q. If we look at the proposed location and compare
25 it to the isochron, in fact, you are on the northern edge

1 of the thickest portion of the reservoir; is that not
2 right?

3 A. That is correct.

4 Q. And that is the reason you must go as far south
5 with this well as possible?

6 A. That's exactly right. Any well drilled further
7 north increases risk and potentially less porosity and less
8 thickness.

9 Q. To make a successful well here, you must get into
10 the thickest part of the reservoir?

11 A. That's correct.

12 Q. And that's the objective here?

13 A. That's the objective, to eliminate risk.

14 Q. What impact does this location have on the risk
15 associated with the drilling of the well, other than just
16 the thickness of the Strawn? Are there other formations?

17 A. There is an Atoka-Morrow formation that reduces
18 the risk in this location. Our Atoka-Morrow objective is
19 only prospective in this location, and you can see that in
20 the seismic lines. The Atoka-Morrow formation is a zone
21 that you look for in the troughs of these lows, and the
22 north-south line and the east-west line exhibits that
23 trough.

24 You do not find a trough to the west in an L
25 location, but rather this location here will test that, and

1 that substantially reduces the risk for this location.

2 Q. And this would be in the Atoka-Morrow and infill
3 well as provided by the Rule 104; isn't that right?

4 A. That's correct.

5 Q. What conclusions have you reached from your study
6 of the area?

7 A. Well, this is economically more feasible to drill
8 the well in this location for the sense that you have two
9 reservoirs that's potentially productive. And the seismic,
10 3-D seismic, indicates that this is the only place in that
11 80-acre proration unit that a well could be made.

12 Q. If you're unable to drill this well to test the
13 Strawn, is it possible that reserves would be left in the
14 ground and therefore wasted?

15 A. Yes, we would probably not drill it.

16 Q. If you had to move to the north, would you not
17 drill the well?

18 A. Probably would not drill it.

19 Q. In your opinion, will granting this Application
20 otherwise be in the best interest of conservation, the
21 prevention of waste and the protection of correlative
22 rights?

23 A. Absolutely.

24 Q. Were Exhibits 3 and 4 either prepared by you or
25 compiled under your direction?

1 in the middle, are those actually producing wells in the
2 Strawn?

3 A. That's correct.

4 Q. And those are wells that have essentially drilled
5 into the thick -- 140-foot-thick gross isopach?

6 A. That's correct. The wells that are currently
7 being drilled are the C.O. Jones Number 2, which we have
8 just finished logging on. The Mayfly 1 well has been
9 completed as a gas well. They have moved -- a new location
10 in the Mayfly 5, which is due east of that; that is
11 currently being drilled. The Mayfly 3 well is being
12 completed, or attempting completion, as we understand it.
13 And the Mayfly 2 is a completed oil well. The Runnels 2
14 north of that, in the southeast of 11, is a completed oil
15 well in the Strawn. And the Lusk 2 is a completed oil.
16 The "AQK" Number 2 re-entry, which is west of the Lusk 2,
17 is an old Townsend-Wolfcamp well that's currently inactive.

18 Q. On the C.O. Jones Number 2 well, that was --
19 That's a directional well, right?

20 A. Correct.

21 Q. And that started -- The surface location is shown
22 as the western location?

23 A. That's correct, 330 from the south and west,
24 which is standard.

25 Q. And that was drilled directionally to the east

1 portion of that proration unit?

2 A. That's correct.

3 Q. Is that well productive, or is it --

4 A. We don't know yet. We've just run logs. We
5 anticipate that we may have some productive interval in
6 that well.

7 Q. So the main objective in that well was to
8 penetrate -- or to target the 140-foot-thick Strawn?

9 A. There is, as you can see, a thick ridge running
10 kind of northwest-southeast, running through from the Lusk
11 2 down to the Jones Number 1, through the Jones Number 2,
12 lateral projection into the Mayfly wells in Section 14.
13 That is the thick trend of that isopach.

14 Q. Mr. McKamey, are these the typical pods that you
15 see in the Strawn formation in this area?

16 A. They're very small.

17 Q. So the one that you're targeting in the Jones
18 Number 1 well, do you know what the extent of that
19 structure is?

20 A. We have represented that extent in the Strawn-
21 Atoka isochron in Exhibit Number 4, which you see barely
22 crosses the half-section line but probably is not connected
23 to the Lusk Number 2. The 140-foot isochron thickness on
24 Exhibit Number 3, Mr. Catanach, is a representation of the
25 yellow color on the Strawn-Atoka isochron.

1 Q. So that -- you believe that is a separate
2 structure?

3 A. That's right, separate pod buildup, actually.

4 Q. And the majority of that pod looks to be within
5 the south half of that quarter section?

6 A. Yes, that's correct, but separate from the well
7 that we've tested in the Jones Number 2. We do not feel
8 like we've tested that particular buildup in that
9 horizontal well. So we don't think that any -- If we do
10 establish production in that well, we don't think any
11 drainage will affect the Jones Number 1 location. So
12 therefore, reserves will be left in the ground if it's
13 undrilled.

14 Q. I'm just curious why that well wouldn't --
15 wouldn't you want to -- You're drilling on the northern
16 boundary of that structure. Wouldn't you want to drill
17 more in the center of that structure?

18 A. If we did, we'd have two wells in that same 40,
19 because the Jones Number 2 is already in that 40, and it's
20 also in the 40 to the east of it, so then we'd have to
21 share allowable. And we feel like we could adequately
22 drain that structure with the location as is, however if
23 it's moved any other direction we perhaps may not even find
24 it.

25 Q. Well, let me ask you this. The way that you've

1 got that structure configured or mapped out, are you going
2 to be draining any reserves from the north half of that
3 quarter section?

4 A. Where we have the well located, we expect to
5 drain the north half of the southwest, yes.

6 Q. That structure appears to be mainly situated on
7 that south half?

8 A. That's where the thickest part of it is situated,
9 that's correct.

10 Q. You're saying that part of that structure extends
11 onto that north half?

12 A. Exactly, that's right.

13 Q. But you don't have it mapped out that way?

14 A. Not in the 140-foot thick. It is represented to
15 be 130 foot thick or better, that's the next line of
16 isopach thickness.

17 Q. So you're saying that's what you believe the
18 productive limits of the reservoir would be, down to the
19 130-foot?

20 A. I do believe the 130-foot interval adds to
21 reservoir volume. However, lots of times we don't find the
22 porosity until we get in 140 foot or better. As a matter
23 of fact, that's been the case every time.

24 Q. That's been the general rule in this whole area,
25 that you have to have 140 feet?

1 A. Yes, sir.

2 Q. Can you show me instances where that's not been
3 true in this area?

4 A. I don't know of any instances that that has not
5 been true. It's been true in every well so far. The Lusk
6 2 has 140 foot, the Runnels 2 has 140 foot, and the Mayfly
7 2 has over 140 feet. And no other wells have established
8 production with less to this date.

9 Q. No other wells have established production?

10 A. Not to my knowledge.

11 Q. What's the Lusk Number 1?

12 A. It is an Atoka-Morrow well.

13 Q. That's not a Strawn well?

14 A. No, sir.

15 Q. Has that tested in the Strawn?

16 A. Yes, it was, and it was dry.

17 Q. Is this typically the 3-D seismic that you use in
18 this area to determine well locations?

19 A. It is. We use the 3-D seismic to give us a feel
20 of the geometry of the reservoir, like you see on the
21 isochron map. The 3-D geology is also used to depict
22 porosity, and it's also indicative of isochron thickness as
23 well.

24 Q. Mr. McKamey, do you know if these wells -- Have
25 you had experience with drilling these wells in this area?

1 Do you know if they exhibit any tendency to drift at all?

2 A. Most of the wells in this area do drift a little,
3 but never beyond 1 1/2 to 2 degrees in a vertical wellbore.

4 Q. Is it possible that your bottomhole location may,
5 in fact, not even be on the proposed proration unit?

6 A. We intend to take a security measure and take
7 downhole surveys and correct to make sure that we can
8 obtain the bottomhole location we intend to.

9 Q. What about any potential for uphole completions?

10 A. The Cisco-Townsend-Upper Permo-Upper Penn zone is
11 prospective uphole. It's about 11,000 feet. It's about a
12 10- to 15-foot-thick zone that is currently producing in
13 the Lusk Number 2 well. That is a 40-acre proration unit.

14 Q. That is a 40-acre -- That's an oil pool?

15 A. Yes, sir, standard statewide rules, I believe,
16 apply there.

17 Q. Anything above there?

18 A. No, sir. There are some Wolfcamp zones in the
19 Townsend field that are potentially prospective, but we
20 feel like they may be drained already. We may evaluate
21 those zones through drill stem tests as we drill through,
22 to see if they have been drained.

23 Q. Mr. McKamey, if this location is not approved,
24 what is the proposal? What would you do? You would just
25 not drill a well in that north half?

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 6th, 2000.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 2002