

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF PENWELL ENERGY, INC.,)
FOR POOL CREATION, SPECIAL POOL RULES,)
APPROVAL OF A NONSTANDARD OIL PRORATION)
UNIT AND AN UNORTHODOX OIL WELL)
LOCATION, SANDOVAL COUNTY, NEW MEXICO)

CASE NO. 12,387

ORIGINAL

CO APR 34 6AM 5:11

CO MAY -4 AM 5:15

OIL CONSERVATION DIVISION

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

April 20th, 2000

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, April 20th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

April 20th, 2000
Examiner Hearing
CASE NO. 12,387

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESS:	
<u>WILLIAM PIERCE</u> (Engineer)	
Direct Examination by Mr. Carr	4
Examination by Examiner Ashley	19
REPORTER'S CERTIFICATE	21

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	19
Exhibit 2	9	19
Exhibit 3	10	19
Exhibit 4	11	19
Exhibit 5	12	19
Exhibit 6	12	19
Exhibit 7	13	19
Exhibit 8	14	19
Exhibit 9	15	19
Exhibit 10	16	19
Exhibit 11	18	19

* * *

A P P E A R A N C E S

FOR THE DIVISION:

LYN S. HEBERT
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
 Suite 1 - 110 N. Guadalupe
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 11:18 a.m.:

3 EXAMINER ASHLEY: The Division now calls 12,387.

4 MS. HEBERT: Application of Penwell Energy, Inc.,
5 for pool creation, special pool rules, approval of a
6 nonstandard oil proration unit and an unorthodox oil well
7 location, Sandoval County, New Mexico.

8 EXAMINER ASHLEY: Call for appearances.

9 MR. CARR: May it please the Examiner, my name is
10 William F. Carr with the Santa Fe law firm Campbell, Carr,
11 Berge and Sheridan. We represent Penwell Energy, Inc., in
12 this matter, and I have one witness.

13 EXAMINER ASHLEY: Call for additional
14 appearances.

15 (Thereupon, the witness was sworn.)

16 WILLIAM PIERCE,
17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Would you state your name for the record, please?

22 A. Bill Pierce.

23 Q. Mr. Pierce, where do you reside?

24 A. Midland, Texas.

25 Q. By whom are you employed?

1 A. Penwell Energy.

2 Q. And what is your current position with Penwell
3 Energy?

4 A. I'm a petroleum engineer.

5 Q. Have you previously testified before this
6 Division and had your credentials as an expert in petroleum
7 engineering accepted and made a matter of record?

8 A. Yes, I have.

9 Q. Are you familiar with the Application filed in
10 this case on behalf of Penwell?

11 A. Yes, I am.

12 Q. Are you familiar with the development of the
13 Entrada formation in the area surrounding the Arena-Blanca
14 Entrada Pool?

15 A. Yes, I am.

16 Q. Have you made an engineering study of the Entrada
17 formation in the area which is the subject of this hearing?

18 A. Yes, I have.

19 Q. And are you prepared to share the results of that
20 work with Mr. Ashley?

21 A. Yes, I am.

22 MR. CARR: Mr. Ashley, we tender Bill Pierce as
23 an expert witness in petroleum engineering.

24 EXAMINER ASHLEY: Mr. Pierce is so qualified.

25 Q. (By Mr. Carr) Would you briefly state what

1 Penwell seeks with this Application?

2 A. Yes, sir, we would like to create a new oil pool
3 for the Entrada formation as a result of discovery of our
4 Eagle Springs Federal well.

5 We would also like the adoption of special pool
6 rules for this new pool, which would include a provision
7 for 160-acre oil well spacing and proration units, with the
8 wells to be located within 660 feet of the outer boundary
9 of the dedicated acreage.

10 Also reapproval of our unorthodox oil spacing
11 unit for our Eagle Springs "8" Federal Well Number 1.

12 Also, we would like the approval of that
13 unorthodox location. Like I say, it's already been
14 approved once.

15 Q. Summarize for us just briefly the reasons you're
16 seeking the creation of this new pool and the special pool
17 rules?

18 A. We're seeking this new pool because we believe
19 that we've determined a new source of supply for the
20 Entrada, so we feel it's an entirely different source than
21 anything existing.

22 Q. And will it be your testimony that one well, the
23 well which is the subject of this case, the Eagle Springs
24 "8" Federal Well Number 1, that that well can, in fact,
25 drain this entire pool?

1 A. Yes, that is correct.

2 Q. When was the Arena-Blanca Pool created?

3 A. It was created January 1st, 1986, by Order Number
4 R-8120. The pool boundaries include, in Section 36, the
5 south half of the northeast quarter, the north half of the
6 southeast quarter of said Section 36, Township 20 North,
7 Range 5 West.

8 Q. And what will govern the development of the
9 Arena-Blanca Entrada Pool?

10 A. They are statewide oil rules, which is 40-acre
11 oil well spacing, and the allowable is 107 barrels of oil
12 per day.

13 Q. How many wells are currently producing from the
14 Arena-Blanca Entrada Pool?

15 A. There are no current producing wells in the
16 Arena-Blanca Entrada Pool.

17 Q. When was the Eagle Springs "8" Federal Well
18 Number 1 drilled?

19 A. In the fall of 1999.

20 Q. And how close is it to the Arena-Blanca Entrada
21 Pool?

22 A. We're over two miles away.

23 Q. When the forms were filed on the well, was the
24 well placed in the Arena-Blanca Entrada Pool?

25 A. Yes, when we came to hearing for an unorthodox

1 location, it was the OCD placed it in the Arena-Blanca
2 Pool.

3 Q. To your knowledge, has the Division officially
4 expanded at this time the Arena-Blanca Entrada Pool to
5 include this acreage?

6 A. No, sir, it has not been expanded.

7 Q. What are the current producing rates for this
8 well?

9 A. Our Eagle Springs well currently produces 135
10 barrels of oil per day. However, it is capable of
11 producing more oil.

12 Q. So at this time are you restricting its ability
13 to produce, to stay close in line with the depth bracket
14 allowable for the pool?

15 A. Yes, we are.

16 Q. Let's go to what has been marked for
17 identification as Penwell Exhibit Number 1, and I'd ask you
18 to identify that and review it, please.

19 A. This is the C-102 showing the exact surface
20 location of the Eagle Springs "8" Federal Number 1.

21 Q. And you have indicated that the unorthodox
22 location was previously approved?

23 A. Yes, it was approved by Order Number R-11,331,
24 February 17th, 2000.

25 Q. Now, it was unorthodox under the statewide rules

1 at that time?

2 A. That is correct.

3 Q. And it's included on this docket, because if the
4 recommended pool rules are adopted, it will again be at an
5 unorthodox well location?

6 A. That's also correct.

7 Q. Who are the affected offsetting operators?

8 A. Only Penwell Energy.

9 Q. Let's go to Exhibit Number 2. Could you identify
10 and review that, please?

11 A. Exhibit 2 shows a leasehold map. Everything
12 colored in yellow is owned by Penwell Energy. There are
13 some other operators and tribal fee lands and state land
14 identified by the legend below that map.

15 Q. The well is unorthodox because it is encroaching
16 on the north line of the spacing unit?

17 A. That is correct.

18 Q. All the working interest north of that line is
19 owned by Penwell?

20 A. That's also correct.

21 Q. And what is the status of the royalty interest?

22 A. It's the same.

23 Q. On both sides of the line?

24 A. That's correct.

25 Q. Let's go to Exhibit Number 3. What is this?

1 A. Exhibit 3 is a map showing existing Entrada oil
2 pools in the general vicinity. If you will start at the
3 right hand side of your map you have the Media Field, the
4 Southwest Media Field. Moving more to your left in the
5 center of the map, you will see your Eagle Mesa Entrada
6 Field. We have our discovery well labeled. To the
7 northwest of that we have the Arena Blanca Field. To the
8 far left of the map you will see the Papers Wash Field. At
9 the upper left-hand corner you will see the Ojo Encino
10 Field. And these are all either currently or have produced
11 at one time from the Entrada formation.

12 Q. When we talk about the Entrada formation, what
13 are the producing features that you're trying to find and
14 develop?

15 A. These are strictly what we refer to as dune
16 structures. The Entrada is a sand formation, and it only
17 produces where it has dune features or dune structures
18 produced in it.

19 Q. And based on what you know of the area
20 surrounding the proposed well, have you encountered one of
21 those structures?

22 A. Yes, we believe we have.

23 Q. And is it of a relatively limited areal extent?

24 A. Yes, it is.

25 Q. Now, this well is more than two miles from any of

1 the previously and defined Entrada pools in the area; is
2 that correct?

3 A. That is correct.

4 Q. Let's go now to your Entrada isochron map,
5 Exhibit Number 4. Will you review that for Mr. Ashley?

6 A. Exhibit Number 4 is a map that was created off
7 some existing 2-D lines to give you an idea of how some of
8 these structures line up. And as you can see, even from
9 the old conventional 2-D, some of these structures do
10 appear. We have shown the Eagle Mesa field down in the
11 lower right-hand corner.

12 If you'll move over to approximately the middle
13 left, you will see our well, the Penwell Eagle Springs
14 well, and then to the far left you will see the structure
15 in which the Arena-Blanca Pool was located. But as you can
16 tell from the old 2-D, only a few of these dune structures
17 appear. So it goes to show that the source of supply is
18 different in our well as to the Arena-Blanca Pool.

19 Q. In your opinion, is there any chance that there
20 is a source connection between the reservoir and the
21 Penwell Eagle Springs well and any existing Entrada Pool in
22 the area?

23 A. No, sir, there is not.

24 Q. Could you identify what is marked Exhibit Number
25 5?

1 A. Exhibit Number 5 is a time-structure map based on
2 our 3-D. And as you can see, the little mounds or dunes,
3 if you will, pop up. Again, the lower right-hand corner is
4 the Eagle Mesa Field. In the left center it shows our
5 Eagle Springs well on a small dune structure. And then the
6 upper left-hand corner, again, a small dune structure for
7 the Arena-Blanca Pool.

8 Q. Let's now go to the Entrada velocity map, Exhibit
9 Number 6.

10 A. Exhibit Number 6 is based strictly upon our 3-D
11 across our Eagle Springs well, and it shows within the red
12 hach marks -- based on logs it shows that we have 194 acres
13 of what we consider to be productive part of the dune
14 structure.

15 Q. And you're seeking the establishment of 160-acre
16 spacing?

17 A. That is correct, yes.

18 Q. Which is the closest spacing pattern to the area
19 you have mapped as being capable of producing reserves?

20 A. That's correct.

21 Q. If we look at this map, the reservoir extends
22 into the acreage north of the spacing unit?

23 A. Yes, it does.

24 Q. Will any correlative rights be affected by
25 approving this Application in view of the fact the

1 reservoir extends beyond the --

2 A. No, sir, they will not.

3 Q. The ownership is, working interest and royalty
4 interest identical?

5 A. They are.

6 Q. Let's go to the next exhibit, Exhibit Number 7.

7 Explain how this exhibit differs from the preceding
8 exhibit.

9 A. This exhibit is the same as the other except this
10 time the 40-acre spacing units have been superimposed upon
11 the 3-D seismic so you can show -- It shows exactly where
12 our well follows, based within standard 40-acre spacing
13 unit, oil spacing units.

14 Q. Now, Mr. Pierce, what acreage do you recommend be
15 included within the new pool?

16 A. We recommend the north half of Section 8.

17 Q. And you're asking that there would be basically
18 two 160-acre spacing units included within the reservoir?

19 A. That's correct, yes, sir.

20 Q. What are you proposing to dedicate to this well?

21 A. We're proposing to dedicate to this particular
22 well the west half of the northeast quarter, and the
23 west -- excuse me -- yes, and then the east half of the
24 northwest quarter of said section.

25 Q. Isn't what we're trying to do here is, in fact,

1 adopt special pool rules that as closely as possible honor
2 the drainage area and at the same time then create a
3 spacing unit which as closely as possible matches the
4 structure?

5 A. That is correct, yes, sir.

6 Q. Let's go to Exhibit Number 8. Would you identify
7 this first and then explain what it is?

8 A. Yes, sir, Exhibit Number 8 is a time structure,
9 looking from the top down into these dune structures. As
10 you can clearly see, the dune feature located underneath
11 our Eagle Springs well is different from the Arena-Blanca
12 Entrada Pool by the fact, just below the red line, the
13 arrow line, it appears to almost completely dim out. And
14 what this is, is actually where the Entrada sand greatly
15 thins down. It's either extremely thin or it has
16 disappeared altogether, and the only way you can have
17 closures in these dune structures are for these things to
18 pinch out, which this small little area right here shows
19 that it clearly does.

20 Also, once you get your -- drill these wells and
21 get your logs out, even though this appears to be a fairly
22 large structure, only a certain amount of this dune
23 contains oil. So therefore, even though it may appear to
24 be large, only a certain amount of this dune structure, if
25 you will, actually contains oil.

1 Q. Let's go now to Exhibit Number 9, the productive
2 area printout. And explain, I think, first, for the
3 Examiner, how the exhibit is organized, and then go through
4 the separate parts of it.

5 A. Yes, sir. This is based on, Mr. Examiner,
6 Exhibit 8, if you will. We took and also, when we drilled
7 our Eagle Springs, we ran a sonic log, and that is where we
8 got the velocity well tie of 11,046 feet per second. And
9 since 3-D is based on milliseconds, you take 11,046 and
10 multiply that times .001 and divide that by 2, and that
11 will give you the number of feet per millisecond looking
12 from the top down into this dune structure.

13 So on Exhibit Number 9, we get in on the left-
14 hand side, the first column is milliseconds. The next
15 column would be the 5.52 feet per millisecond, and it's the
16 corresponding feet, you know, as you pick up milliseconds
17 in time, of course, it gets greater as you go down.

18 The third column is acres of closure feet. In
19 other words, if we're looking down from the very top of
20 this structure, if you'll refer back to Exhibit Number 8,
21 the very small portion that's the darkest part around our
22 well, that equates to 4.6 acre-feet. So one foot into that
23 reservoir takes up 4.6 acre-feet.

24 As you go down into it on a foot-by-foot basis,
25 it shows the acres of closure feet. In a future exhibit,

1 we'll show you how we arrived at 28, but basically 28 feet
2 is the oil column within this dune, and thereby showing
3 that we actually come up with 194.01 productive acres
4 within the dune structure.

5 To your left are strictly some reserve runs based
6 upon if you use 300 barrels per acre feet of closure, 400
7 barrels or 500 barrels, which the sums, of course, are
8 self-explanatory.

9 Q. Mr. Pierce, will the Eagle Springs "8" Federal
10 Well Number 1 be able to effectively and efficiently drain
11 the 194 acre feet of closure that you have shown on this
12 exhibit?

13 A. Yes, it will, from the simple fact that we are at
14 the what we refer to as crestal position on this dune
15 structure. In other words, we are at the highest point on
16 this dune structure, so we feel like that it will drain the
17 160 acres.

18 Q. Any additional wells in this dune would be
19 unnecessary?

20 A. Yes, we feel that's correct.

21 Q. Let's go to Exhibit Number 10. Would you refer
22 to this and show how you got the 28 feet of oil column?

23 A. Exhibit Number 10 is our resistivity log from the
24 Eagle Springs. In our study of the Entrada fields and
25 resistivity reading, eight ohms appears to be the cutoff

1 point, if you will, of oil in the reservoir. Therefore, we
2 have used the eight-ohm reading to be our cutoff point.

3 And if you'll see in green, which equates to 28
4 feet -- that's your oil -- you either can or cannot -- in
5 our particular instance, we do have a small transition
6 zone, and then clearly you have an oil-water contact from
7 there on down into the reservoir. But we feel that we
8 clearly have 28 feet of oil column on top of the reservoir.

9 Q. Would you review for Mr. Ashley the conclusions
10 you have reached from your study of this area?

11 A. Yes, sir, in conclusion is that with 3-D, number
12 one, you're attempting to locate these dune features. They
13 can be relatively large in size, but due to closure have a
14 small productive area on top or be a small dune structure
15 and have good closure and be almost completely filled with
16 oil.

17 But as we have shown, it's difficult to locate
18 them with 2-D. About the only way we have found is to
19 locate them with 3-D, of which we have been very successful
20 in doing.

21 Q. Have you discovered a new source of supply in the
22 Entrada formation?

23 A. Yes, we feel by the evidence we presented today
24 that it is a new source of supply, separate from the Arena-
25 Blanca Pool.

1 Q. Is 160-acre spacing appropriate for this
2 reservoir?

3 A. Yes, sir, we feel that it is.

4 Q. And the recommended nonstandard unit and
5 unorthodox well location are necessary to cause the
6 proposed rules to match the reservoir characteristics as we
7 know them?

8 A. That's correct.

9 Q. Is Exhibit 11 a copy of an affidavit with
10 attached letters and addresses confirming that notice of
11 this Application has been provided in accordance with the
12 rules and regulations of the Division?

13 A. Yes, that's correct.

14 Q. To whom was notice provided?

15 A. To all of the offset lease owners within two
16 miles of our Eagle Springs well.

17 Q. When was the Eagle Springs well actually
18 completed?

19 A. It was completed in March of 2000.

20 Q. Are you requesting that if possible the Division
21 make the new rules, if they approve this Application,
22 effective as of March 1, 2000?

23 A. Yes, that's correct.

24 Q. In your opinion, will approval of this
25 Application be in the best interest of conservation, the

1 prevention of waste and the protection of correlative
2 rights?

3 A. Yes, sir, it will.

4 Q. Were Exhibits 1 through 11 either prepared by you
5 or compiled under your direction and supervision?

6 A. Yes, they were.

7 MR. CARR: May it please the Examiner, at this
8 time we would move the admission into evidence of Penwell
9 Energy, Inc., Exhibits 1 through 11.

10 EXAMINER ASHLEY: Exhibits 1 through 11 will be
11 admitted as evidence.

12 MR. CARR: And that concludes my direct
13 examination of Mr. Pierce.

14 EXAMINATION

15 BY MR. ASHLEY:

16 Q. Mr. Pierce, you said you wanted to make these
17 rules effective when? March -- ?

18 A. March 1st, 2000.

19 Q. And what's that date based on?

20 A. We complete our well in March of 2000, so...

21 Q. Referring back to Exhibit 7, which is the Entrada
22 structure map, we have the quarter-quarter section grid
23 lines drawn on there?

24 A. Yes, that's correct.

25 Q. The area to the north or in the section right

1 above that, there's another -- what? About 80-acres up
2 there?

3 A. Approximately, yes, sir, between 70 and 80 acres
4 above that, that's correct.

5 Q. And this one well is going to effectively drain
6 that whole structure that you have outlined here?

7 A. Yes, we believe it will.

8 Q. And there are no plans to drill any other wells?

9 A. At this time, no, sir, there are not.

10 Q. What about the area that's to the right of this
11 structure? There seems like to be another smaller
12 structure, maybe not quite as high.

13 A. That's correct, there does appear to be one, but
14 we do not feel like there's enough oil column in that
15 particular section of the structure to justify drilling a
16 well right there.

17 EXAMINER ASHLEY: Okay, I have nothing further.
18 Thank you.

19 MR. CARR: May it please the Examiner, that
20 concludes our presentation in this case.

21 EXAMINER ASHLEY: There being nothing further in
22 this case, Case 12,387 will be taken under advisement.

23 (Thereupon, these proceedings were concluded at
24 11:40 a.m.)

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 12387,
* * heard by me on 4-20 192000.

