

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)
)
 APPLICATION OF CONOCO, INC., TO AMEND)
 DIVISION ORDER NO. R-11,139, RIO ARRIBA)
 COUNTY, NEW MEXICO)

CASE NO. 12,556

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

December 7th, 2000

Santa Fe, New Mexico

OIL CONSERVATION DIV
 00 DEC 21 PM 10:21

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, December 7th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

December 7th, 2000
 Examiner Hearing
 CASE NO. 12,556

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>JENNIFER BARBER</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Catanach	10
<u>MARC SHANNON</u> (Engineer)	
Direct Examination by Mr. Kellahin	12
Examination by Examiner Catanach	29
Examination by Mr. Chavez	39
Further Examination by Mr. Kellahin	55
<u>TERRY J. GLASER</u> (Geologist)	
Direct Examination by Mr. Kellahin	57
Examination by Mr. Chavez	69
Examination by Examiner Catanach	70
<u>TRENT BONEAU</u> (Engineer)	
Direct Examination by Mr. Kellahin	72
Examination by Mr. Chavez	90
Further Examination by Mr. Kellahin	102
Examination by Examiner Catanach	103
Further Examination by Mr. Chavez	107
SWORN STATEMENT:	
<u>RICHARD K. DEMBOWSKI</u> (Petroleum Management Team Leader, Bureau of Land Management, Farmington, New Mexico)	
	114
REPORTER'S CERTIFICATE	118

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	10
Exhibit 2	9	10
Exhibit 3	12	29
Exhibit 4	13	29
Exhibit 5	14	29
Exhibit 6	15	29
Exhibit 7	16	29
Exhibit 8	17	29
Exhibit 9	18	29
Exhibit 10	19	29
Exhibit 11	20	29
Exhibit 12	21	29
Exhibit 13	24	29
Exhibit 14	22	29
Exhibit 15	58	69
Exhibit 16	59	69
Exhibit 17	62	69
Exhibit 18	62	69
Exhibit 19	64	69
Exhibit 20	66	69
Exhibit 21	66	69
Exhibit 22	69	69
Exhibit 23	74	90
Exhibit 24	77	90
Exhibit 25	78	90
Exhibit 26	78	90
Exhibit 27	80	90
Exhibit 28	83	90
Exhibit 29	85	90
Exhibit 30	87	90
Exhibit 31	88	90

* * *

A P P E A R A N C E S

FOR THE DIVISION:

LYN S. HEBERT
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT and
BURLINGTON RESOURCES OIL AND GAS COMPANY:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

ALSO PRESENT:

FRANK CHAVEZ
District Supervisor
Aztec District Office (District 3)
NMOCD

RICHARD K. DEMBOWSKI
Petroleum Management Team Leader
Farmington Field Office
Bureau of Land Management
Farmington, New Mexico

* * *

1 WHEREUPON, the following proceedings were had at
2 12:35 p.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order, and at this time I'll call Case 12,556, which is the
5 Application of Conoco, Inc., to amend Division Order Number
6 R-11,139, Rio Arriba County, New Mexico.

7 Call for appearances in this case.

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 on behalf of the Applicant. I have four witnesses to be
11 sworn.

12 EXAMINER CATANACH: Call for additional
13 appearances.

14 MR. KELLAHIN: In addition, Mr. Examiner, I'm
15 appearing on behalf of Burlington Natural Resources Oil and
16 Gas Company. They support the approval of Conoco's
17 Application.

18 EXAMINER CATANACH: Can I get the witnesses to
19 please stand to be sworn in?

20 (Thereupon, the witnesses were sworn.)

21 MR. KELLAHIN: Mr. Examiner, the record should
22 also reflect that the Bureau of Land Management desires to
23 make a formal appearance in this case. They have sent an
24 expert petroleum engineer to testify in this case. He is
25 the Petroleum Management Team leader; it's Mr. Richard K.

1 Dembowski. He spells his last name D-e-m-b-o-w-s-k-i.
2 And he would like to make a sworn statement at the
3 conclusion of Conoco's presentation.

4 EXAMINER CATANACH: Okay.,

5 MR. KELLAHIN: With your permission, Mr.
6 Examiner, let me explain why we're back before you.

7 On February of 1999, you issued Order R-11,139.
8 It approved Conoco's Basin-Dakota pilot infill project in
9 the San Juan 28-and-7 Unit. That order was limited to six
10 infill wells.

11 We're now back before you to report the status of
12 the pilot project, to seek your approval to expand the
13 pilot to include the entire unit, to have you specifically
14 authorize nine additional infill pilot wells, eight of
15 which are at unorthodox locations, and to establish an
16 administrative process so that we could potentially expand
17 the pilot within this unit to include future additional
18 wells if deemed necessary by Conoco.

19 And the presentation will be made in three parts.
20 We have a land presentation, a geologic presentation, and
21 then an update on the status of the engineering work, which
22 includes a witness on reservoir simulation.

23 And with your permission, we'll call our first
24 witness. Mrs. Jennifer Barber is the land expert for
25 Conoco, and she'll be the first witness.

1 year, Mrs. Barber?

2 A. 1982.

3 Q. As part of your responsibilities as a landman for
4 Conoco, are you familiar with the ownership and
5 configurations of the San Juan 28-and-7 Unit?

6 A. Yes, I am.

7 MR. KELLAHIN: We tender Mrs. Barber as an expert
8 petroleum landman.

9 EXAMINER CATANACH: She is so qualified.

10 Q. (By Mr. Kellahin) Let me have you turn to what
11 is marked as Exhibit 1 and have you identify what we're
12 looking at.

13 A. This is a map of the 28-7 Unit showing all the
14 currently existing wells. In addition, the wellspots in
15 solid black are the Dakota wells that were drilled in our
16 initial pilot, the wells in bright yellow are the nine
17 wells that are being proposed in this pilot project. The
18 yellow border along the interior of the unit is a one-half-
19 mile buffer, showing that all nine wells are well within
20 that boundary.

21 Q. The outside edge of the yellow buffer area is
22 contiguous with the outside boundary of this unit; is that
23 not true?

24 A. Yes, that's true.

25 Q. Within the unit, has there been established a

1 Dakota participating area?

2 A. Yes, there is, there's a Dakota participating
3 area which encompasses the entire unit, with the exception
4 of a 320-acre drillblock in Section 21 of 27-7 and in the
5 southwest quarter of Section 18 of 27-7.

6 Q. The drillblocks within the unit that are not part
7 of the Dakota participating area are substantially removed
8 from the additional nine pilot wells?

9 A. Yes, they are.

10 Q. All right. Were you responsible for providing
11 notification of this Application to interest owners?

12 A. Yes, I was.

13 Q. And how did you go about doing that?

14 A. We mailed a copy of the Application to the 20
15 other working interest owners in the unit by certified
16 mail.

17 Q. Did you receive any objection from other working
18 interest owners within the Dakota portion of the unit?

19 A. No, we did not.

20 Q. Identify for us Exhibit Number 2. Is this your
21 certificate? Oh, I'm sorry, you have a different set here.
22 Would you identify Exhibit Number 2 for us?

23 A. It's a certificate of mailing of notices to the
24 working interest owners in the unit.

25 Q. And attached to the certificate, then, is the

1 notice letter and then copies of the return receipt cards
2 for those individuals or companies for which notice was
3 sent?

4 A. That's correct.

5 Q. And in the absence of a green card, there are
6 copies of the two notification receipts that they were, in
7 fact, sent to those individuals?

8 A. That's correct.

9 MR. KELLAHIN: All right. That concludes my
10 examination of this witness, Mr. Examiner.

11 We move the introduction of Exhibits 1 and 2.

12 EXAMINER CATANACH: Exhibits 1 and 2 will be
13 admitted as evidence.

14 EXAMINATION

15 BY EXAMINER CATANACH:

16 Q. Let's see, Ms. Barber, these are the 20 working
17 interest owners in the unit; is that correct?

18 A. Yes, sir.

19 Q. I don't recall from the last case, but are these
20 the same owners that were notified in the first case? Do
21 you know?

22 A. Yes, they are, with the exception of Unocal, who
23 sold their interest to Burlington; they're no longer in the
24 unit. But the remainder are the same.

25 Q. Okay. The first time around, we didn't, as I

1 recall, notice any royalty interest owners in the unit; is
2 that your understanding?

3 A. We did notify royalty and overriding royalty
4 owners in the last hearing.

5 Q. Okay. And do you know why that wasn't done in
6 this particular case?

7 A. Well, all of the categories of owners will share
8 equally in production.

9 Q. Okay. With the exception of the nonparticipating
10 acreage in Sections 18 and 21; is that correct?

11 A. That's correct.

12 Q. You've chosen to expand the buffer area to
13 include all of the acreage in Section 18 and all of the
14 acreage in Section 21, because of that fact?

15 A. Yes.

16 Q. And we didn't notice any offset operators because
17 of the buffer zone that we put in place; it doesn't really
18 have any effect on the offset operators; is that correct?

19 A. That's correct.

20 EXAMINER CATANACH: Okay, I think that's all I
21 have of the witness, Mr. Kellahin.

22 MR. KELLAHIN: All right, thank you.

23 Mr. Examiner, our next witness is Mr. Marc
24 Shannon. Mr. Shannon is a petroleum engineer. He provided
25 the engineering testimony at the first hearing in February

1 of 1999.

2 MARC SHANNON,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Mr. Shannon, for the record, sir, would you
8 please state your name and occupation?

9 A. My name is Marc Shannon. I'm a staff engineer
10 with Conoco in Houston, Texas.

11 Q. Mr. Shannon, you testified as an expert petroleum
12 engineer before the Division at the original hearing of
13 this case, did you not?

14 A. I did.

15 Q. And you continue to work for Conoco in the
16 capacity of a petroleum engineer responsible, along with
17 others, for this pilot project?

18 A. That is correct.

19 MR. KELLAHIN: We tender Mr. Shannon as an expert
20 engineer.

21 EXAMINER CATANACH: Mr. Shannon is so qualified.

22 Q. (By Mr. Kellahin) Mr. Shannon, let's take a
23 moment and have you turn to Exhibit Number 3. Let's use
24 this as our locator map and have you identify for us.

25 A. Yes, sir. Exhibit 3 is actually extracted from

1 the Exhibit 1. It's essentially the same map, but it
2 covers the area where the proposed pilot expansion wells
3 are, so we're looking at essentially the same map, just on
4 an expanded basis.

5 I draw your attention, Mr. Examiner, to the
6 southeast quarter of 34. That's the 225E well, which was
7 one of the six pilot wells, and we'll be referring to that
8 in a minute. But it's essentially the same map.

9 Q. Let's use Exhibit 3 as a map to keep us oriented
10 as to the various portions of your testimony, Mr. Shannon,
11 but let's go back and refresh Mr. Catanach's recollection
12 of the original objectives that you presented to him back
13 in 1999 for the pilot project.

14 A. Yes, sir.

15 Q. Now, you've done this in the way of a summary
16 fashion, have you not, so that each of these conclusions
17 you're about to express are in the form of an exhibit and a
18 display?

19 A. That is correct.

20 Q. Let's do that by turning to Exhibit 4 and talking
21 about the original objectives of the pilot.

22 A. Okay, Exhibit 4 summarizes what Conoco's original
23 objectives were with the six-well pilot that it was granted
24 under OCD Order R-11,139. In that situation we had
25 essentially three main objectives.

1 One was to determine the proper well density, of
2 course, in the San Juan 28-7 Unit for the Basin-Dakota Gas
3 Pool.

4 Secondly, calibrate and refine the initial
5 reservoir simulation that we had at the time, which was a
6 bit simplistic because it was based on the data, of course,
7 that we had at the time.

8 And then third and finally was to share those
9 results with the other interested parties, being mainly the
10 working interest owners in 28-7, one of whom is Burlington,
11 and obviously they've had a lot of interest in our work
12 here.

13 Q. All right, those are the original objectives.
14 Mr. Catanach issues and approves the order of the original
15 pilot, Conoco goes out and drills the six pilot wells.
16 What were the results?

17 A. Okay, the results will be summarized in the next
18 six or seven exhibits, starting with Exhibit 5, which
19 summarizes what Conoco experienced with that first Dakota
20 pilot, namely six wells were drilled, logged and tested,
21 beginning late 1999, and we concluded that work earlier
22 this year.

23 We did acquire pressure data from each of the
24 wells by zone, which was a little more work than what we
25 had originally, I guess, discussed before this court last

1 year.

2 We did take production tests in each of the
3 wells, put each well on production, and we did find some
4 reservoir heterogeneity, and we did feel that there was
5 some additional technical work warranted, just based on
6 those results.

7 So in summary, the data that was taken was very
8 useful, and we have utilized that data in our modeling.
9 And at this juncture I guess Conoco is very pleased with
10 the pilot results, and we're ready to move forward with it.

11 Q. Let's talk about the type of data that was
12 acquired. Let's go to the topic of the log and the coring
13 data that was derived from the original six wells, if
14 you'll turn to Exhibit 6.

15 A. Okay, Exhibit 6 summarizes our log and core
16 program. We did log the 225E, which I mentioned earlier.
17 That core was taken through the Twowells, the upper Cubero
18 and just the very upper portion of the lower Cubero. It
19 was our intent to get more core than that, but due to
20 problems with the lower Cubero's splintering off, we
21 weren't able to get any core, very little core, in the
22 lower Cubero.

23 We also took approximately a dozen sidewall cores
24 in the 234M in all three of the major horizons. We ran a
25 full suite of open-hole logs in each of the six wells,

1 including a dual induction and a set of porosity logs.
2 Then finally, we did run three additional special type
3 logs. One in particular was in the 225E where we ran a
4 spinner survey.

5 Q. Turn to Exhibit 7, Mr. Shannon. Summarize for us
6 the Conoco core results.

7 A. Certainly. Exhibit 7, we're talking about the
8 core results in that 225E well. One feature that saw was,
9 of course, the natural fracturing that we saw primarily in
10 the lower Cubero. The permeability, geometric mean, was
11 approximately .007 millidarcies.

12 Porosities did vary fairly widely, 4 to 10
13 percent. In the upper Cubero and the Twowells it was
14 closer to the 8- to 10-percent range. In the lower Cubero
15 it was more in the 4-percent range. So we did have some
16 range in porosity.

17 Water saturations also varied somewhat, from 35
18 to 50 percent, but again in our main pay sands was more in
19 the 35-percent range.

20 Overall, describe the core showing a fairly low-
21 permeability set of sands, with some heterogeneity and some
22 recognizable amount of fracturing, but not a significant
23 amount of fracturing.

24 Q. Let's set aside the core results now and turn to
25 Exhibit 8 and have you summarize for us the results

1 obtained from the pressure test.

2 A. Right, Exhibit 8 summarizes the pressure test,
3 and this is probably some of the most descriptive data that
4 we acquired. What we saw there was in the Twowells an
5 average of approximately 2500 p.s.i. Given that the
6 original pressure was in the 3100- to 3200-p.s.i. range,
7 obviously we're seeing some, albeit modest, amount of
8 depletion in the Twowells.

9 Upper Cubero, same situation, not quite as much
10 depletion, with an average of about 2700 p.s.i.

11 The lower Cubero saw very little depletion, and
12 that was closer to 2900 p.s.i. on average, so we only saw a
13 couple hundred, 300 pounds depletion in that lower Cubero.

14 All the pressures were taken from bottomhole
15 pressure bombs, and we ran multiple gauges in each one of
16 these wells. So we have what we believe to be fairly
17 accurate pressure data. So we're very pleased with the
18 pressure data that we were able to acquire on all six
19 wells.

20 Q. The Dakota Pool within the unit is subdivided, in
21 this portion of the pool, into these three layers?

22 A. That's correct.

23 Q. We've got the Twowells, the upper Cubero and the
24 lower Cubero. And as a result of the pressure now, you
25 have isolated the pressure differentials per layer?

1 A. That is also correct.

2 Q. And you have that data now?

3 A. We have that data.

4 Q. Okay. Let's see the results of production from
5 the six wells, if you'll turn to Exhibit 9.

6 A. Yes, Exhibit 9 summarizes the production results,
7 which I personally found to be very encouraging that we
8 were able to see these kinds of rates.

9 The 30-day average IP was approximately 1100 MCF
10 per day. That would be the average for the 30-day period
11 for the six wells.

12 In the 60- and 90-day averages, we were seven
13 hundred and forty-some MCF per days; and 90 days, 665 MCF
14 per day.

15 I might add that in the 60- and 90- day tests we
16 only had five wells on production in the Dakota at that
17 time. One well only went for 45 days due to a mechanical
18 problem, so we had to take the well off test. But in all
19 cases we saw very similar decline rates. Obviously, they
20 were all hyperbolic declines -- we'll see that in the next
21 exhibit -- and we did not see any boundaries or unusual
22 flow behavior in any of the six wells.

23 Q. Do you have a display that plots the production
24 over time for each of the wells in the initial pilot phase?

25 A. Yes, sir.

1 Q. Let's turn to that. Exhibit 10?

2 A. Exhibit 10, yes, sir. Exhibit 10, I apologize
3 for the appearance; it's a busy slide, but it does show
4 graphically what I just described in Exhibit 9.

5 The longest test that we had was the 225E well,
6 which was the well that we cored, and it went approximately
7 230-some days. The shortest test, as I mentioned earlier,
8 was the 219M, which was a fairly abbreviated test due to
9 some mechanical problems.

10 The reason for showing this is to simply
11 illustrate the hyperbolic nature of the wells and the
12 consistency that we saw. Most of the wells leveled out at
13 approximately 500 MCF per day.

14 A couple other quick things about this. One, I
15 found that production -- I think we all felt that it was
16 pretty encouraging what we did see. And you do see a few
17 little bobbles in each one of these wells, and those are
18 just pipeline and system upsets, pressure bobbles. So
19 that's not really the reservoir; it's something that
20 happened on the surface.

21 Q. If you go back to Exhibit 1 with me for a moment,
22 which is the plat that locates the original six pilot
23 wells, they're the ones shown on this display with the
24 black circle, right?

25 A. That is correct.

1 Q. And they're generally scattered through the upper
2 two-thirds portion of the 28-and-7 Unit?

3 A. That is correct.

4 Q. The density pattern established for the original
5 pilot wells provided an opportunity to test on the concept
6 of one additional well, if you will, to a 320-acre spacing
7 unit that contained two.

8 A. That is correct.

9 Q. So we're adding a third well. And under that
10 analysis, what conclusions have you reached as a result of
11 having done the work up to now?

12 A. Okay, if we can move to the next exhibit -- it
13 would be Exhibit 11 -- we'll go ahead and address the
14 conclusions from that work.

15 Number one, as I mentioned earlier, obviously, we
16 took pressure data in each of the six wells and by layer,
17 the data which did not exist anywhere, at least in our
18 unit, and I'm not really certain that there would be data
19 like that anywhere in the Basin.

20 Secondly, we did see some differential depletion,
21 albeit fairly modest, in the Twowells and the upper Cubero,
22 and very little in the lower Cubero.

23 Production results were generally encouraging.
24 We did have some good core data that we've been able to
25 utilizes. And then finally, the acquired data was utilized

1 and did fill in some gaps in our understanding in the
2 Dakota.

3 Bottom line is this: We got the data that we had
4 gone after. The data was used to further our understanding
5 and, as I mentioned, filled in some of the gaps in our
6 knowledge. And based on the production rates we saw, we're
7 very encouraged by that and feel that the Dakota is viable.

8 Q. Was not the original hypothesis in February of
9 1999 the opportunity to test whether or not additional
10 wells could be drilled, completed and produced successfully
11 in the Basin-Dakota Pool, at least within the unit?

12 A. That's correct.

13 Q. As a result of that test, you have concluded that
14 at least one additional well is appropriate?

15 A. That is correct.

16 Q. Where do we go from here?

17 A. Okay, next step. We can move to Exhibit 12.

18 With our new learning and what we believe to be the
19 situation with the Dakota, we would like to take it to what
20 I consider to be at least the next most logical step, and
21 that would be to look at 80-acre infill wells again, but on
22 a much tighter, more concentrated area than what we did the
23 first go-around.

24 And if we refer back to the Exhibit 1, we can see
25 how those wells are arranged in a sort of a rectangular

1 grid, but in a much smaller area. And what we would like
2 to do next is to continue the pilot testing of 80-acre
3 infill wells, but just on a much smaller basis, much
4 smaller area than what we did the first time.

5 So in Exhibit 12, as far as the objectives there,
6 one, acquire additional data to further calibrate the
7 model. And Mr. Boneau will be discussing the model here
8 momentarily.

9 Secondly, test the economic viability once again,
10 but under a new scenario where wells will be located in the
11 more confined space.

12 And then finally, continue the ongoing dialogue
13 that we have with Burlington and our other working interest
14 owners and industry as far as the Dakota testing is
15 concerned.

16 The data requirements are almost exactly the
17 same. We need bottomhole pressure data, and we need flow
18 rates from the Dakota.

19 Q. Describe for me, Mr. Shannon, why you selected an
20 area around the original pilot well 225 -- Yes, it's the
21 225E in Section 34. Why was that selected of the original
22 pilot wells to then take to the next expansion stage?

23 A. There's actually several reasons. If we look at
24 Exhibit 14 just for a second, that gets to this 225E,
25 number one, that particular area is a moderate gas-in-place

1 area. In other words, we have some areas where we have
2 more gas in place, other areas where it's a little less.
3 But in this particular area we will see all three of the
4 main Dakota sands, and the gas in place was moderate or
5 average for the area.

6 Secondly, the 225E, as I mentioned earlier, was a
7 well that we cored. We had an extensive amount of logs, so
8 it just made sense to us to go to an area where we already
9 had some data that we could tie back to with the additional
10 wells.

11 Also, it's an area where we'll be able to access
12 the Mesaverde once we've concluded the Dakota tests. It's
13 an area where we were able to access most of the locations
14 with existing road, and that was important.

15 And then finally, as Ms. Barber attested to a
16 moment ago, the Mesaverde and Dakota PAs cover this area.
17 So when we do go to the Mesaverde, it will also be in the
18 Mesaverde participating area.

19 So we had several reasons for selecting this
20 area.

21 I might add, we did look at other areas. We
22 looked at offsetting each of these pilot wells, and this
23 particular area around 225E seemed to meet all of the
24 criteria that we had.

25 Q. If the Examiner approves the further expansion,

1 by what method, then, are you going to test the opportunity
2 to prove your hypothesis about the necessity for further
3 well density?

4 A. Okay, if we could look at Exhibit 13, which
5 outlines the methodology that we propose to use, and that
6 would be, of course, to drill the nine wells in a very
7 similar fashion to the first six that we drilled. We would
8 log the Dakota interval in each well so we'll have
9 something to tie back to the 225E. Obviously we need to
10 take additional bottomhole pressure data. We need to know
11 what the pressure is of the less permeable sand within the
12 Dakota, and that can only be gained by bottomhole pressure
13 testing. And then stimulate the Dakota and produce the
14 Dakota as a single completion.

15 I might add also, the bottomhole pressure testing
16 would be done prior to fracturing each well, and that's
17 exactly what we did the last time. Then once the testing
18 is concluded, we would propose that we come up, complete in
19 the Mesaverde and downhole commingle the two zones, which
20 again is what we've done. All six of the previous wells
21 are producing from the Dakota and the Mesaverde now.

22 Q. Let me address with you, Mr. Shannon, the
23 specific unorthodox well locations.

24 A. Okay.

25 Q. We have nine additional wells being requested

1 this time. Eight of them are at unorthodox well locations.

2 A. That is correct.

3 Q. Have you reviewed the Division published docket
4 for the hearing of this case?

5 A. Yes, I have.

6 Q. Are all the footages properly described for each
7 of those wells?

8 A. They are properly described.

9 Q. Of the eight unorthodox well locations, one of
10 those wells is to be directionally drilled, is it not?

11 A. That is also correct.

12 Q. Let's find on Exhibit Number 3, the plat, which
13 well that is, and let's discuss it for a moment.

14 A. Okay, if we could look at Exhibit 3, in the
15 southeast quarter of Section 27 you'll see a Number 190F
16 [sic]. That location could not be reached as a vertical
17 well, we could not reach it due to topographic
18 considerations. It lies under a mesa, or the side of a
19 mesa, and we could not physically reach it from any
20 existing roads.

21 So of the nine locations, eight will be vertical
22 wells, and then this 190F location will have to be drilled
23 as a directional well.

24 Q. What is the reason Conoco is choosing to engage
25 in the additional time, effort and expense of directionally

1 drilling a Dakota well for this phase of the pilot project?

2 A. The reason for that is -- perhaps if we look
3 again at Exhibit 3 -- these wells generally form a
4 rectangular grid or a pattern. The 190F completes that
5 pattern, along with all the existing Dakota completions.
6 So we felt that 190F -- it's part of the pattern; it was
7 just unfortunate that it physically could not be reached as
8 a vertical well.

9 Q. So in order to have an appropriate data point for
10 purposes of the science project, it was useful for Conoco
11 to decide to spend the extra money to try to position this
12 in the reservoir at a data point that was appropriate?

13 A. Yes, sir, that's correct.

14 Q. Have all the rest of these unorthodox locations
15 been placed because they are appropriate for gathering data
16 in the reservoir at that position?

17 A. They are.

18 Q. Are any of these positions achievable under the
19 current well-location patterns of the existing rules?

20 A. They are not. We looked at this very closely,
21 and given the locations, the parent wells and then the
22 first infill wells, it was just simply not possible to
23 locate them any other way.

24 And then too, given the fact that we do have
25 mesas and different types of topographic considerations, we

1 just could not put them anywhere else.

2 Q. Do the current requested locations for each of
3 these wells already satisfy the approval conditions of the
4 Bureau of Land Management or anyone else that needs to
5 approve the surface use for these wells?

6 A. Yes, we met -- In fact, our right-of-way-claims
7 staff met with the BLM and reviewed each one of these
8 locations on site, each location. So the BLM has been very
9 much involved as far as knowing where the locations were
10 and signing off at that appropriate time, but they very
11 much are informed as to what we have here.

12 Q. Have you made a technical presentation to
13 representatives of the Bureau of Land Management concerning
14 this expansion of the pilot project?

15 A. Yes, sir, we have.

16 Q. In addition, have you made a presentation to Mr.
17 Frank Chavez of the Aztec office of the Oil Conservation
18 Division?

19 A. Yes, sir, we have.

20 Q. Have you met with other operators and/or working
21 interest owners that are interested in this pilot project?

22 A. Yes, we have. Burlington Resources, in
23 particular, has been very much informed, and vice-versa,
24 when they had their hearings here several weeks ago. And
25 being a large working interest owner in the unit,

1 obviously, they have a lot of interest in our pilot
2 expansion.

3 So we have met with them, and I have personally
4 visited with them on the telephone on a number of
5 occasions.

6 Q. Mr. Shannon, are you confident enough now about
7 the appropriateness of this pilot project to ask the
8 Division to expand its approval of the pilot to the entire
9 San Juan 28-and-7 Unit, with the exception, obviously, of
10 the buffer area that's not to be encroached upon?

11 A. Yes, sir, I am.

12 Q. Do you have a request that the Division establish
13 an administrative process so that you can obtain approval
14 for additional pilot wells on the basis of your opinion
15 that those are necessary and appropriate to further study
16 and expand the pilot project?

17 A. Yes, sir, I do.

18 Q. Do you have a recommendation that such a request
19 be processed administratively without requiring the
20 necessity of an administrative hearing?

21 A. Yes, sir.

22 Q. Okay. Summarize for us, if you will at this
23 point, Mr. Shannon, what do you see the importance for the
24 approval of the expansion of the pilot?

25 A. Yes, sir. What we are proposing here today, why

1 we're here today, is to discuss the results of the first
2 six wells, but to take it to the next step, and that being
3 to test 80-acre infill drilling in the Basin-Dakota Pool
4 under a different scenario whereby the wells to be drilled,
5 in addition to the wells that are already existing in these
6 four or five sections, will provide us with the data that
7 we need to further refine our model, giving us more
8 confidence than we already have.

9 We're very pleased with the data that we've
10 already acquired, but there's still more data that I think
11 needs to be acquired, but under this scenario here that
12 we've been discussing, and I think that will make the
13 picture a little more complete than it is now.

14 MR. KELLAHIN: That concludes my examination of
15 Mr. Shannon. We move the introduction of his Exhibits 3
16 through 14.

17 EXAMINER CATANACH: Exhibits 3 through 14 will be
18 admitted as evidence.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Shannon, in addition to the nine wells that
22 you're proposing today, how many more wells do you think
23 are going to be drilled in this unit?

24 A. In an 80-acre fashion?

25 Q. Yes, sir.

1 A. I do not at this point anticipate any additional
2 wells. But that said, I don't want to rule out that we
3 would never drill any additional 80-acre wells as pilot
4 wells, and that's one of the reasons why we are asking for
5 what we are today.

6 But the way we are currently looking at this, Mr.
7 Examiner, and with the model that we've built, these nine
8 wells should fit the technical needs that we have at the
9 moment.

10 Q. So you don't anticipate drilling any additional
11 wells besides these?

12 A. Not at this time I don't, no, sir.

13 Q. Well, I guess I don't understand why you want to
14 expand and allow for an administrative process to drill
15 additional wells.

16 A. Well, for a couple of reasons. One is, as we
17 drill wells and we test them, invariably we get surprises.
18 The reservoir is not nearly as homogeneous, I know, as what
19 I thought originally. And so as we drilled the first six
20 wells and acquired the data that we did, it filled in some
21 voids in our technical knowledge. But it also opened up a
22 few surprises too.

23 And so the natural evolution of the pilot program
24 is such that you're acquiring data that does fill in the
25 gaps, but it's also raising new questions and new issues,

1 and that's where we're at today.

2 The first six wells did very definitely address
3 some of those early issues, answered some question, but it
4 raised other questions. And so that's why we're asking for
5 the nine additional wells.

6 Now, when we drill and complete those wells and
7 test them, there may well be some additional surprises,
8 given that the reservoirs are somewhat heterogeneous and
9 there are some issues there that you uncover every time you
10 drill and test a well.

11 But I'm not prepared to give you a hard and fast
12 number of wells beyond these nine. This is the limit to
13 what I know and what I feel like we're prepared to ask for.

14 Q. I guess one of the purposes of the project is to
15 gather Dakota data which maybe can be used on a much larger
16 scale across the San Juan Basin to maybe expand at a later
17 time the Dakota to 80-acre within the whole Basin. Do you
18 anticipate after these nine wells are drilled that you'll
19 have that information that you need, or to go that way?

20 A. I do. And in fact, I think that's a very
21 important point to be made here, and that is, while we just
22 operate this one federal unit and this is the only pilot
23 that we have at this time, Burlington is a partner in our
24 unit, and we are also partners in a good many of their
25 federal units. And there's quite a bit of interest here in

1 the Dakota development on 80-acre spacing.

2 So if you will, this will be a data point not
3 only for Conoco but for industry in general, and certainly
4 for Burlington. And I fully anticipate that they'll use
5 this data. They have all the data that we do.

6 And so looking at it on a little more global
7 basis, it's an additional data point that we can all use.

8 Q. I believe you testified that you were sharing
9 some of this data with the various working interest owners
10 in this unit?

11 A. Yes, sir, I have already.

12 Q. Okay. Is there anybody else outside the unit
13 area that has requested any information or that you're
14 sharing information with?

15 A. There is one party, BP Amoco, who operates a
16 number of the wells, leases, to the west of our unit and to
17 the north, and they very much have an interest in what
18 we're doing. And being a large Dakota player themselves,
19 they've expressed a lot of interest in what will happen
20 here and the data that we've acquired. So BP Amoco is
21 definitely interested.

22 Q. So have you shared some of the data with BP
23 Amoco?

24 A. Yes, sir, we have.

25 Q. And I assume that Conoco is willing to share this

1 information with other operators that may request it?

2 A. Yes, sir.

3 Q. And when you say production performance was
4 favorable, I assume that that means that you can
5 economically go forth and drill these wells, that you feel
6 you can at this point?

7 A. We feel that we can at this point, yes, sir.

8 Q. And you state that, overall low reservoir quality
9 present. Is that pretty much the same, Mr. Shannon, in
10 each of the intervals, or does it vary?

11 A. It definitely varies. The lower Cubero is
12 extremely tight. There is definitely a gradation in
13 permeability and porosity among each of these sand units,
14 and we saw in the lower Cubero lower permeability. That's
15 the bad news.

16 The good news was, in the lower Cubero, that's
17 where we saw some of the fracturing. But there very
18 definitely is a gradation of properties from zone to zone.
19 That said, none of the three would strike you, looking at
20 the core, as being extremely good reservoir quality rock,
21 compared to reservoirs that we produce elsewhere in the
22 world. In all three cases the sands were very tight. Of
23 course, we knew that going in, this just further proved
24 that.

25 Q. Okay, which is evidenced, I guess, from the

1 pressure that you got, the average of 2900 pounds in the
2 lower Cubero would indicate it's more tight than the other
3 ones?

4 A. Absolutely. However, we did see a little
5 depletion in the lower Cubero, so we know we are producing
6 some gas from the lower Cubero. But there were a couple of
7 wells, even in the lower Cubero, where we saw 3200-some
8 pounds, and that is virgin pressure. So obviously in those
9 wells there was no depletion at all.

10 Q. Is it the Paguate? Is that present in this unit?

11 A. Yes, sir, the upper Cubero and the Paguate are
12 synonymous.

13 Q. So that's grouped into the upper Cubero?

14 A. Yes, sir. Mr. Glaser will be up, I believe,
15 next, so he can address a little bit of the nomenclature on
16 his hands, but the upper Cubero is the Paguate.

17 Q. Okay. Now, this is the range of pressure that
18 you've seen in these wells, 2400 to 3200?

19 A. Yes, sir, those were the highs and the lows of
20 each one. And then the averages that I quoted are simply
21 the arithmetic averages.

22 What I was attempting to do with this particular
23 exhibit was just to give you a sense of the amount of
24 depletion that we saw in each zone. Some wells we saw
25 more, some less, but these are definitely the upper and

1 lower ranges for each one.

2 Q. Say, for instance, in the lower Cubero where you
3 have a pressure of 2400 p.s.i., can you attribute that to
4 -- was that in an area that showed more permeability or
5 more fracturing?

6 A. It would have to be. I don't know any other
7 reason why that might be the case. Now, there is
8 variations in the thicknesses of the sand, so in some cases
9 you've got just more sand contributing to the production,
10 so some of it could be due to that. But it was the lower
11 Cubero where we saw some of the fracturing as well, and
12 that could account for some of it.

13 Q. The --

14 A. Some of --

15 Q. I'm sorry, go ahead.

16 A. I started to say, just some of the depletion that
17 we saw, the lower ends of the lower Cubero, could be due to
18 that.

19 Q. Did that reflect in your production rates, say,
20 the lower-pressured intervals? Were the wells less
21 productive?

22 A. I don't recall. I don't recall which well
23 specifically had the 2400 p.s.i.

24 Q. Did you test these zones separately?

25 A. No, we didn't, and that's a point maybe to tie

1 back to your last question. The wells when we tested them,
2 you know, production tested, all three zones were open at
3 that point. So we did not know how much production was
4 coming from, say, the Twowells versus the upper Cubero
5 versus the lower Cubero.

6 One well, we did run a spinner survey, and that
7 being the 225E which I mentioned earlier. But other than
8 that one data point, I could not tell you what percentage
9 was coming from each one of the three zones.

10 Q. Okay. You don't have a range of production on
11 these wells like you did on the pressure. Are you
12 generally seeing production numbers that are in that short,
13 close range?

14 A. Fairly close range. If you look at Exhibit 10
15 again, most of the wells with that one exception, seem to
16 level out around 500 MCF per day. We did have a fairly
17 wide range of initial potential rates in this first few
18 days. We had one well there, or two wells, actually, that
19 tested over 2 million a day in the very earliest periods
20 that we had the wells on test.

21 One well, the 219M, was quite a bit less. The
22 logs from that well indicated less sand, so there's a
23 direct tie there between sand thickness and the rate. But
24 they did seem to cluster around that 500-MCF-a-day rate.

25 Q. And they've pretty much stabilized at that rate?

1 A. Yes, sir.

2 Q. And these wells are currently downhole
3 commingled?

4 A. Each of the six wells is downhole commingled with
5 the Mesaverde.

6 Q. Once you downhole commingle them, can you still
7 obtain production data from these wells that you think is
8 accurate?

9 A. No, because the way our wells are completed, the
10 tubing is run down through the Dakota. And in order for us
11 to do what you suggested, we would have to have the tubing
12 landed above the Dakota so that we can run a spinner survey
13 or something to go back and actually allocate or see what
14 the production was from each zone.

15 I'm not saying that would be physically
16 impossible. That is possible. But the way we complete our
17 wells, the bottom of the tubing is too deep in the Dakota
18 to do that.

19 Q. So do you think, from these six wells, anyway,
20 that you've already gathered the data that you need in
21 terms of pressure and initial production and things like
22 that?

23 A. In those areas and under that scenario, yes.
24 Given the scenario and the technical needs at the time,
25 yes.

1 Q. In the nine wells that you propose to drill,
2 those will be commingled in the same manner?

3 A. In the exact same manner.

4 Q. Okay. How long a period before the well is
5 commingled, after it's drilled?

6 A. Well, in this case, obviously we went all the way
7 out to 200-some days. I again would like to see us test at
8 least 30 days, and preferably longer than that. I felt
9 that obviously if there were any abnormalities, boundary
10 conditions, we would have seen it fairly early on.

11 But again, the rock being as tight as it is, we
12 would have to put them on test for months if not years
13 before you would reach where they're declining at an
14 exponential rate, and we're not prepared to do that. But
15 if we could at least test them again for 30 to 60-some days
16 as a minimum, I would be happy with that data.

17 Q. Is that in your control?

18 A. We're a company of 15,000 employees. Yes, I can
19 recommend to our team that we test them for that length of
20 time.

21 Q. Three of these wells that you're planning to
22 drill in particular, it looks like they crowd the outer
23 boundaries of the section there. Well, two of them anyway.

24 A. Yes, sir.

25 Q. Do you know why those had to be drilled

1 specifically at those locations?

2 A. Yes, sir, I do. The situation for those two
3 really is the same situation in all the others, and that
4 is, given where the parent well was drilled and then the
5 first infill well was drilled just did not leave space to
6 locate them anywhere else. We looked at that very closely,
7 tried to locate them where they would be standard or
8 orthodox locations.

9 And also there's going to be an exhibit in Mr.
10 Glaser's presentation, you'll be able to see the
11 topographic nature. Some of these locations fell in a draw
12 or a creek, and so we had to move them to where you're
13 seeing them here. And I think when you see that
14 topographic map, that will be a little more clear to you.

15 We did go to extraordinary lengths to try to
16 locate them elsewhere, but given those conditions, we just
17 could not.

18 EXAMINER CATANACH: Okay. I have no further
19 questions.

20 Are there any other questions of this witness?

21 Mr. Chavez?

22 MR. CHAVEZ: Thank you, Mr. Examiner.

23 EXAMINATION

24 BY MR. CHAVEZ:

25 Q. Mr. Shannon, did -- What information did you miss

1 gathering, or did you miss any information from the first
2 pilot wells that you drilled, that you need to get off of
3 new wells?

4 A. Right, the data that we set out to get initially
5 a year and a half or so ago, we obtained. There's no
6 question about that. The production tests, the pressure
7 data, the core data, log data that we set out to get, we
8 obtained. So there's not any data, *per se*, that was part
9 of the original objective that could not be obtained for
10 any reason. So we did acquire the data.

11 As I explained a while ago, it's one of those
12 things, as you acquire more data and you acquire more
13 information, it seems to raise more questions. And so
14 that's kind of where we're at today. But there's no
15 missing data, *per se*, that we could not get from those six
16 wells due to mechanical reasons or anything like that, no.

17 Q. So you're not going to be drilling these new
18 wells to gain any data that was missed, is what I was
19 trying to get at?

20 A. I'm sorry, yes, that's correct.

21 Q. Did you get data that was different than what you
22 anticipated getting?

23 A. There were a few surprises.

24 Q. Like what?

25 A. Well, for one thing, I would not have predicted

1 these production rates that we obtained. Another thing is,
2 when we had our first hearing, we were prepared to go in
3 and get pressure data, but it would have been a single
4 pressure data, which is what we thought we were going to
5 get.

6 As it turned out, we actually got it zonally.
7 And so we learned a lot about what the pressures were, not
8 just a bottomhole pressure but bottomhole pressures by
9 zone, by well. So there was some additional data there
10 that I did not even anticipate getting, but we got it. And
11 so there was some knowledge gained from that.

12 Q. But was it different from what you anticipated
13 that you would get as far as those pressures?

14 A. I did not anticipate that we would see as much as
15 3100, 3200 pounds in some of the wells, I suppose. I also
16 personally did not expect that the reservoir would be, in
17 some cases, as heterogeneous as it is. So I personally had
18 a few key learnings. I don't know that I could speak for
19 my team on that, but I personally had a few learnings.

20 Q. And the flow rates, you said you didn't
21 anticipate that they would be that high or that sustained?

22 A. No, sir, I didn't. And the reason for that is
23 because, looking at the parent well and that first daughter
24 well in most of those GPUs, I would not have thought that a
25 third well would have found those kinds of rates that we

1 did.

2 So maybe that's more of a testimony for a -- the
3 completion engineers, the production engineers, who did a
4 very fine job in completing the wells.

5 Q. Well, that is my next question, is, did you
6 compare the completions that were done on these pilot wells
7 to what had been done on the original wells, to see how
8 that might have made a difference in the flow rates that
9 you achieved?

10 A. I personally did not. I do know this, the
11 production engineers spent a lot of time looking at the
12 very best possible way to frac each well, and we landed on
13 using slickwater fracs. And maybe that's the key, I don't
14 know. But I know that we did use filtered completion
15 fluids, which is something that I know we haven't done in
16 the past.

17 Q. I'm sorry, what kind?

18 A. Filtered completion fluids, and just did a
19 splendid job of perforating and fracturing each well.

20 And then, given the fact that we knew we were
21 going in and having to get pressure data, we knew we had to
22 have a very clean wellbore to start with. So maybe that
23 added to it as well. But we were -- I know I was very
24 pleased with the rates that we got, just based on what I
25 knew about the Dakota.

1 Q. Okay, would you give some type of comparison to
2 what you thought, they were twice as much as you thought or
3 50 percent more than what you thought you'd get?

4 A. At least a good 25 to 50 percent more than what I
5 thought we would have gotten.

6 Q. And if you were able to determine by studying
7 these completion techniques that that was attributable to
8 the completion, what would that do? Instead of a change in
9 the reservoir itself, how would that change what your
10 current conclusions are?

11 A. Right. For one thing, we're still developing on
12 160s in a few areas in the unit. And we are using the key
13 learnings from the completion technology and the
14 completions that we used in those first six wells, onto
15 wells that we're drilling as 160s. So there's a lot of
16 learning that takes place, and maybe this should be
17 expected, that in a pilot program you learn, but you
18 transfer that pretty quickly to your ongoing operations.

19 And I see that going on now with our current
20 completions.

21 Q. The pressure tests that you ran, you said you did
22 not determine any boundaries, so these were long-term shut-
23 in -- pressure buildup tests?

24 A. Right, they were, but I'm not sure what you're
25 calling "long-term". Actually, they were quite short in

1 nature, three days or less. And that was possible because
2 of the way the wells were configured when we completed
3 them. We used downhole shut-in devices, we used downhole
4 gauges. We also did not frac the wells prior to running
5 these pressure tests.

6 So we intentionally configured the wells and used
7 the methodology so that we could get the pressure data
8 quickly, meaning three days or less in some cases.

9 Q. So the shut-in pressures that you're reporting,
10 they're estimated or calculated from the pressure buildups
11 that you ran?

12 A. Yes, sir.

13 Q. What was the highest pressure that you -- or what
14 were the pressures that you achieved in those three days,
15 the actual pressures at the gauge?

16 A. In a couple instances, in the lower Cubero
17 especially, we saw fairly close to 3000-some pounds, as I
18 recall. Maybe Mr. Boneau might be able to speak to this,
19 because I don't recall on all the cases. But the lower
20 Cubero, being as tight as it is, we saw high pressures
21 pretty quickly on those tests.

22 I should add that we had a few problems with the
23 lower Cubero because it did communicate with the upper
24 Cubero behind pipe. It wasn't an issue with our completion
25 so much as it was, maybe, outside of the casing. But the

1 data that we had and the data that we know was good, we
2 saw, as I seem to recall, upwards of 2900, 3000-some p.s.i.
3 But I can't recall exactly in each case what it was. I can
4 get that data for you, though.

5 Q. I don't need it, I just wondered what they were
6 for this purpose here.

7 Did you ever encounter areas where you would meet
8 the boundary where another well was draining, say the
9 boundary of a drainage area for a particular well? What
10 did you encounter there?

11 A. We did not see any interference that I'm aware of
12 on any of the buildup tests. And you know, I might have
13 been surprised if we did, given how tight these reservoirs
14 are. But we didn't see any that I recall seeing.

15 We did see in a couple of cases fluid in the
16 wellbore where water had fallen back -- presumably water
17 had fallen back in the completion, inside the tubing, and
18 we did -- so we did see some of that on the buildups. But
19 I don't recall seeing interference like from an offset well
20 *per se*, no.

21 Q. In your selection, selecting these locations, I'm
22 curious about one of the issues that you called -- you said
23 where you picked an area where some data already exists,
24 which was number four in your criteria.

25 A. Uh-huh.

1 Q. If data already exists there, why wouldn't you go
2 somewhere else to get some new data to have a larger view
3 of your reservoir, of the unit?

4 A. Right, we looked at that, and in fact we looked
5 at a number of different scenarios where we would locate
6 our pilot expansion wells in and around other pilot wells,
7 as well as areas where there were no pilot wells. And the
8 225E -- and Mr. Boneau will be discussing the model here
9 momentarily, but the 225E offered us an anchor point, if
10 you will, where we could tie log data, production data back
11 to a well where we had control in the first place, being
12 that 225E. So we're building on a database that was
13 already established.

14 If we went off into a different part of the unit
15 where we had no data, that would be educational, I agree.
16 That would be good to have that information. But it
17 wouldn't be building on something that we already had in
18 place, and I think that's what I'm trying to say here with
19 the 225E.

20 By locating these wells around 225E or one of the
21 other pilot wells, but preferably the 225E, we're kind of
22 building on the knowledge that we have. And with that
23 we'll be able to better refine our model and have a lot of
24 confidence in what that model would be telling us.

25 Q. As you were gathering data, were you putting it

1 into your model?

2 A. The effort was ongoing. We had -- Mr. Boneau was
3 doing the modeling concurrent with the data collection. We
4 did not want to wait till all the data was acquired before
5 he started doing that. And he can speak to that here in a
6 bit, but that was an ongoing process.

7 Q. So as you were ongoing, adding data to your
8 model, what did it tell you to anticipate as far as your
9 pilot project was going on? Did you find that your model
10 was pretty much hitting what you anticipated?

11 A. Can I defer that to Mr. Boneau? I think he would
12 be better at answering that question than myself --

13 Q. Okay.

14 A. -- if that would be okay.

15 Q. Well, I had another question, you can tell me
16 whether I should wait for him also. As you were looking at
17 production, did you compare that to your model?

18 A. Yes, absolutely, and --

19 Q. Okay, and will he testify to that?

20 A. Yes, and I can say a little bit to that.

21 The original model was fairly simplistic, and it
22 suited our needs for the time. But with the additional
23 data and the additional information, you know, we have a
24 different -- you know, we can calibrate our model with
25 that.

1 The original model, as I understand it, predicted
2 lower rates. It had lower rates than what we actually
3 found. So perhaps Mr. Boneau can discuss that a little
4 bit.

5 Q. Okay. Now, as you build your model or calibrate
6 on the data you get in this small area, isn't it just --
7 I'm curious how that would help development, because the
8 density of your pilot project here, it seems like it fills
9 the area, you're fully developed there on 80s when you're
10 done, so what good is that model that you predicted for the
11 rest of the unit?

12 A. I think qualitatively is what we're getting at
13 here. This area that we're looking at around the 225E is
14 kind of an average area, and it's an area where all three
15 Dakota sands will be present, so it is a calibration
16 process.

17 And again, I think Mr. Boneau might be a better
18 witness than I am, as far as explaining how the model will
19 be used in other areas. But we've discussed that and feel
20 pretty confident that we'll be able to do that. But I
21 think I'd like to defer those questions to Mr. Boneau, if
22 it's okay with you.

23 Q. Okay, I'm going through your Exhibit Number 12,
24 and your second objective is to test economic viability.
25 What are the criteria that you would use for economic

1 viability?

2 A. Okay, simply stated, production rates. We
3 already have, obviously, a pretty good handle on cost, on
4 the cost side of the equation, so testing the economic
5 viability is very similar to what it was with the first six
6 wells.

7 So it's a simple economic evaluation, given the
8 rates that we're going to see with these nine wells and the
9 costs that we would anticipate drilling a Dakota single-
10 type completion. That is a test of the economic viability.

11 Q. Okay, you had mentioned, in your answer to Mr.
12 Catanach, that once the wells would be downhole commingled
13 with the Blanco-Mesaverde Pool, that you would be losing
14 accuracy of data. I forget exactly what your statement
15 was. But how can you apply that to the issue of economic
16 viability?

17 A. Right, I think the question concerned testing the
18 production from each of the three zones, is what I heard
19 Mr. Catanach ask. And my response to that is, the way we
20 complete our wells, that wouldn't really be possible,
21 because the bottom of the tubing is set too deep in the
22 Dakota to enable us to do that.

23 Now, as far as the economic viability, we're
24 looking at these -- in this instance, stand-alone Dakota
25 completions. What would it cost to drill and complete a

1 Dakota well, and what kind of production rates can we
2 expect from the Dakota? And that's what I'm talking about
3 here with the economic viability.

4 In real-world sense, what we actually do is, we
5 add the Mesaverde to the Dakota. That's the way we've
6 completed our wells for the last two or three years, and
7 that's what we're proposing to do with these nine wells.

8 So I can see there's a little disconnect there
9 with that, but that is our thinking, at least.

10 Q. In looking at your Exhibit Number 1, I looked at
11 that and I was able to count within that exhibit 18
12 undrilled infill locations --

13 A. Right.

14 Q. -- within -- not including the buffer area, but
15 in the buffer area there were 14 more, for a total of 32
16 undrilled Basin-Dakota locations within the unit.

17 A. Right.

18 Q. Now, earlier you stated that you wanted to select
19 these locations to calibrate the data, and in looking at
20 these numbers of undrilled infill locations, I'm wondering
21 why none of those could be used and why there's a necessity
22 to concentrate so much in one area and not drill those
23 others?

24 A. Okay, that's a very good point. First off, we
25 need some additional maps here to answer your question, and

1 you're going to see them here momentarily, Mr. Glaser's
2 testimony.

3 There's a part of this unit, namely the south
4 part of the unit, where the Dakota deteriorates. And that
5 area, obviously, we still have some ways to go just
6 drilling 160s. And that's why you're seeing some of these
7 open 160s.

8 Also, we have an ongoing program of drilling on
9 160s now. We have a rig drilling in 28-7 as we speak,
10 drilling Mesaverde-Dakota wells on 160s. So not all the
11 locations that we intend to drill on 160s are here yet. If
12 we could have done this three months from now, you would
13 see more dots on the map. So we're getting there, I guess,
14 is what I'm saying.

15 Q. At this time are you gathering this type of data
16 to calibrate your model in those areas, from those 160s
17 that might be helpful for later -- if you anticipate 80-
18 acre development there?

19 A. We do in some cases. It just depends on the
20 situation in the well and where it's located. We do run
21 cased-hole logs, at least, on every single well. And of
22 course from those, they're not as quantitative, you know,
23 can't be used as quantitatively as an open-hole porosity
24 log could. But we are running cased-hole logs in each
25 case.

1 We have been completing each of these wells in
2 the Dakota and producing them as a Dakota sand well, at
3 least initially, for 30-some days, if not longer. So we
4 are acquiring data, even in those 160 wells.

5 Q. But that's not any different than your regular
6 completion that you've just described? You're not taking
7 individual strata pressures --

8 A. No.

9 Q. -- or not doing any coring or anything like that
10 on those 160s in other parts of the unit, are you?

11 A. We are not. And we've discussed that, and it's
12 just a matter of, again, what our objective is with each
13 well and where it's located and...

14 Acquiring data -- I should add that acquiring
15 data, especially bottomhole pressure data zonally, is a
16 very expensive, very difficult thing to do. It's not a
17 very common procedure at all. And while it does produce
18 good data -- and, you know, we're very interested in
19 acquiring pressure data, obviously, and will continue to do
20 so, certainly, in these next nine wells. Acquiring data
21 zonally, even in a pilot well, is extremely expensive, and
22 I'm not proposing that we do that.

23 We acquire data that we -- as I mentioned to you
24 earlier, the production test, the cased-hole logs, but
25 we're not coring. And I don't anticipate coring any

1 additional wells, and certainly not acquiring pressure on a
2 zone-by-zone basis.

3 Q. So on these nine wells, you're not going to be
4 acquiring this data on a zone-by-zone basis?

5 A. Not on a zone-by-zone basis. We will be getting
6 bottomhole pressures, though, by just running in with
7 pressure gauges and testing for the lowest pressure that we
8 see, which indicates the greatest amount of depletion. And
9 based on the data that we've already seen, that's probably
10 going to be in the Twowells.

11 But I want to leave that kind of open, because
12 we're still discussing that to an extent, but I don't
13 foresee taking zone-by-zone pressures.

14 Q. So then I'm confused. You say you want to
15 calibrate your model better, but you're not going to be
16 taking the same quality of data that you had on the
17 previous pilot wells, on these nine that you propose; is
18 that correct?

19 A. That is correct. And if it would be okay, if you
20 would like to defer the model calibration and the data for
21 that to Mr. Boneau, because he's going to be speaking to
22 some of that. And if your questions are still unclear at
23 that point, then we'll try to address this question.

24 Q. Given that you're not really -- It sounds to me
25 that Burlington's not interested, really, in getting the

1 data to develop or look at the potential for 80-acre
2 development in other parts of the unit. How will this data
3 concentrate in this one area, be a benefit once it appears
4 to be fully developed with your pipeline?

5 A. If I understand your question, you're asking how
6 will this apply to other parts of the --

7 Q. Yes, it sounds like, from your selection criteria
8 that you used and your lack of apparent interest in
9 gathering data outside of that area while you're currently
10 drilling wells in the other parts of the unit, that you're
11 not really that interested in looking outside of that area
12 right now for development.

13 So from that, it leads me to believe that this
14 pilot project -- or it leads me to think that this pilot
15 project may basically complete your 80-acre development
16 within the unit.

17 A. It doesn't complete the development. I don't
18 want to mislead you into believing that we're not
19 interested in knowing what the rest of the unit will do
20 under 80-acre development. We're taking step by step by
21 step. And the data that we are acquiring from these wells,
22 albeit quite a bit greater than what we would normally get
23 in a development well, is good data to acquire, for what
24 we're trying to accomplish.

25 The development wells that we're drilling now,

1 the 160s, we're acquiring data in those wells. We are
2 getting log data and production data in each one of those
3 wells, and that is data that can be used in our reservoir
4 model.

5 Q. But that's only data you started with before you
6 had the pilot project to begin with, wasn't it?

7 A. Yes, yes.

8 Q. So it's really not any different than your normal
9 operations?

10 A. No, these wells will have -- If I understand your
11 question, these wells will have pressure data that we
12 normally would not be collecting in a development well.
13 Did I answer -- I'm sorry if I missed --

14 Q. Okay, so you will be collecting more data than
15 you would normally collect?

16 A. Absolutely.

17 MR. CHAVEZ: Okay, I'm sorry, I was
18 misunderstanding your answer.

19 I think that's all I have, David.

20 EXAMINER CATANACH: Mr. Chavez. Any other
21 questions of this witness?

22 MR. KELLAHIN: Yes, Mr. Examiner.

23 FURTHER EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Let me follow Mr. Chavez's analysis here, Mr.

1 Shannon. Forget your nine pilot wells right now.

2 A. Okay.

3 Q. And let's look at areas where we have four wells
4 to a section.

5 A. Okay.

6 Q. Those will be areas where, under the current
7 rules, you're fully developed, right?

8 A. That is correct.

9 Q. In those sections where you have less than four
10 wells per section, there is an opportunity to drill
11 additional infill wells?

12 A. That is correct.

13 Q. All right. The difference between those
14 opportunities and what you achieve with the nine additional
15 pilot wells is this, that by drilling at a density greater
16 than four wells per section, you increase a density where
17 it is, in fact, an 80-acre density; is that true?

18 A. That is true.

19 Q. And with those actual data points in the
20 reservoir, then, you can calibrate and test your model with
21 actual data as to what will truly happen within the scope
22 of this study area?

23 A. Yes, sir, that is correct.

24 Q. That would be substantially different than data
25 you derived by drilling the rest of the currently approved

1 infill wells?

2 A. That is correct.

3 Q. Is that of importance to you?

4 A. That is of extreme importance to us.

5 MR. KELLAHIN: No further questions.

6 EXAMINER CATANACH: This witness may be excused.

7 TERRY J. GLASER,

8 the witness herein, after having been first duly sworn upon

9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Glaser, would you please state your name and
13 occupation?

14 A. Yes, my name is Terry John Glaser. I work for
15 Conoco in Houston, Texas, as a geologist.

16 Q. Mr. Glaser, have you testified before the
17 Division on prior occasions?

18 A. No, I have not.

19 Q. Summarize for us your education?

20 A. 1978 I got a BA in geology from the University of
21 Wisconsin, Milwaukee, and in 1979 hired on with Conoco.
22 I've been with Conoco ever since.

23 Q. Are you currently one of the division geologists
24 assigned to the pilot project for studying the increased
25 density concept for the Basin-Dakota within this unit?

1 A. Yes, I am.

2 Q. And we're about to look at your geologic
3 analysis, presentation and conclusion?

4 A. Yes.

5 MR. KELLAHIN: We tender Mr. Glaser as an expert
6 petroleum geologist.

7 EXAMINER CATANACH: He is so qualified.

8 Q. (By Mr. Kellahin) Before we start that, let's
9 bridge the gap, if you will, by having you identify for Mr.
10 Catanach Exhibit Number 15. What is that?

11 A. Yes, Exhibit Number 15 shows the same portion of
12 the 28-7 unit that we propose pilot expansion, but this
13 time you see the topography along with the wells in that
14 are.

15 Q. All right, the color-coding of the wells follows
16 the color-coding and identification for this exhibit as we
17 see in Exhibit 1?

18 A. Yes, it does.

19 Q. The parent -- or the original pilot well on this
20 display is the well in black?

21 A. Number 225E, yes, sir.

22 Q. Yes, sir, and the proposed expansion pilot wells
23 are those wells in yellow?

24 A. Correct.

25 Q. All right. It's your understanding that these

1 wells satisfy the conditions of surface use, and that
2 they're all properly available for approval?

3 A. Yes, they are.

4 Q. My question for you as a geologist, sir, is, do
5 all of these locations satisfy you from a scientific
6 position as being an appropriate place in the reservoir to
7 have a data point?

8 A. Yes, they do. Each one of these wells will see
9 the three subunits of the Dakota that are our producing
10 reservoirs present, and in a pay scenario that we are
11 contributing, that gas is being contributed from these
12 reservoirs.

13 Q. All right. I know Mr. Catanach is familiar with
14 how Burlington and Conoco and others subdivide the Dakota,
15 but to give us an illustration we can utilize right now,
16 let's have you turn to Exhibit 16 --

17 A. Yes.

18 Q. -- and do that for us.

19 A. Exhibit 16, that's the type log, and it happens
20 to be from the 225E, which we are keying our pilot
21 expansion off of. It shows the entire Dakota interval from
22 the Greenhorn above the Dakota to the Morrison below, and
23 the subunits of the Dakota which we have correlated across
24 our unit, and which are the same units that Burlington
25 correlates in their areas.

1 Starting from the bottom, we have subunits of the
2 Burro Canyon, Encinal Canyon, which we find not productive
3 in the 28-7 to date. The lower Cubero is our first
4 developed reservoir in here, and the yellow is the net
5 effective pay that I have drawn from this type log and from
6 the other logs in the Dakota penetrations in the 28-7 and
7 surrounding area.

8 If you notice, the lower Cubero is a very
9 changeable unit. It is very laterally inextensive. It is
10 a fluvial system, dominantly -- tidal-dominated fluvial.

11 The next unit that we come to is the Cubero.
12 This is the question that you asked, Mr. Examiner, before:
13 How do the Cubero and the Paguate correlate? This is our
14 correlation, and I believe this is very close to what
15 Burlington correlates the Cubero interval with. That unit
16 is extensive, the Cubero is extensive across the Basin. At
17 least across our 28-7 Unit, it changes by just a few feet.
18 It is one of the better producing units within the Dakota
19 in our area.

20 The next unit is the Paguate, and this is where
21 the changes take place. On the west side of our 28-7 Unit,
22 the Paguate begins to develop into reservoir-quality rock,
23 but very, very thin in existence. In this area it is not
24 reservoir-quality rock. And as you move to the west, the
25 Cubero loses reservoir-quality rock. So they kind of take

1 the place of each other as the main reservoir. But in the
2 28-7, the Cubero is the main producing reservoir compared
3 to the Paguate.

4 Then you see a marker bed which I used for our
5 datum for hanging any stratigraphic cross-section on, and
6 that is a very flat depositional unit over the entire 28-7
7 Unit, which I can correlate stratigraphic stacking packages
8 of the intervals in the Twowells and in the Cubero and
9 lower Cubero.

10 Above that, the next highly productive interval
11 in the Dakota is the Twowells, and that is fairly blanket
12 in character over the northern portion of our unit. It
13 does show some complexities in the northern portion of the
14 unit, above this blanket sandstone member. But typically,
15 it is one of the dominant reservoirs in the 28-7 northern
16 portion of our unit.

17 Then above that you go into a deep-water shale
18 deposit known as the Graneros/Greenhorn, and then you're
19 completely out of the section.

20 Q. The team as selected to increase the density
21 around the 225E well.

22 A. Yes, sir.

23 Q. That is one of the original pilot wells for which
24 we have lots of data?

25 A. Yes, sir.

1 Q. And the concept, then, is to increase the density
2 around this wellbore to true 80-acre density --

3 A. Yes, sir.

4 Q. -- so that you can test the hypothesis as to how
5 much more additional drilling can be supported on whatever
6 density level for the Dakota?

7 A. Yes, sir.

8 Q. In this area of the additional expansion
9 drilling, do we have all three layers available for
10 testing?

11 A. All three layers are found productive in this
12 area.

13 Q. Let's see how these layers are distributed
14 throughout the unit in a general way, and I assume you've
15 done all that kind of thing?

16 A. Yes, sir, I have.

17 Q. Let's take one example, and if you'll look at
18 Exhibit 17, we'll use that as our locator. That's the line
19 of cross-section for your stratigraphic cross-section,
20 right?

21 A. Yes, this is the cross-section A-A', south-to-
22 north cross-section over the 28-7 Unit.

23 Q. All right, let's take a moment and unfold Exhibit
24 18, which is, in fact, that cross-section. Okay, I don't
25 want you to give us a detailed education in the cross-

1 section, Mr. Glaser, if you'll just give us the executive
2 summary --

3 A. Okay.

4 Q. -- what's the major point?

5 A. This is a cross-section from southwest to
6 northeast, across the 28-7 Unit. And it clearly shows,
7 again, the yellow is net effective pay that I have picked
8 through the Dakota intervals.

9 And the lower Cubero, as you can see on the left-
10 hand side of the cross-section -- it clearly is indicated
11 -- is a highly changeable unit. It changes laterally and
12 vertically in section. As you scan over the unit, you can
13 see how variable that fluvial system is. And possibly
14 that's why we see higher pressures in some areas and less
15 in others, depending on the correlative sandbodies between
16 wells.

17 The next unit is the Cubero. This, as you look
18 across the entire cross-section, you can see a fairly
19 uniform feature, about 20 to 22 feet of average reservoir-
20 quality rock.

21 The datum again is indicated in the black line.
22 This is a very, very good correlation marker across the
23 unit, one that I've picked to correlate this cross-section.

24 The Twowells is one of the more interesting
25 packages, along with the lower Cubero being very laterally

1 inextensive. The Twowells, in the northern portion of the
2 unit, is a very, very dominant reservoir. As you go to the
3 very southern portion on the left-hand side, you can see
4 the net effective pay in the yellow goes down to zero.
5 You're basically dealing with a non-reservoir rock in that
6 area. It is in this area that the Dakota is very poor in
7 production and can be subeconomic.

8 And also, as you can see in the northern portion
9 of the cross-section on the right-hand side, above the red
10 line you have a little stacking pattern that does not
11 correlate to the main body of the Twowells. It is very --
12 highly variable in extent with the individual wells in the
13 northern portion of the unit.

14 Q. All right, let's go and see how each of these
15 layers is distributed throughout the unit, and I assume
16 you're prepared an isopach of each of the layers that will
17 give us a visual illustration of how the thickness is
18 distributed?

19 A. Yes, I have.

20 Q. Let's go through each of those in a summary
21 fashion and have you identify them for us, starting with
22 Exhibit 19.

23 A. Yes, Exhibit 19 shows the lower Cubero net sand
24 isopach map. It is five-foot contour intervals, the yellow
25 being the thinnest, the dark orange being the thickest,

1 yellow being zero to ten feet of thickness, the dark orange
2 being greater than 80 feet in thickness in some areas, and
3 typically between 45 and 80 feet is the darkest orange.

4 Again, the lower Cubero, you can see how
5 changeable the isopach is throughout the entire 28-7 Unit,
6 and highly variable, highly inextensive from well to well,
7 and that's why you see such a variance in isopach footages.

8 The next exhibit, Exhibit Number 20 --

9 Q. Before you leave that one, let me understand a
10 point on Exhibit 19. The area that is to be subject to the
11 increased density for the expansion is in, generally, 34
12 and 35?

13 A. 34, 35 and slightly in 27, yes.

14 Q. Just a quick visual look at this isopach, it
15 would appear that you have the opportunity to test a rather
16 broad range of thickness within that expansion area.

17 A. Yes, the lower Cubero will again exist. And
18 this, again, is highly variable. Each well will probably
19 show quite a bit of variation. So trying to predict this
20 unit is very difficult. But we will have thicknesses, most
21 likely, from 21 to in excess of 60 feet in thickness.

22 Q. Would that be a reasonable range in which to test
23 an area such as this for a pilot that then can be
24 translated in some fashion as to whether or not you drill
25 increased density wells elsewhere in the unit?

1 A. Yes, it could be.

2 Q. All right, let's take a look, then, at the next
3 layer. If you go to Exhibit 20, tell us the color code
4 here so we understand the contour difference.

5 A. Yes, this is Exhibit 20, this is the Cubero net
6 sand isopach map, again on five-foot contour intervals, the
7 yellow being zero to ten feet, the orange colors in excess
8 of 20 feet.

9 Q. All right, and then finally Exhibit 21. What are
10 we looking at here?

11 A. Exhibit 21 again, this is the Twowells net sand
12 isopach map. The contour intervals -- five-foot contour
13 interval from zero to ten feet in the light yellow and in
14 excess of 40 feet in the dark orange.

15 Q. All right, is the geologic concept here one where
16 you as the geologist would stack the three layers, find
17 locations where you optimize the opportunity to have the
18 greatest thickness in all three layers?

19 A. Yes, I would.

20 Q. And when we look at Exhibit 21, down towards the
21 south and southwestern portion of the unit, the Twowells
22 sand is simply not there.

23 A. Yes.

24 Q. Does that help you explain why the southern
25 portion or the southern third of the unit has not yet seen

1 drilling to the current density?

2 A. Yes, it is. Again, as I said before, the
3 Twowells is one of the dominant reservoirs. Without the
4 Twowells, we can find subeconomic wells.

5 Q. In addition to doing this work, Mr. Glaser,
6 you've also helped Mr. Boneau in providing the geologic
7 data that he's inputted into his reservoir simulation?

8 A. Yes, I have.

9 Q. And that's been done independent of this stuff
10 here, right?

11 A. Yes.

12 Q. All right. Let me ask you this: Once the
13 reservoir simulator experts and all the reservoir engineers
14 get through doing all this stuff, and they run this model
15 and it forecasts some things that will happen for you, what
16 do you as a geologist see that you'll get, that will allow
17 you to decide where to increase your density in the unit?

18 A. The net sand isopach maps are probably one of the
19 major inputs to any geologic reservoir simulation,
20 modeling, and without these -- without the modeling, you
21 can predict, you can estimate what the gas in place is, and
22 typically done for net sand isopach maps, to dictate where
23 the best areas will be.

24 But it doesn't have the luxury of having a
25 detailed model to calibrate off of.

1 Q. For example, you could use a net-pay map,
2 calculate original gas in place, think you've got a great
3 place to drill it, and find the gas in place is not there?

4 A. Yes, exactly.

5 Q. By a substantial magnitude of change, right?

6 A. Yes.

7 Q. All right, so what do you get out of the model?

8 A. We get a way to calibrate what the isopach values
9 mean, and be able to take those values, then, and project
10 to other areas that do not have a model, on what kind of
11 gas-in-place estimates we can -- with a fair amount of
12 confidence, being able to relate that back to our
13 reservoir-simulation model.

14 Q. So if the simulation can be successfully done and
15 further calibrated by the increased density wells, your
16 expectation and hope is that you will be able to utilize
17 that data in a convenient, expeditious way, perhaps by
18 using a net-pay isopach that now has some definitive
19 science behind it, to choose the places where increased
20 density ought to occur?

21 A. Yes, we hope to be able to extend our knowledge
22 into the 28-7, other areas that we have not modeled, and
23 also into the Basin-Dakota Pool, which will help the whole
24 industry, and at least another tool to use in deciding
25 where increased density may be established.

1 Q. We often present to the Division an analysis of
2 structure, because that sometimes is important, and
3 sometimes critical.

4 A. Yes.

5 Q. Is structure a critical component of what you're
6 doing here with this project?

7 A. It does not seem to be critical in what we're
8 doing with our project.

9 Q. Can you illustrate that with Exhibit 22?

10 A. Yes, Exhibit 22 is a Greenhorn structure map. It
11 is, again, right above the Dakota. And it shows relatively
12 uniform northeast dip, about 50 feet, plus or minus, per
13 mile.

14 MR. KELLAHIN: That concludes my examination of
15 Mr. Glaser, Mr. Catanach.

16 We move the introduction of his Exhibits 15
17 through 22.

18 EXAMINER CATANACH: Exhibits 15 through 22 will
19 be admitted as evidence.

20 Mr. Chavez, do you have any questions of this
21 witness?

22 EXAMINATION

23 BY MR. CHAVEZ:

24 Q. Mr. Glaser, is there any subtle differences in
25 the Conoco terminology and geology that differ from what

1 the Examiner has heard before, perhaps with Burlington?

2 A. We are trying to very closely use industry
3 standards on terminology, and I believe what Burlington
4 presented a couple weeks ago to the Examiner, we are very
5 close to exactly what they're correlating their subunits to
6 the Dakota with.

7 Q. Okay. On Exhibit Number 1 we show that there are
8 infill wells in fully developed Dakota in Section 19 and 20
9 of Township 27-7, although those are in areas where the
10 Twowells does not exist. Are those Dakota completions in
11 there uneconomic, or are they still economic?

12 A. Yes, there are wells in this area that are
13 subeconomic, there are wells that are marginally economic
14 in this area. The reservoir changes rapidly, and there is
15 a corridor of what we consider a noneconomic area in this
16 portion of the unit, in the southwest portion of the unit.

17 Q. Okay, so in your examination of the production
18 records and all, from the Dakota, from these completions,
19 did you find that out to be so that these wells are not
20 going to be economic?

21 A. Yes, I have.

22 MR. CHAVEZ: Okay, thank you.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Glaser, let me ask you this. You haven't

1 shown a regional map of the San Juan Basin here, but how
2 does this geology within the 28-7 Unit compare to the San
3 Juan Basin as a whole?

4 A. The geology -- Each unit changes quite radically
5 as you go from the east portion of the Basin to the west.
6 In the east portion of the Basin, the Cubero and the
7 Twowells are the dominant reservoir. The lower Cubero, in
8 portions east of the 28-7 Unit can be a dominant portion of
9 the reservoir also.

10 As you move to the west, you lose the Cubero
11 unit. The Twowells unit is not present in the southwestern
12 portion of the Basin. So there is lateral changes that are
13 quite significant from one side of the Basin to the other
14 in all of the three, and possibly more than three reservoir
15 intervals of the Dakota.

16 Q. It's your opinion that it's necessary to have the
17 Twowells interval present in order to economically drill
18 these wells?

19 A. Yes, at this time, looking at all the wells in
20 and around the 28-7, the Twowells is a dominant producer
21 for us. And without that, we limit ourselves to a very
22 tight lower Cubero sand that may or not need fracturing to
23 enhance the permeability and porosity for that reservoir.

24 And the Cubero also has some changes that go on,
25 and it does thin out, according to Exhibit Number 20, it

1 does thin out as you go to the west and to the southwest in
2 our unit. So you put the loss of the Twowells and a
3 thinning Cubero with a marginal lower Cubero that may need
4 fracture enhancement to aid in the production, and you'd
5 get some economic wells in that area.

6 EXAMINER CATANACH: I don't have any other
7 questions of this witness.

8 Any other questions?

9 MR. KELLAHIN: No, sir.

10 EXAMINER CATANACH: Okay, this witness may be
11 excused.

12 Let's take a short break here, ten minutes.

13 (Thereupon, a recess was taken at 2:09 p.m.)

14 (The following proceedings had at 2:20 p.m.)

15 EXAMINER CATANACH: Okay, we'll call the hearing
16 back to order and turn it over to Mr. Kellahin.

17 MR. KELLAHIN: Thank you, Mr. Examiner.

18 TRENT BONEAU,

19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Boneau, would you please state your name and
24 occupation?

25 A. My name is Trent Boneau, I am a reservoir

1 engineer with Conoco in Houston, Texas.

2 Q. On prior occasions have you testified before the
3 Division?

4 A. No, I have not.

5 Q. Summarize for us your education.

6 A. I graduated from the University of Notre Dame in
7 1990 with a BS in mechanical engineering, I have an MS in
8 mechanical engineering from Georgia Tech in 1993, and I
9 have a PhD in petroleum engineering from New Mexico Tech in
10 1997.

11 Q. What are your current responsibilities for
12 Conoco?

13 A. I am currently a reservoir engineer working the
14 San Juan Basin, working development aspects and also
15 working simulation aspects.

16 Q. What has been your participation concerning this
17 particular Application for expanding the Dakota pilot
18 project within the 28-and-7 Unit?

19 A. I've been the reservoir modeler since we started
20 drilling the pilot wells.

21 Q. Have you had the responsibility for integrating
22 the additional data that has been developed from the first
23 six pilot wells?

24 A. Yes, I have.

25 Q. And are you part of the team that's responsible

1 for choosing the location of the additional nine expansion
2 wells?

3 A. Yes, I was.

4 Q. And you're responsible for doing the reservoir
5 simulation for the pilot?

6 A. That's correct.

7 MR. KELLAHIN: We tender Mr. Boneau as an expert
8 witness.

9 EXAMINER CATANACH: Mr. Boneau is so qualified.

10 Q. (By Mr. Kellahin) Let me have you turn to
11 Exhibit 23, and let's refresh Mr. Catanach's recollection
12 about what you mean when you talk about reservoir
13 simulation for the unit.

14 A. Okay.

15 Q. First of all, describe for us the model and how
16 you're putting this together.

17 A. Okay, first of all the computer code we use was
18 Eclipse 100, which is a fairly common product. It's a
19 Schlumberger product, so that's pretty well accepted as an
20 accurate model.

21 What we did was, basically, we did the simulation
22 in two steps. We took the data from the pilot wells and
23 used it to calibrate our geologic model. And then once we
24 calibrated that model, we're using the simulator to predict
25 how we think the expansion wells are going to do. And that

1 will be what I'll be talking about.

2 Q. Okay. Let's take Exhibit 23, then, and describe
3 for Mr. Catanach how you built the layers and the grid for
4 the model.

5 A. Basically, we built a grid that has three layers,
6 and these three layers would be the same subunits that have
7 been discussed, the Twowells, the Cubero and the lower
8 Cubero. We built a variety of models, depending on the
9 pilot well. We built essentially a single model for each
10 pilot well, so we actually had six models. But each model
11 was about 6000 acres. It was a 60-by-60-by-3 grid. So
12 because we had six different ones, there were variations in
13 the number of wells. But basically it was about nine
14 sections, so in general there were 36 existing Dakota
15 wells, four wells per section.

16 Q. Okay, let's start with the concept in an
17 executive summary of the concept of how the model was
18 configured prior to the first hearing. How were we
19 presenting that to the Division initially?

20 A. Basically, we were going through with a generic
21 model. We had a -- They incorporated our current
22 geological estimate into a generic model and then said,
23 Well, if we drill generically on a symmetrical 80-acre
24 pattern, we expect this kind of recovery. That was what we
25 brought into the first hearing.

1 Q. All right. Get approval for the first six wells,
2 those wells are drilled, and you took each one of those or
3 a selected population and redid your model?

4 A. That's correct.

5 Q. All right. You selected one of these to study,
6 which was the 225E well in Section 34, right?

7 A. Yes.

8 Q. And you ran your simulation with that additional
9 data point and made further forecasts with that, true?

10 A. That's correct.

11 Q. What did those forecasts tell you?

12 A. Do you mean what did they tell us about -- I'm
13 not sure what you're --

14 Q. What did --

15 A. -- about the expansion, or what did they tell us
16 about that single well?

17 Q. What did they tell you about that single well?

18 A. Basically, it told us that that single well, if
19 you add one single well to nine sections, that well is
20 going to be just about as good as the existing wells there.

21 Q. All right. How do we take this to the next
22 level, then?

23 A. Because we're eventually looking at getting to
24 80-acre spacing, what we'd like to be able to do is
25 actually go and drill on area, on 80 acres, where in the

1 past we just -- we have wells scattered about the unit, and
2 they give us some data throughout the unit, but they don't
3 really show the interactions between all the wells on 80
4 acres. And so what we'd like to do, and what we're
5 proposing in our expansion, is to drill something more
6 similar to that, so that we can model that and calibrate
7 our model based on the results.

8 Q. All right, and to test the hypothesis about what
9 increased density would do and what happens in the real
10 world within the grid side of that study area?

11 A. That's correct.

12 Q. All right, let's go to Exhibit 24, then, and have
13 you go back and tell us what this demonstrates here.

14 A. Well, basically what we did with the pressure
15 data from the first six pilot wells was, we kind of used
16 the model as sort of an elaborate P/Z-versus-cum estimate,
17 to estimate how much gas there was in place and kind of
18 compare that to our geologic model.

19 So we pretty much went in with the geologic model
20 that had -- and the exhibit here shows what we went in
21 with, which was about 22 to 23 BCF per section, was our
22 original estimate of gas in place. And then we went
23 through and just basically had all the actual wells, the
24 parent and the daughter wells, 320s and 160s, we extracted
25 their actual volumes and tried to match the pressure that

1 we saw in the three layers, in the pilot wells that we
2 drilled. So by that we could calibrate how much gas there
3 was in place.

4 Q. Okay. Let's turn to Exhibit 25 to show Mr.
5 Catanach what the grid simulation looks like for the 226
6 well.

7 A. Okay, this basically shows a 60-by-60 grid.
8 We've got the existing wells in there in yellow, it's a
9 nice -- the coloring is not ideal, but -- and we have the
10 pilot well in the center. So basically we pull all the
11 volumes out of the yellow wells and we see what the
12 pressure is 226 well, and we change the model until we get
13 what we saw in the actual data.

14 Q. Okay, what happens, then, when we go to Exhibit
15 26? What are you doing here?

16 A. It's summarizing what we saw for each individual
17 pilot well.

18 Q. And what did you see?

19 A. We saw a variety of gas-in-place per section. On
20 average we saw about 15, 16. 15.7 BCF per section was our
21 average estimate for gas in place. So we saw basically
22 that between -- before the pilot wells and after the pilot
23 wells, our gas-in-place estimate shrunk, based on our
24 pressure observations.

25 Although our pressure observations, we saw a

1 little depletion, we saw 17-percent depletion as opposed to
2 14-percent depletion, something -- you know, that type of
3 scale.

4 Now, basically, underneath the 15.7 BCF per
5 section I have an average from the current updated geologic
6 model. So basically Terry Glaser, the geologist, and I
7 start in the same place, with an old geologic model. I
8 went to update it using the pressure data and the
9 simulator; and at the same time, parallel, he went updating
10 it by incorporating the current logs, getting a better
11 estimate of what log responses actually pay, and he came up
12 with his model, which he already demonstrated.

13 And you can see if you look at the stuff from the
14 simulation, you get basically, on average, something
15 similar to his answer. And you also get permeability
16 estimates and things like that.

17 Q. All right. For each of the original six pilot
18 wells, then, you have a grid simulation, you've run the
19 model for each of the six, and they show you calculations
20 of gas in place for each of those six wells. And there's
21 quite a bit of range to that.

22 A. Yes.

23 Q. They range from 12 BCF all the way up to 21.5
24 BCF.

25 A. Sure.

1 Q. All right. How do we take this, then, to the
2 next step so that we get a more accurate sense and
3 understanding of what the gas in place truly is?

4 A. Well, the first thing you have to realize is that
5 when we have a number, it's really based on one data point.
6 It's based on the pressure in one observation well. And
7 errors in that pressure or -- You're basically drawing a
8 line through two points in a P/Z-versus-cum sense, and you
9 don't really -- the second point, the current status when
10 we drill the pilot wells, we're basing a nine-section area
11 on one single well.

12 And from a pressure-gathering standpoint, we'd
13 like to go get pressure on additional wells within that
14 area so we can further calibrate those estimates and see if
15 our 15.5, for instance, for the 225E, is really accurate.

16 Q. All right, and you propose to do that, as
17 illustrated on Exhibit 27, in an area which we've
18 previously described as being associated with the current
19 pilot well, which is Number 225E?

20 A. That's correct.

21 Q. This would be the illustration in the simulation
22 grid to show where these data points would be inputted into
23 the computer?

24 A. Yes.

25 Q. All right. What do you achieve with this that

1 you can't achieve without the additional expansion wells?

2 A. Basically we will get to see in the real world
3 and compare to our simulation how drilling on 80 acres --
4 what the results will be. We're going to get data on a
5 finer mesh, and we're going to get production data on a
6 finer mesh, essentially.

7 Q. Why was the 225E area chosen, as opposed to one
8 of the other five initial pilot well areas?

9 A. There are a variety of reasons for that. One,
10 our initial gas-in-place estimate was in the mid-range, so
11 we would test what we thought was a mid-range concept.

12 Two, we have more data there, we have a core in
13 that area, the 225E. Topography allowed us to actually
14 drill fairly easily with only one deviated wellbore in this
15 area, so we could actually drill an 80-acre spacing fairly
16 easily in that area. And I think those are the main
17 drivers.

18 Q. In this reservoir, with the current database,
19 what parameters or values are you trying to match or
20 simulate with your computer?

21 A. The main things we're trying to match are
22 permeability and gas in place, and also we want to get more
23 initial rate data, because the rates we've seen from these
24 wells are higher than what we initially forecasted.

25 And if we have less gas in place, and each

1 additional well appears to be making more than originally
2 forecasted, we have to consider what is the proper
3 development. It changes what our initial idea was of what
4 the proper development was, because we have less gas in
5 place, and it appears that additional wells may be making
6 more gas.

7 Q. For purposes of this simulation, then, you're
8 matching the production of the wells within the modeled
9 area?

10 A. And we're going to match the pressures too.
11 We're going to use the pressure from this stuff, from these
12 additional nine wells, to calibrate our gas-in-place
13 estimates along with the 225E, so we can basically see how
14 these locations are being drained by their offsets and see
15 if that corresponds with our geologic model.

16 Q. Currently, you would be limited in your analysis,
17 because you can only match as to production?

18 A. That's correct.

19 Q. And the few pressure data points that you may
20 have?

21 A. Right, in this model we would have one pressure
22 data point.

23 Q. All right. With the increased density wells, the
24 additional nine, you now have new points of production and
25 new points of pressure to match against?

1 A. That's correct.

2 Q. In order to achieve those matches, what are the
3 values that you're adjusting? You're going to adjust which
4 of your parameters to make that match?

5 A. Layer thicknesses, primarily layer thicknesses or
6 hydrocarbon pore volume per layer, and permeability of the
7 layers, would be our main match parameters.

8 Q. The other values would remain constant?

9 A. We may have to do some tinkering with well
10 completion efficiency and things like that, that we appear
11 to be getting better hydraulic fracturing than we were in
12 the past.

13 Q. All right. Let's go to Exhibit 28 and look at an
14 illustration of the history match and then the base
15 forecast for this particular analysis. Describe for us
16 what you've done and what it shows.

17 A. Basically, this shows for this expansion area,
18 the model that was on Exhibit 27, it shows -- the dark blue
19 line shows how we think the model is going to do, the red
20 squares leading up to 2000 show how the model -- how the
21 wells actually performed. So you can see that we have our
22 model performing as the wells actually did perform. And
23 the little red triangles show how our decline curve
24 estimates show how the current wells will produce.

25 So you can see basically that our model pretty

1 well matches how we think the well is going to do if we
2 just looked at the production data.

3 Q. All right, let me make sure I understand. On
4 Exhibit 27 you've got the existing wells in yellow --

5 A. Sure.

6 Q. -- you've got the initial pilot well, 225E. And
7 then you have imposed into the computer the additional
8 increased density wells you're asking for today?

9 A. That's correct.

10 Q. Then you have run the computer and you have
11 matched the production history that's known now for
12 existing wells, and that is displayed on Exhibit 28?

13 A. Exhibit 28 is only the production of the existing
14 wells, only the wells in yellow. So basically to say what
15 we've known and what we can forecast to this point. Then
16 we're going to try to say, Well, if we add in these
17 additional wells we'll see this.

18 Q. All right.

19 A. That's what we'll get to.

20 Q. By adding the additional wells, then, you can
21 test the accuracy of the forecast shown on Exhibit 28 to
22 see if you need to make adjustments, right? Am I missing
23 the point?

24 A. Basically we're saying we think we have -- we
25 have matched -- that we are going to have confidence in our

1 model's ability to predict how these wells -- for the model
2 we have, it matches the old existing wells. So
3 consequently we think if the model -- for that model, it
4 will be able to match the current wells.

5 So basically we're laying the groundwork for
6 showing the incremental advances from drilling the
7 expansion wells. The model right now will match the actual
8 current existing wells.

9 Q. Okay. And what you obtained with the nine
10 additional wells, then, is the additional data point to
11 then run the model and see how successfully you can
12 forecast what will happen?

13 A. Yes, we'll be able to compare -- we will have a
14 forecast for how we think the nine wells will do. When we
15 see what they actually will do, then we can go back and
16 further calibrate our model. So we'll look for differences
17 between those two things.

18 Q. All right, let's see what we think will occur now,
19 as you've illustrated on Exhibit 29. What are we looking
20 at, and how do we read it?

21 A. Exhibit 29, basically if you look at the green
22 bar and -- the green line, and everything below it, shows
23 the 52 BCF, and that's how much recovery we think we will
24 get from the existing wells in our nine-section area. So
25 that basically corresponds with the dark blue line in

1 Exhibit 28.

2 If we don't drill any increased-density wells, we
3 think that the current wells will make 52.1 BCF.

4 Q. If you drill the nine additional wells within
5 this grid area, what does the simulation forecast will be
6 the result?

7 A. That would be the 59.4-BCF number, so we would
8 expect to recover 7.3 incremental BCF in reserves.

9 Q. The nine additional wells in the grid area will
10 get you 7.3 additional BCF of gas that would not be
11 recovered by the wells in absence of the nine?

12 A. Actually, that number does include the 225E.

13 Q. All right.

14 A. The 225D is included as one of the additional
15 wells. So its ten, actually.

16 Q. Is there any way to read this display to show
17 what portion of the production would be attributed to rate
18 acceleration?

19 A. Yes, the dark blue area shows basically what we
20 think the existing wells will produce if we drill the ten
21 additional wells. So if we drill the ten additional wells,
22 they will actually lose -- they'll produce 2.6 BCF less
23 than they would if we did not drill those wells.

24 So you could say out of -- basically out of --
25 the difference between 59.4 and 49.5 shows how much EUR we

1 will get out of the ten wells we drill. So essentially the
2 ten wells will recover 10 BCF, but only 7.3 BCF of that
3 will be new reserves. So you could say 73 percent of the
4 production will be new reserves, and 27 percent will be
5 acceleration.

6 Q. All right, sir. Turn to Exhibit 30 and identify
7 and describe this display.

8 A. This just shows a typical well forecast, and I
9 basically chose one of the wells that -- There were some
10 differences in the wells. I chose one of the wells that
11 actually made about a BCF, so it was about the average, and
12 it shows high initial rates falling off rapidly and pretty
13 much just shows the typical profiles. It shows a well that
14 will make about a BCF, IP at about 1200 MCF a day and
15 decline off fairly rapidly to stabilize out and produce for
16 40 years.

17 Q. All right. The next thing you need to look at is
18 what the economic consequences are of paying for the
19 additional nine wells within the study area, and whether or
20 not 7.3 BCF of new reserves makes sense to do.

21 A. Correct.

22 Q. Have you done that?

23 A. Yes, we have.

24 Q. Do you have a display that illustrates your
25 conclusions?

1 A. That would be Exhibit 31.

2 Q. Identify that and tell us what you've concluded.

3 A. This is the economics we ran, and it's economics
4 for the entire project, and the project would basically be
5 our nine expansion wells, and it also includes 225E, would
6 actually be for all ten wells.

7 The things we assumed were a \$525,000 well cost,
8 \$500 per month operating cost. We assumed a constant
9 price, which was essentially \$3.30 per MCF for the quality
10 of gas we think we're going to produce.

11 The results of that were pretty good economics,
12 with 26 percent return on investment of .42 P/I, 48-month
13 payout. So we think that the economics of the expansion,
14 if we have the correct geological model, should be
15 positive.

16 Q. All right. Summarize for us, Mr. Boneau, what
17 you think would be the positive benefits of allowing you to
18 expand the project as discussed in this Application.

19 A. The main thing is, the main benefit would be,
20 we'd like to get an 80-acre analogy. At a certain point
21 we'd like to stop drilling pilot wells and either come
22 unitwide, basinwide, and say, We think we have enough data
23 that we can extract from here to there to there.

24 What we eventually would be talking would be 80-
25 acre spacing. We're talking about two additional wells per

1 GPU. And this -- What we're proposing here is actually to
2 go through and do that. We don't really -- We don't have
3 that information.

4 We basically have drilled wells scattered
5 throughout the unit, testing general properties throughout
6 the unit, and we're now recommending -- and this will give
7 us an idea of what an actual 80-acre pilot will do. We
8 will be able to hopefully calibrate that to our geologic
9 model, then use our geologic model to expand and describe
10 what we think would happen in other parts of the unit.

11 Q. And decide if it's the right or not, right?

12 A. Sure.

13 Q. It may prove to be wrong, you know, but we are at
14 least testing at an 80-acre density to see if in the real
15 world that's going to work?

16 A. Right. Basically, our first six wells showed us
17 that one additional well per GPU, but essentially one
18 additional well per section, gives us a pretty good well.
19 We want to go out and see, if we put four additional wells
20 per section, what's going to happen. And to do that we
21 need to better calibrate our model and actually go do that.

22 MR. KELLAHIN: That concludes my questions for
23 Mr. Boneau.

24 We move the introduction of his Exhibits 23
25 through 31.

1 EXAMINER CATANACH: Exhibits 23 through 31 will
2 be admitted as evidence.

3 Mr. Chavez?

4 EXAMINATION

5 BY MR. CHAVEZ:

6 Q. Yes, you stated earlier that after a while or
7 after some period of time, you would be able to -- when the
8 wells were producing, you would be able then to say, Okay,
9 now we know the model works. How much time is -- That's
10 what I got of what you said. How much time is that?

11 A. That's going to be -- what we'd like to get is --
12 The wells seem to produce on similar declines, and if we
13 see an early time production, we think we can forecast late
14 time production. And basically from a modeling standpoint,
15 we can estimate how quickly these wells are going to want
16 to extract gas out of our model.

17 If we can estimate how quickly, which essentially
18 is a combination of the reservoir permeability and the well
19 completion, and if you then can go and put that in your
20 model and -- basically the well completion and permeability
21 information, you can forecast the interrelation between all
22 the wells.

23 Q. Well, I understand that, but how long is it going
24 to take before you will say you're done or you've got a
25 handle on it?

1 A. I think one or two months of production should be
2 enough to say that we can -- we have a similar decline and
3 we're just going to basically, you know, look at scaling it
4 up and down. And within a few months we should have a
5 pretty good idea of what the first few data points are, and
6 then we can just basically -- then we could calibrate our
7 well completion, check that versus permeability and pretty
8 much forecast how that well would do in the absence of all
9 other wells, and then forecast how it would do with all the
10 other wells there.

11 Sixty days, thirty days.

12 Q. So have you done that with the existing pilot
13 wells?

14 A. We have, yes.

15 Q. And the exhibit that showed your history match,
16 does that include the pilot wells?

17 A. No, it doesn't, that history match is just for
18 the nine-section area surrounding 225E, and it only
19 includes the wells before 225E.

20 We do actually -- We have predicted how 225E will
21 do, and this kind of ties into why we're doing the
22 expansion. We can predict how 225E will do if we only
23 drill it, but we want to go through, and we know that it's
24 going to give us about as much gas as the parent and the
25 daughter wells. We really want to go through and see what

1 kind of recovery is it going to give if we drill a well
2 similar to it in every possible location, every 80-acre
3 location.

4 So we can see that if we have 36 wells, if we add
5 a 37th well it's going to be basically the same as the
6 first 36. But if we go through and we put in 72 wells, as
7 opposed to 36, that's what we want to try to forecast.

8 Q. How accurate would you say your Exhibit 28 is on
9 the history match for existing wells for your model? Is
10 it, would you say, 99-percent accurate, 95-percent
11 accurate? Do you have a qualitative or quantitative number
12 that you could attach to that?

13 A. Directionally it is accurate. A quantitative
14 number, it's --

15 Q. Qualitatively how is it? Great match, good
16 match?

17 A. It's a very good match. You'll see actually a
18 difference between the two curves at the end, and that's
19 mostly economic limits on our decline curves, some things
20 like that.

21 The Eclipse -- A reservoir simulator does tend to
22 be slightly more optimistic in tight-gas sands than what
23 you would get on decline curves. And over the long haul,
24 the difference between 3.2-percent decline and 3.1-percent
25 decline adds up to about a -- It adds up to one half of one

1 percent of the production, so you see the difference
2 between -- I think it's a very good match.

3 The fact that we can actually -- that the model
4 says for the next 20 years we're going to be producing
5 basically what our decline curves say is pretty good,
6 because we've essentially taken the reins off and you let
7 the horse run, and the horse runs for 20 years the way you
8 actually think it will run based on projections from more
9 conventional reservoir methods.

10 Q. Okay. Well now, you have more than 15 or 30 days
11 on your pilot project. Did you apply the model to those
12 wells, or did you get what you might call a similar match
13 on those wells using the model as it was before you input
14 any changes to it?

15 A. The big driver, I think, to the early production,
16 at least from the modeling standpoint, is the completion.
17 And if you look at the -- We can get a good sense for what
18 the completion is for those wells, yes. We can use --
19 That's a difficult question to answer.

20 Basically, we can take the early production data
21 and say that this well appears to have a fracture, this
22 long, this kind, and it's going to produce -- pretty much,
23 you match the difference in rates between the pilot wells,
24 mostly on the completion efficiency, the skin factor.

25 So you can use the early data within that, and I

1 have used the early data to say that the skin factor on
2 225E is this, 226E is this, 135E is this, 234 is this, so I
3 have done that. And then you can say, Okay, that does --
4 if I change the skin factor, I can match the production.

5 So if I change the skin factor with the current
6 geologic model for perm, thickness, I can match the
7 production and I can forecast out how it will do. But I've
8 only forecasted out how it will do in the sense that it's
9 the only additional well added to that area. I'm not sure
10 if I --

11 Q. To what area?

12 A. To the area that it exists in. For instance,
13 we're going --

14 Q. 160 acres, 80 acres?

15 A. Nine sections.

16 Q. Nine sections, okay. When you get a match like
17 that -- So it's not unreasonable to say that the difference
18 in the completion can be factored into your analysis, the
19 results of your model; is that right?

20 A. Yes.

21 Q. Okay. Then when your history matches, or when
22 your model matches, then, the production, factoring in the
23 difference in completion, how good a match is that, that
24 you receive for that one well?

25 A. It's -- the match -- You basically can vary the

1 completion to match anything. The match is fine, the match
2 is perfect. We don't know how good the fracture is. If I
3 go define the fracture however I want to match the
4 production of the current well, I can match it perfectly --

5 Q. With a perfect match --

6 A. -- in almost every case.

7 Q. What I'm getting at here is, if you have a
8 perfect match, what more data do you need to calibrate the
9 model?

10 A. I have a perfect match if the geologic model is
11 correct. There are enough variables, if you fix one, you
12 can change the other one if you get a match, but that's all
13 based on the premise that the first one is correct. What
14 we're saying is, we're not sure if the first one -- We have
15 a guess for the first -- the geologic model. You can go,
16 then, change the well efficiency, well-completion
17 efficiency, to match the production data.

18 But you have to hold one thing constant, and you
19 can vary the other, and you can always get a match. But
20 the problem is, what if this one isn't right? If you
21 change this one, then your completion efficiency is
22 different. There's an interrelation between the two, and
23 it's an iterative process.

24 So we would like to go back -- the main driver is
25 going to be the -- We think we can say, if we look at a

1 finite production period and we have the right geologic
2 model, we can predict how well this model will produce in
3 the absence of additional wells, with additional wells, et
4 cetera, et cetera. We think -- And basically, if you have
5 the right geologic model and you match the early production
6 data, we think you can say how it will produce from then
7 on.

8 But we want to go back and calibrate the first
9 step. There are enough variables that you can -- There's
10 an unlimited number of matches for anything, it's an
11 infinite number of possibilities. We're choosing the
12 geologic model constant based on our pressure information,
13 changes of well completion efficiency, until we match the
14 pilot well production.

15 If I'm not explaining this --

16 Q. So what you're adjusting, then, is actually your
17 well-completion efficiency?

18 A. For this geologic model we adjust our well-
19 completion efficiency until we see predicted rates that
20 match the 220-day to 30-day to 60-day rates from our six
21 pilot wells, yes. It's a bit of voodoo.

22 Q. I beg your pardon?

23 A. It may sound like a bit of voodoo, but that is --
24 yes, that is what we do.

25 Q. Yes. Why are nine wells more important than,

1 say, eight wells or seven wells or six wells or one well
2 within this area?

3 A. I think the number nine is fairly arbitrary. We
4 think we need a -- I don't think we necessarily know how
5 many wells we do need, but we know that we need more than
6 one data point. I don't know if we know what the upper
7 limit is, and that is -- I think we're leaving that
8 intentionally ambiguous. We think that we need a
9 representative sampling, and we just picked a big enough
10 area that if you drill that area on basically 80 acres, you
11 end up with nine additional wells.

12 Q. So did you do a statistical analysis to see how
13 your quality of your calibration would be if you used fewer
14 wells?

15 A. No, we did not.

16 Q. So conceivably you could go to a smaller area and
17 use fewer wells and still have a model that, as you say,
18 might be perfect?

19 A. You've lost me on the model-being-perfect part.

20 Q. Well, you had -- I'm sorry, your match would be
21 perfect is what you had said earlier, not the model.

22 A. We feel that -- The less data you have, the more
23 possible answers there are. There are enough things that
24 you can change -- If you have one data point, you don't
25 know if changing this one is important or this one is

1 important or that one is important or this one is
2 important. But if you have ten data points and you have to
3 match ten data points, you start to see what's really
4 important.

5 And that's we're saying, is, you constrain the
6 number of possible answer and the possible realizations if
7 you have more data. If we had infinite data and infinite
8 equations, we can solve for it. But right now we've got a
9 lot of possible variables and one data point. So we have
10 to fix different things and vary others.

11 But if we have ten data points, we have a much
12 better chance -- if we have what we feel is a significant
13 number of data points, we have a much better chance of
14 having a constrained answer.

15 Q. When you say "much better", how much better?

16 A. Well, it should be ten times more accurate.

17 Q. So --

18 A. Your error -- Basically, your standard deviation
19 will be divided by ten. So if your standard deviation is
20 -- I think the gas in place is -- the average is 15, and I
21 see that maybe it's 21 or it's 12, and so my deviation is
22 2, 3 BCF, well, if I go and I have ten data points and
23 match it, you would expect that your standard deviation
24 would be half a BCF, or a tenth of that. It's a sampling,
25 basically, issue.

1 Q. Would you be able to supply a statistical
2 analysis of that to show the qualitiveness? You just did
3 that off the top of your head. Would that --

4 A. I mean, I can show that sigma divided by N is --
5 I'm not comfortable doing that at this point, no.

6 Q. Okay. Using the current model you have, if you
7 were to extrapolate it to, say, the southwest portion of
8 the unit where the Twowells is nonexistent, would you
9 expect to match the production there with your model pretty
10 closely?

11 A. Well, we're trying to use our model -- We're
12 trying to calibrate it on Terry's answer in one place, and
13 then we would then go use Terry's answer in the other
14 place, and I can't tell you how that would do.

15 But we would expect that the geological model, if
16 it fits in one place, the expectation would be that it
17 would fit in another place. And that's primarily due to
18 the fact that we think qualitatively our geological model
19 is correct, but quantitatively it may not be 100-percent
20 correct.

21 So if Terry's model says it's 20 feet of pay, and
22 he says it's 10 feet of pay here, we think there's really
23 twice as much pay, but it really may be 23 and 11.5. So if
24 we can firm it up here, we would be comfortable going to
25 the other place and saying, yeah, we think that that model

1 would describe the production, would describe what would
2 happen if we increase the density there. And that's the
3 basis.

4 We basically want an analogy we can transfer
5 based on, pretty much, net effective pay.

6 Q. So if I understand that correctly, then, if you
7 were to gather data from someplace outside of this small
8 area, the model would be transferable?

9 A. The concept is transferable. The model, in terms
10 of -- When I think of the model, I think in terms of this
11 layer is this thick, this layer is that thick, this layer
12 is this thick. But we would need to know what the data
13 inputs were at that model. We would need to know the -- at
14 that area. We would need to know how much their wells
15 produced.

16 Conceptually, I think you can apply the same
17 concept anywhere, that if you could go through and say,
18 I've looked at the logs similarly to the way I looked at
19 the logs here, and the answer there is X and this answer is
20 Y, and we know how Y performs, we can predict how X would
21 perform.

22 Q. Okay. Given that, given the variability of
23 geology you heard across the unit, wouldn't it be more
24 beneficial, then, to perhaps get data from the other
25 undrilled 32, 34 locations that are existing within the

1 unit in other places?

2 A. More data is always good. We're looking at
3 drawing a line in the sand and saying, We want an analogy
4 we can apply, but we don't want to actually have to go do a
5 -- we don't want our pilot to be drilled, what we wanted --
6 to drill 80 acres everywhere, because then, like you said,
7 if we're clearly defining this by drilling on 80 acres, and
8 it only tells us about this area, what have you really
9 done?

10 We're looking to say, We can take this area
11 somewhere else. And if the geological model is correct
12 here, we're going to assume it's correct there, and we
13 could basically apply it conceptually to the other area.
14 We'd prefer not to drill up the whole unit to prove we
15 could drill the whole unit.

16 Q. Well, if you were to use the 160 wells, gather
17 the data from the undrilled or partly drilling 160 infill
18 locations --

19 A. Okay.

20 Q. -- wouldn't that give you a better quality of
21 calibration for your model across the unit?

22 A. Yes, it would.

23 MR. CHAVEZ: Okay, I think that's all I have.

24 EXAMINER CATANACH: Okay.

25 MR. KELLAHIN: Follow-up question, Mr. Examiner.

1 FURTHER EXAMINATION

2 BY MR. KELLAHIN:

3 Q. Let's follow Mr. Chavez's line of reasoning. If
4 you go ahead and drill up the rest of the unit on current
5 density, is that going to tell you anything about whether
6 or not you should go to 80-acre density?

7 A. Not as much, because you're much less likely to
8 see any depletion at 160-acre spacing.

9 Q. You're not going to know any more than you know
10 now, right?

11 A. When we originally drilled the second well in the
12 GPU, basically it took a long time to get those wells on
13 line, and so we essentially got bottomhole pressure at
14 those wells, initial pressure with no production, and we
15 saw that there was virtually no depletion, because -- by
16 drilling -- we're drilling actually -- the pilot wells we
17 drilled are -- by being 80s, they're closer to producers,
18 and you actually can see the depletion, and you can use the
19 pressure information.

20 But if your drainage hasn't got to that point yet
21 because you're drilling 160s, the information -- the only
22 data point you know is, my drainage hasn't got to this
23 point. You don't know that the offset well that produced 2
24 BCF has drained 20 percent of my production here.

25 Q. So the additional nine wells will give you an

1 opportunity for data that you can't achieve otherwise?

2 A. That you cannot achieve by drilling 160s.

3 MR. KELLAHIN: That's right. No further
4 questions.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 Q. So once you obtain the data from the nine wells
8 and you recalibrate your model, your reservoir-simulation
9 model, that will enable you to refine the geologic model or
10 to --

11 A. It will be a give-and-take iterative process
12 between that and the geologic model. It will give us a
13 better sense for how well our ability to predict net pay
14 from the logs -- how accurately we do that, at least from
15 the modeling standpoint, that's -- we will be able -- We
16 have an estimate of what the net pay is by going through
17 all the logs.

18 But we don't have enough core data to say this
19 porosity, this permeability and things like that. We just
20 have to kind of qualitatively say this is pay, this isn't
21 pay, based on a lot of work Terry's done on porosity logs
22 and gamma ray and correlations.

23 But yeah, we think that this will kind of scale
24 the geologic model, and the geologic model will scale this,
25 and there will be a give-and-take and we'll come up with a

1 better answer.

2 Q. So once you have a better geologic model, you can
3 take that and apply it to other areas in the unit?

4 A. That's the hypothesis, yes. That's the plan.

5 Q. Well, how do you do that? Do you -- Then you'll
6 have the simulation, you input that data into the
7 simulation in other areas of the unit?

8 A. Yes.

9 Q. And you should be able to predict well
10 performance?

11 A. Right, so we could evaluate different development
12 scenarios, one additional well per GPU, two per GPU,
13 whatever we think is appropriate, and then proceed on that
14 type of path.

15 Q. Could it be applied to areas outside the unit?

16 A. If we felt that the geology was -- that the
17 methodology for determining what is and isn't pay -- if we
18 felt that the net effective -- If we had a net effective
19 pay map that was accurate in our unit and was done by the
20 same method or similar methodology throughout the Basin,
21 yeah, I would assume that you could apply it wherever.

22 Q. Okay, your Exhibit Number 29 for the nine-section
23 area, that is for the increased recovery that's going to
24 result from drilling the new wells?

25 A. In addition to the 225E. It's going to be the

1 nine wells we're proposing now plus the pilot well, the
2 225E, the other 80-acre well.

3 Q. Okay. And that was determined from your
4 simulation?

5 A. That's correct, yes.

6 Q. And part of the data that you'll be gathering
7 will help to verify whether this is correct or not?

8 A. Right, this will be our pre-work estimate, and
9 then we'll see what our post-work estimate is.

10 Q. Are you going to be able to determine what the
11 cumulative recovery of the new wells is going to be, what
12 they're going to recover ultimately?

13 A. I think so. Yes, we should be able to. If we
14 can see enough of the early time data and we can correctly
15 tell how much gas there is in place, we should be able to
16 pretty much forecast the interrelation between those wells
17 and the existing wells accurately.

18 Q. And on Exhibit Number 30 for the 189F, this is
19 what the simulation currently predicts how this well will
20 behave --

21 A. Yes, that's correct.

22 Q. -- when it's ultimately drilled?

23 High initial producing rates, 1200 MCF a day,
24 that decline rapidly to less than 200 MCF a day; is that --

25 A. Within two years, yes.

1 Q. Okay, that's what it predicts?

2 A. That's what it -- Right, that's correct.

3 Q. Did you guys -- Before you drilled the first six
4 wells, did you do a similar type of simulation for those?

5 A. We did.

6 Q. And how did that come out?

7 A. And this is -- I'm going off what we brought you
8 last time, that we came in with a higher gas-in-place
9 estimate, and we came in with much lower initial production
10 rates from the wells.

11 And I would attribute that to the -- Well, the
12 modeling was done by people outside of San Juan, and they
13 didn't take into account the fact that we're going to put
14 big hydraulic fractures on these wells, and so they had
15 wells that came on at 200 MCF a day and stayed very
16 constant for a long time, as opposed to wells that came
17 on...

18 So we're seeing rates much higher than we would
19 have expected from the old simulation work, but it's -- the
20 old simulation work wasn't entirely accurate in that sense.

21 Q. So have you used the new data that you've
22 obtained from the drilling of the six wells to update your
23 simulation?

24 A. Yes, when I went through and we estimated how
25 these new wells were going to perform, we gave them 500-

1 foot frac half links and that accompanying skin, and based
2 -- to get the kind of rates that we saw from our six pilot
3 wells, yes.

4 Q. Okay. Your economics that you presented for
5 these wells, that doesn't take into account a Mesaverde
6 completion in the wellbore?

7 A. No, it does not.

8 Q. So that increases your economics?

9 A. That's correct, yes.

10 EXAMINER CATANACH: Okay, I have nothing further.
11 Mr. Chavez?

12 MR. CHAVEZ: Follow-up?

13 EXAMINER CATANACH: Sure.

14 FURTHER EXAMINATION

15 BY MR. CHAVEZ:

16 Q. In getting data on a 160-acre infill well, if the
17 original well had not drained that portion of that 320
18 acres and you got original reservoir pressure, wouldn't
19 that be significant and important in your model?

20 A. It is, and we did honor that in the model that --
21 The way we did the modeling to estimate the gas in place,
22 when we did the pressure-matching in the model, one of the
23 other -- in addition to having the constraint that the
24 pressure at the pilot well we drilled had to match what we
25 actually observed, I actually went through on the 160-acre

1 wells, and I had the constraint that the pressure when we
2 drilled those wells at that exact point could not be more
3 -- less than 97 percent of the original gas -- original
4 reservoir pressure.

5 So that doesn't -- that's not much -- all you're
6 saying is, the pressure has -- All I was saying was, the
7 pressure -- your drainage couldn't have gotten there yet,
8 but that didn't really define where it was, if that's...

9 So that is an additional constraint. You could
10 say, My model needs to ensure that when I drill these 160
11 -- that if I start in 1970 drilling 320s and in 1980 I go
12 drill 160s, when I drill those wells, my model needs to
13 say, hey, the pressure there is still virgin pressure. And
14 that was a constraint I did put in.

15 Q. Okay, then, from your model can you estimate or
16 predict the amount of area to be drained by well?

17 A. You can estimate the pressure at any distance
18 from the well. So in that sense you could say that right
19 next to the well it's basically surface pressure, and on
20 out. So you could say that here there's 5 percent of the
21 gas, 10 percent -- in that sense, yes, it's -- To drill an
22 actual circle around the well, you'd have to say, What do I
23 want to say? Do I want to say that -- How far away from
24 the well am I at 90 percent of the reservoir pressure or 60
25 -- Whatever you chose to define as your drainage area, the

1 model could tell you what that was, you know. But...

2 You could say where is the transient, yeah, where
3 -- how far out from the well have I seen any depletion at
4 all? Yes, the model will tell you that.

5 Q. Okay, so it might be helpful, then, to gather
6 that data from the 160-acre infill wells, whether it was
7 partially drained or not on that 160, for your model?

8 A. It might -- It would be helpful. Ideally, we'd
9 like to see 500, 600, 400, 800 pounds of depletion. If
10 we're looking at the difference between 50 pounds and 75
11 pounds or no depletion, you start there to get to errors
12 within just how accurately you're measuring the pressure.

13 Ideally, we like to see data points where there's
14 been some effect, but there's been -- The more effect by
15 the offsets, the better. I mean, the better it is for --
16 that you're -- the more convinced you are that the offset
17 actually caused there to be less pressure there than you
18 would expect.

19 If it's -- You know, our original pressure
20 estimate may be off by 50 pounds. So if you only assume 50
21 pounds of depletion, it's hard to true that necessarily to
22 the drainage from a 320 well reaching a 160.

23 Q. Okay. On your Exhibit Number 31 you testified to
24 increased density economics. Is this -- You prepared this?

25 A. Yes, I did.

1 Q. So you're estimating, then, and your testimony is
2 that these wells are economic wells?

3 A. Yes, I am.

4 Q. How do you reconcile that with Exhibit Number 12,
5 where Mr. Shannon said that one of his objectives was to
6 test whether these wells were economically viable? Haven't
7 you already met that objective then?

8 A. Well, we're predicting these wells. We're
9 predicting the wells that we haven't drilled yet will be
10 economically viable. So we're going to go test that
11 concept by doing the wells, by drilling the wells,
12 recalibrating the geologic model, putting the production
13 data in and seeing if we really get this kind of...

14 So if you look at -- 31 is our projected
15 economics, so that may be misleading. It's the economics
16 of a simulation run if we drill the nine additional wells.
17 So it's a forecasted economics for the nine additional
18 wells.

19 And I think what Mr. Shannon is saying is, We'd
20 like to go out and actually do these wells to see if that's
21 correct.

22 Is that clear?

23 Q. If the production came in at -- using your model,
24 at -- Let me ask you this way: How much less production
25 would a well have to have from your model, or in actuality,

1 to not be an economic well? Fifty percent? Or let me ask
2 you, would an 80-acre well be economic at 50 percent of
3 what you predict the production would be?

4 A. No, it would not. I cannot tell you what the
5 exact number is. I'm guessing -- If we're talking 730
6 million cubic feet per additional well is what we're
7 forecasting, I think the break-even is about half a BCF, in
8 additional incremental reserves per well, is about the
9 break-even for a Dakota single.

10 Q. Okay, so your economic viability will be -- based
11 at that line, you haven't -- For example, in looking at the
12 economic viability and using your calculated economics, you
13 haven't put together a chart or something that might be
14 helpful to understand, for us, what you're looking at here?

15 A. No, but I could. There is no chart in any of
16 these exhibits showing the range of possibilities, showing
17 the economics for a range of possibilities. We're going to
18 go and say, We think this is our best guess of the
19 possibility, and once we drill the wells we'll have an
20 update and we can -- No, no, I do not have a chart that
21 shows that.

22 Q. Given the quality --

23 A. I have a mental image of it.

24 Q. Given the quality of the actual production to
25 your matching, how accurate would you say your estimate is?

1 You said you had a really good match on your model against
2 the production, so would you say that Exhibit 31 is 98-
3 percent correct, 99-percent correct?

4 A. Well, I think we need to drill the wells to say.
5 But for the geologic model we have, and for what we've seen
6 from our six pilot wells, which only one of them is in this
7 area that we're predicting here, we're using those six
8 wells to get an idea of what we think the completion
9 efficiency would be for a new well, we're using the
10 pressure data to predict what we think the gas in place
11 would be.

12 And those two variables interreact, and when
13 those two -- for the averages we've chosen, that this is
14 the answer. We won't know -- I won't know how accurate
15 this is until we actually drill the wells.

16 Q. But do you have some sense of probability that it
17 has a certain degree of accuracy? Is that based on your
18 corporate plan for ROI on wells? I'm wondering, your --
19 Everybody has a way to make these business decisions, so
20 you must think that all these wells are important enough
21 and profitable to drill.

22 A. We tend to do things based on our average
23 estimate, and this is our average estimate, it's economic.
24 We as a corporation would go forward based on this as our
25 most likely hypothesis.

1 I'm not comfortable giving quantitative ranges of
2 what could happen, but we definitely think that this may
3 not happen. Hopefully -- that there's a 50-percent chance
4 it will be better, and there's a 50-percent chance it will
5 be less if we're really accurate, and this is our average
6 estimate. That's -- I'm --

7 Q. Well, you're getting at the pilot wells that were
8 drilled by that development?

9 A. The 219E -- or 219M, maybe, because they're
10 uneconomic. And you know, again we've -- it's -- and when
11 we're talking about uneconomic or economic, it's based on
12 how accurate our forecast is of how they're going to do
13 from now on. And we're not 100-percent sure that we have
14 an accurate forecast of how they're going to do from now
15 on.

16 You know, most of them have produced at fairly
17 high rates for the point we -- period we tested them. But
18 we need to get additional data to be able to be comfortable
19 with saying how we think we're going to do from here on.

20 If it was me, I would say five out of six of them
21 are really strong economic projects. But that's based on
22 them being the only well we had in that area. You know,
23 what we're talking about here is going in an adding nine
24 additional wells in the area. They're going to steal some
25 gas from that well and the other wells, and it's going to

1 change the economic picture.

2 But we think -- I would say five out of six
3 wells, by themselves, as stand-alone projects, if we didn't
4 do any more drilling, would be really good economic
5 projects.

6 MR. CHAVEZ: Thank you.

7 EXAMINER CATANACH: Anything further from this
8 witness?

9 This witness may be excused.

10 MR. KELLAHIN: Mr. Examiner, the representative
11 from the Bureau of Land Management would like to make a
12 sworn statement.

13 EXAMINER CATANACH: Yes, sir. Were you sworn in?

14 MR. DEMBOWSKI: No, sir.

15 EXAMINER CATANACH: Okay, can we do that, please?

16 (Thereupon, the witness was sworn.)

17 RICHARD K. DEMBOWSKI,

18 the witness herein, after having been first duly sworn upon
19 his oath, testified as follows:

20 MR. DEMBOWSKI: For the record, my name is
21 Richard Dembowski. I'm the Petroleum Management Team
22 Leader in the Farmington Field Office of the Bureau of Land
23 Management. I've been working closely with Conoco, as have
24 other members of my team throughout the generation period
25 of this project.

1 The BLM, as you -- well, we're all aware -- is
2 charged with ensuring the conservative production of
3 mineral resources and maximizing return to the American
4 people. So we are the mineral owners' representatives,
5 essentially the mineral owners.

6 Regarding the proposed expansion, my teams
7 conducted a detailed review of the engineering and geologic
8 datum, and BLM takes the position that the pilot be
9 approved as proposed.

10 The affected wells are located in a unitized area
11 containing predominantly federal minerals. There are no
12 correlative-rights issues apparent in the proposal. The
13 wells are located not only within the unitized area but
14 within established participating areas, of which Conoco is
15 the operator, and that applies to both the Dakota and
16 Mesaverde.

17 The fracture identification procedures that you
18 heard earlier in testimony support the ongoing analysis
19 efforts being performed by New Mexico Tech in reference to
20 the San Juan Basin.

21 In addition to working with industry, under both
22 industry and Department of Energy funding, New Mexico Tech
23 is also working with the Farmington field office,
24 specifically with my team, under a cooperative funding
25 agreement. This cooperative agreement has been activated

1 so that Tech, in conjunction with industry, NMOGA, NMOCD
2 and the Bureau of Land Management, may develop a reasonable
3 foreseeable development scenario for the San Juan Basin.
4 This is in conjunction with our resource management plan we
5 write that we have ongoing right now in the Farmington
6 area. The information that Conoco proposes to gather
7 during this pilot will be critical and will further support
8 this collaborative effort with New Mexico Tech.

9 The pilot extension makes provisions for maximum
10 wellbore utilization, given the planning for multiple-zone
11 completions and downhole commingling.

12 The Bureau of Land Management supports this
13 effort completely. This proposal resolves all surface-
14 impact issues with the BLM through the reduction in the
15 number of wells that will be required to drain those
16 multiple reservoirs. The pilot expansion will also serve
17 to prove both new reserves and accelerate recovery on
18 existing reserves.

19 With approximately -- well, you've heard from 7
20 to 10 BCF in cumulative additional recovery, including
21 accelerated, you're looking at something over \$3 million in
22 net royalty revenue that will accrue to both the State of
23 New Mexico and the federal government. This does not
24 consider any severance taxes or any other taxes that may be
25 imposed on a local level.

1 In summary, the BLM supports this pilot expansion
2 program in the strongest possible terms.

3 That's all I have, sir.

4 EXAMINER CATANACH: Thank you.

5 Mr. Kellahin, do you have anything further in
6 this case?

7 MR. KELLAHIN: No, sir, that concludes our
8 presentation, Mr. Examiner.

9 EXAMINER CATANACH: There being nothing further
10 in this case, Case 12,556 will be taken under advisement.

11 And this hearing is adjourned.

12 (Thereupon, these proceedings were concluded at
13 3:19 p.m.)

14 * * *

15
16
17
18 I do hereby certify that the foregoing is
19 a true and correct copy of the proceedings
20 of the hearing held on December 7, 12556
21 at [redacted] - 2000
22 [Signature]
23 [Title]


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 13th, 2000.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 2002