

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: ) CASE NO. 12,663  
)  
APPLICATION OF DAVID H. ARRINGTON OIL )  
AND GAS, INC., FOR AN UNORTHODOX WELL )  
LOCATION AND SIMULTANEOUS DEDICATION, )  
LEA COUNTY, NEW MEXICO )  
\_\_\_\_\_ )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

June 14th, 2001

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, June 14th, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

OIL CONSERVATION DIVISION  
01 JUN 28 PM 8:39

## I N D E X

June 14th, 2001  
 Examiner Hearing  
 CASE NO. 12,663

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESS:	
<u>BILL BAKER, JR.</u> (Geologist)	
Direct Examination by Mr. Feldewert	6
Cross-Examination by Mr. Hall	17
Examination by Examiner Catanach	26
Further Examination by Mr. Feldewert	36
PERMIAN WITNESSES:	
<u>ROBERT MARSHALL</u> (Geologist)	
Direct Examination by Mr. Hall	38
Cross-Examination by Mr. Feldewert	44
Examination by Examiner Catanach	50
Further Examination by Mr. Feldewert	52
<u>MICHAEL L. STEWART</u> (Engineer)	
Direct Examination by Mr. Hall	53
Cross-Examination by Mr. Feldewert	71
Redirect Examination by Mr. Hall	77
Examination by Examiner Catanach	78
Further Examination by Mr. Hall	83
CLOSING STATEMENTS:	
By Mr. Feldewert	84
By Mr. Hall	86
REPORTER'S CERTIFICATE	88

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	17
Exhibit 2	8	17
Exhibit 3	10	17
Exhibit 4	11	17
Exhibit 5	13	17
Exhibit 6	14	17
Exhibit 7	14	17

\* \* \*

Permian	Identified	Admitted
Exhibit 1	39	44
Exhibit 2	41	44
Exhibit 3	54	70
Exhibit 4	56	70
Exhibit 5	58	70
Exhibit 6	60	70
Exhibit 7	61	70
Exhibit 8	59, 66	70
Exhibit 9	62	70
Exhibit A	23	37

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

DAVID BROOKS  
Attorney at Law  
Energy, Minerals and Natural Resources Department  
Assistant General Counsel  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR  
110 N. Guadalupe, Suite 1  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: MICHAEL H. FELDEWERT

## FOR PERMIAN RESOURCES, INC.:

MILLER, STRATVERT and TORGERSON, P.A.  
150 Washington  
Suite 300  
Santa Fe, New Mexico 87501  
By: J. SCOTT HALL

## ALSO PRESENT:

RICHARD EZEANYIM  
Chief Engineer  
New Mexico Oil Conservation Division  
1220 South Saint Francis Drive  
Santa Fe, NM 87501

\* \* \*

1                   WHEREUPON, the following proceedings were had at  
2                   1:10 p.m.:

3  
4  
5  
6  
7                   EXAMINER CATANACH: Call the hearing back to  
8                   order at this time and call Case 12,663, which is the  
9                   Application of David H. Arrington Oil and Gas, Inc., for an  
10                  unorthodox well location and simultaneous dedication, Lea  
11                  County, New Mexico.

12                  Call for appearances in this case.

13                  MR. FELDEWERT: May it please the Examiner,  
14                  Michael Feldewert. I'm with the law firm of Holland and  
15                  Hart and Campbell and Carr here in Santa Fe, for the  
16                  Applicant, David H. Arrington Oil and Gas, Inc., and I have  
17                  one witness today.

18                  MR. HALL: Mr. Examiner, my name is Scott Hall.  
19                  I'm with the Miller Stratvert Torgerson law firm, Santa Fe,  
20                  appearing on behalf of Permian Resources, Incorporated, and  
21                  I have two witnesses this afternoon.

22                  EXAMINER CATANACH: Any additional appearances?

23                  Okay, will the three witnesses please stand to be  
24                  sworn in?

25                  (Thereupon, the witnesses were sworn.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BILL BAKER, JR.,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. FELDEWERT:

Q. Mr. Baker, would you please state your full name and address for the record?

A. Bill Baker, Jr., and I live in Midland, Texas.

Q. And by whom are you employed, and in what capacity?

A. David H. Arrington Oil and Gas, Inc., as exploration manager.

Q. Have you previously testified before this Division and had your credentials as an expert in petroleum geology accepted and made a matter of record?

A. Yes, sir, they have been.

Q. And are you familiar with the Application that's been filed in this case?

A. Yes, sir, I am.

MR. FELDEWERT: Mr. Examiner, are the witness's qualifications acceptable?

EXAMINER CATANACH: Any objection?

MR. HALL: No objection.

EXAMINER CATANACH: Mr. Baker is so qualified.

Q. (By Mr. Feldewert) Mr. Baker, why don't you

1 identify and review Arrington Exhibit Number 1 and briefly  
2 state what Arrington seeks with this Application?

3 A. Okay, Arrington Exhibit Number 1 is a land plat  
4 showing the potential wellbore and the lands enclosed in  
5 Section 14 of Township 16-35. The well in question, the  
6 Mayfly "14" State Number 7, is located in the very  
7 northeast of the northeast quarter of Section 14, so  
8 located by a little red dot right there.

9 Arrington is requesting to recomplete the  
10 Arrington Mayfly "14" State Com Number 7 into the Strawn  
11 formation, which is part of the North Shoe Bar-Strawn Pool,  
12 at an unorthodox location 330 feet from the north and the  
13 east lines of Unit A of Section 14.

14 And we also seek a simultaneous dedication of  
15 this well to the previously approved 160-acre oil spacing  
16 and proration unit, consisting of the northeast quarter of  
17 Section 14.

18 Q. And is that oil spacing and proration unit  
19 highlighted in yellow?

20 A. Yes, sir, that is.

21 Q. Okay. Why don't you briefly review for the  
22 Examiner the history of Arrington's existing Mayfly "14"  
23 State Com Well Number 7?

24 A. Okay. The Mayfly "14" State Com Number 7 was  
25 originally proposed and drilled as a Morrow test, taken

1 down to the top of the Mississippian formation. The well  
2 tested noncommercial in the Mississippian Chester  
3 formation. The Morrow formation that we went after was not  
4 present in the wellbore.

5 We subsequently recompleted in a little Cisco  
6 carbonate zone that's at a depth of approximately 10,900  
7 feet, and it basically depleted on test. And the well has  
8 been currently shut in pending this hearing for  
9 recompletion to the Strawn.

10 Q. So you tested noncommercial in the Mississippian?

11 A. Yes, sir, we did.

12 Q. How long did you produce out of the Cisco  
13 formation?

14 A. Less than a week.

15 Q. Trying to salvage the well, then, by uphole  
16 completion in the Strawn?

17 A. Yes, sir, this is our last formation that appears  
18 to be productive in this wellbore, and we just hope to  
19 salvage something out of the well.

20 Q. Okay, why don't you identify for the Examiner  
21 Arrington Exhibit Number 2?

22 A. Arrington Exhibit Number 2 is the Division Order,  
23 Case Number 12,381, Order Number R-11,403, and this is the  
24 Division Order granting us the right to drill the original  
25 wellbore.

1 Q. Is this the Division Order that approved the  
2 unorthodox gas well location?

3 A. Yes, sir, it is.

4 Q. Okay. Now, this Division Order also references,  
5 in paragraph (4) on page 5, a production penalty of 50  
6 percent on this well. Does Arrington propose that this  
7 same penalty also apply to your proposed recompletion in  
8 the Strawn?

9 A. Yes, sir, we do.

10 Q. Do you have an agreement with Yates that also  
11 talks about a 50-percent production penalty?

12 A. Yes, sir, we do.

13 Q. Does Yates oppose this Application?

14 A. No, sir, they do not.

15 Q. Okay. Why is this well unorthodox in the Strawn  
16 formation at its 330 location?

17 A. Well, basically, the special pool rules for the  
18 North Shoe Bar-Strawn field require a 660 offset to unit  
19 lines and 150 feet from the center of the quarter-quarter  
20 section. Our current wellbore is at a location of 330 feet  
21 from the north line by 330 feet from the east line,  
22 indicating it's unorthodox.

23 Q. But you're not unorthodox by 50 percent, are you?

24 A. No, sir, we're not.

25 Q. You referenced the special pool rules. Has that

1     been marked as Arrington Exhibit Number 3?

2             A.    Yes, sir.

3             Q.    And the 150-foot-of-the-centerline requirement is  
4     found where in those pool rules?  I believe it's Rule 4; is  
5     that correct?

6             A.    Yes, sir, I believe so.  Yes, sir, Rule 4.

7             Q.    Do the special pool rules for the North Shoe Bar-  
8     Strawn Pool, which have been marked here as Exhibit Number  
9     3, provide for any exceptions to this well-location  
10    requirement set forth in Rule 4?

11            A.    Yes, sir, I believe Rule 5 does provide for  
12    administrative approval of the unorthodox location if it's  
13    a recompletion of a well that's been previously drilled to  
14    another horizon.

15            Q.    Is that the case that we have here?

16            A.    Yes, sir, it is.

17            Q.    Okay.  Why didn't you seek administrative  
18    approval for this proposed uphole --

19            A.    We anticipated that we would be objected in this  
20    Application by Permian Resources as they originally  
21    objected to our original well proposal for the Morrow that  
22    was reflected in that original Order R-11,403.

23            Q.    The one that's been marked as Exhibit 2?

24            A.    Yes, sir.

25            Q.    Now, Arrington also seeks to dedicate this well

1 to an existing 160-acre oil spacing and proration unit; is  
2 that correct?

3 A. Yes, sir, we do.

4 Q. Why don't you briefly identify and review the  
5 status of that existing 160-acre oil proration unit for the  
6 Examiner?

7 A. The existing 160-acre proration unit is currently  
8 HBP'd by the Arrington Mayfly "14" Number 2. This well was  
9 originally drilled as a Strawn test. At the current time  
10 the well is producing at an average rate of between 390 to  
11 400 barrels of oil per day.

12 Q. Is there an allowable for this pool in these  
13 special pool rules?

14 A. Yes, sir, and that allowable is 605 barrels of  
15 oil per day.

16 Q. Is the Mayfly -- the existing well there, the  
17 Mayfly Well Number 2, is that meeting the allowable?

18 A. No, sir, it's not.

19 Q. Why don't you identify for the Examiner Arrington  
20 Exhibit Number 4?

21 A. Examiner Arrington Exhibit Number 4 is the last  
22 month in a week or so daily production for the Mayfly "14"  
23 State Com Number 2, and as you can see during the month of  
24 May the well had an average daily production of 389 barrels  
25 of oil per day and 964 MCF a day.

1           On the second page, right there, the days that we  
2 had up through June the 7th, the well had an average daily  
3 production of 397 barrels of oil per day and 961 MCF per  
4 day.

5           Q.    Do the special pool rules for the North Shoe Bar-  
6 Strawn Pool allow more than one well in a 160-acre spacing  
7 and proration unit?

8           A.    Yes, sir, they do.

9           Q.    Is that found in Rule 6?

10          A.    Yes, sir, Rule 6 allows for more than one well to  
11 be produced in a proration unit.

12          Q.    And is the purpose of that rule to allow the  
13 party to produce up to the depth bracket allowable --

14          A.    Yes, sir, it is.

15          Q.    -- spacing unit?

16          A.    Yes, sir.

17          Q.    What acreage is affected by this unorthodox  
18 location, and who owns that affected acreage?

19          A.    The southeast quarter of Section 11 will be  
20 affected, and this is currently operated by Yates  
21 Petroleum, and they have an offsetting well located at a  
22 standard location called the Runnels Number 2 well.

23          Q.    Is that an offsetting Strawn well?

24          A.    Yes, sir, it is.

25          Q.    Does Yates oppose this Application?

1           A.    No, sir, they do not.  We also have the southwest  
2 quarter of Section 12, which is Chesapeake Petroleum.  At  
3 this particular time there is no productive well in that  
4 southeast quarter, and we were not opposed by Chesapeake  
5 either.

6           Q.    And then we have -- Is it Permian who operates  
7 the --

8           A.    Yes, sir.

9           Q.    -- offsetting northwest quarter in Section 13?

10          A.    The northwest quarter of Section 13 is operated  
11 by Permian Resources, Inc., and they have a Strawn well in  
12 there, the Hilburn Number 1, that's at a standard location,  
13 and their Hilburn Number 2 well, which I believe is a  
14 Wolfcamp producer.

15          Q.    Is Arrington Exhibit Number 5 an affidavit with  
16 attached letters giving notice of this hearing to Yates and  
17 Permian?

18          A.    Yes, sir, it is.

19          Q.    Why wasn't Chesapeake notified of this hearing?

20          A.    Well, Chesapeake is a partner in Section 14 with  
21 us via a farmout from ICA, and they have a 25-percent  
22 interest in there, and they concurred in the recompletion  
23 and had no problems with their offset quarter in Section  
24 12?

25          Q.    Okay, so they're a partner and they don't have

1 any opposition. Is that reflected in Arrington Exhibit  
2 Number 6?

3 A. Yes, sir, it is.

4 Q. That's the letter in which Chesapeake waives any  
5 objection to your proposed unorthodox location in the  
6 Strawn?

7 A. Yes, sir, it is.

8 Q. So is the only party opposing this Permian at  
9 this time?

10 A. Yes, sir.

11 Q. Have you developed a cross-section for this well?

12 A. Yes, sir, I have.

13 Q. Is that marked as Arrington Exhibit Number 7?

14 A. Yes, sir.

15 Q. Okay, why don't you review that for the Examiner,  
16 please?

17 A. Okay, cross-section A-A' is a structural cross-  
18 section that basically goes through four wells. We'll  
19 begin on the left-hand side of A'. This shows the Yates  
20 Petroleum Runnels "ASP" Number 2 well. This well was  
21 drilled in May of 1999 as an Atoka-Morrow test. They  
22 encountered a Strawn interval. The well has been dually  
23 completed.

24 I've marked the Strawn perforations, as well as  
25 the productive rates; they're down at the bottom. Came off

1 for initial potential of 312 barrels of oil per day and 484  
2 MCF, has a total cumulative production of 310,000 barrels  
3 and about a B and is currently producing at a rate of 195  
4 barrels of oil per day and 1.7 million cubic feet of gas  
5 per day.

6 As you move to the right you will see the David  
7 H. Arrington Oil and Gas, Inc., Mayfly "14" Number 2. We  
8 drilled this well in September of 1999. It was strictly a  
9 Strawn test. Basically, we had an IPF of 773 barrels of  
10 oil per day and 1.6 million. The well has an approximate  
11 accumulation of 286,000 barrels and about .4 of a B. It is  
12 currently producing at a rate of 433 barrels of oil per day  
13 and 1.2 million cubic feet of gas per day.

14 And this rate on here, 433, this is back when I  
15 did this original exhibit, and that was the current day  
16 rate that that was at, so that was the most accurate that I  
17 had at that time.

18 The well, proceeding on from there to the further  
19 right, is the David H. Arrington Oil and Gas Mayfly "14"  
20 State Com Number 7. This well was drilled as a Morrow test  
21 into the top of the Mississippian formation.

22 What I've shown here is that we did encounter a  
23 Strawn interval right here, and we did drill stem test it.  
24 I marked the drill stem test results right there on the  
25 right of the wellbore. As you can see from that, we had

1 the zone open two hours, 15 minutes, we had gas to surface  
2 in five minutes, had oil to surface in 38 minutes, we  
3 recovered 71.5 barrels of oil, had an initial shut-in  
4 pressure of 2907 pounds and a final shut-in pressure of  
5 2886.

6 If you continue on across the cross-section you  
7 come to the Burns Corporation Witt Number 1 well. This is  
8 located in the southeast quarter of the southeast quarter  
9 of Section 11. This basically shows that they had Strawn  
10 intermound with no porosity developed at all. Basically,  
11 the algal mound had truncated and pinched out at that  
12 particular point.

13 Q. Who operates that well?

14 A. Yates Petroleum right now.

15 Q. And where is that located?

16 A. That is in the southeast quarter of the southeast  
17 quarter of Section 11.

18 Q. Do you know what the footage is on that well?

19 A. 330 from the south line, 330 from the east line.

20 Q. Okay. In your opinion, Mr. Baker, will the  
21 granting of this Application be in the best interest of  
22 conservation, the prevention of waste and protection of  
23 correlative rights?

24 A. Yes, sir, it will be.

25 Q. Is it your hope here to drill this additional

1 well in the Strawn, to allow you to make the allowable that  
2 the special pool rules for the North Shoe Bar-Strawn Pool  
3 allow?

4 A. Yes, sir.

5 Q. And you're seeking a well that's an additional  
6 well as allowed by the pool rules; is that correct?

7 A. Yes, sir.

8 Q. Were Arrington Exhibits 1 through 7 prepared and  
9 compiled under your supervision and direction?

10 A. Yes, sir, they were.

11 MR. FELDEWERT: Mr. Examiner, I would move the  
12 admission into evidence of Arrington Exhibits 1 through 7.

13 MR. HALL: No objection.

14 EXAMINER CATANACH: Exhibits 1 through 7 will be  
15 admitted as evidence.

16 MR. FELDEWERT: And Mr. Examiner, that concludes  
17 my direct examination of the witness.

18 EXAMINER CATANACH: Mr. Hall.

19 CROSS-EXAMINATION

20 BY MR. HALL:

21 Q. Mr. Baker, I assume that Arrington's offering no  
22 other witness to testify how the correlative rights of  
23 Permian will be protected by Arrington's Application; is  
24 that correct?

25 A. No, sir, nobody but me.

1 Q. When you first -- Arrington first considered its  
2 recompletion of the Number 7 well, did it first go through  
3 the steps typically associated with the protocol for  
4 nonstandard locations, exceptions from Rule 104? In other  
5 words, did you determine whether or not that there were any  
6 suitable Strawn locations at a standard location in the  
7 east half of Section 3 -- 13 rather?

8 A. You mean internally, did we assume --

9 Q. Yes.

10 A. -- do that? I think with the existing wellbore  
11 there, that we probably didn't look real hard at that,  
12 because we already had an existing well.

13 Q. So would you agree that there are viable Strawn  
14 locations to be drilled at standard locations in the east  
15 half of Section 13?

16 A. Very risky ones, if any.

17 Q. What did you do to evaluate those standard  
18 locations?

19 A. Well, I think basically you can see from the well  
20 control that the thing is thinning as you move to the east.  
21 And we showed that by moving to the north in the Burns well  
22 it went away real quick. And so based on that alone, in  
23 any direction to the east or the south, it can be --  
24 speculate that this thing could go away real fast.

25 Q. Is there any reason why Arrington can't

1 horizontally drill to a standard location in the Strawn?

2 A. Economics would basically dictate that.

3 Q. And that's the basis of Arrington's Application,  
4 isn't it? It's an economic consideration?

5 A. That's a big part of it, yes, sir.

6 Q. Let me ask you about the Number 7 well when it  
7 was originally a Morrow test. You had 320 acres dedicated  
8 to the well, correct?

9 A. Yes, sir.

10 Q. Was that acreage under a communitization  
11 agreement?

12 A. I think it was not. They filed it as a com  
13 agreement because the Mayfly "14" State Com Number 1 was  
14 under a com agreement, and that our people filed it as a  
15 com well. I don't think it had to be, if I'm not mistaken.

16 Q. All right. Do you know how many leases comprise  
17 the east half of Section 13?

18 A. No, sir, I do not.

19 Q. Is it more than one?

20 A. Yes, sir.

21 Q. Would you happen to know what the ownership is in  
22 the Morrow, as opposed to the Strawn? Is it different?

23 A. No, sir, I don't know the exact breakdowns of  
24 that.

25 Q. Do you know who the other partners were in the

1 Morrow test for the Number 7?

2 A. Well, I know that Chesapeake is one of them, and  
3 then two or three other little parties that, you know, I  
4 don't know the exact names of who they are, that are just  
5 little bitty guys that have interest in this thing.

6 Q. What proportion of the cost for the Morrow tests  
7 were borne by David H. Arrington?

8 A. About probably 67 to 70 percent.

9 Q. Okay, and do you know what cost of the Strawn  
10 recompletion are being borne by David Arrington?

11 A. Same.

12 Q. Do you know what Arrington paid to acquire its  
13 interest in the Morrow?

14 A. Paid to acquire its interest?

15 Q. Yes.

16 A. You mean the cost of the well, to drill the well?

17 Q. No, the lease interest.

18 A. No, sir, not the exact numbers. No, sir, I do  
19 not.

20 Q. Do you have an estimate?

21 A. I want to believe it was around \$600 an acre, is  
22 what we paid, and that was for all the rights.

23 Q. All horizons?

24 A. Yes, sir.

25 Q. You say that economics was the primary

1 consideration for this Application. Did you actually  
2 investigate the economics behind drilling horizontally to a  
3 standard location?

4 A. Well, first, I don't think we can drill  
5 horizontally; you might drill directionally to a legal one.  
6 But we really didn't consider that, as you have a wellbore  
7 sitting right here with your pay zone in it, and basically  
8 you've already agreed to a 50-percent penalty, which is  
9 we're 50 percent close to the line, so we really didn't  
10 consider going to a legal when we didn't have a reason to.

11 Q. All right, so the answer to my question is, you  
12 don't know what the cost difference would be?

13 A. No, sir.

14 Q. Mr. Baker, how will Permian's correlative rights  
15 in the pool be protected by Arrington's Application?

16 A. Well, I mean, I guess they're within their  
17 rights, if they feel like they're being depleted, to drill  
18 their own well over there to protect it.

19 Q. Well, let's refer to Exhibit 2, if you have that  
20 in front of you. Could you look at that exhibit at page 4  
21 again? Do you see Finding (14) on page 4 there? That  
22 finding says, "The evidence presented further demonstrates  
23 that drilling the Mayfly '14' State Com Well No. 7 at the  
24 proposed unorthodox gas well location may adversely affect  
25 the correlative rights of the interest owners in the W/2

1 and the southeast section [*sic*] of Section 12 and the W/2  
2 of Section 13."

3 Do you see that there?

4 A. Yes, I see that.

5 Q. Do you agree with that finding?

6 A. For the Morrow, and that was what that was based  
7 upon.

8 Q. Yes. Would you agree that the unorthodox  
9 location at the Strawn would also adversely affect the  
10 correlative rights of the interest owners in the west half  
11 of Section 13?

12 A. Possibly.

13 Q. Do you agree that the Strawn is continuous from  
14 the Number 7 wellbore eastward into Section 13?

15 A. At this particular time there's not enough  
16 geological evidence to say whether it is or is not. There  
17 has not been a well drilled up in that quarter to tell.

18 Q. Okay. Do you have any reason to suspect that it  
19 does not occur in the west half of Section 13?

20 A. I have no direct evidence to say it may or may  
21 not, no, sir.

22 Q. Isn't it true that at one time Arrington opposed  
23 the drilling of more than one well in these proration units  
24 for the North Shoe Bar-Strawn Pool?

25 A. Opposed it?

1 Q. Yes.

2 A. I don't know that we've ever opposed anyone  
3 directly in a case.

4 Q. Let me refer you to what's been marked as Permian  
5 Exhibit A. Do you recognize this letter?

6 A. Yes, sir, I do.

7 Q. This is a letter dated April 27th, 2001, signed  
8 by Mr. Arrington; is that correct?

9 A. Yes, sir.

10 Q. If you would look at that last paragraph on the  
11 first page, would you read that into the record, please?

12 A. "Further, it is our understanding that the  
13 Hilburn #1 Strawn producer is in the North Shoebar [sic]  
14 Strawn...which calls for 160 acre proration units, and the  
15 NW/4 is the spacing unit for the Hilburn #1. It is our  
16 understanding that another new drill Strawn well would not  
17 be allowed in this NW/4 without changing these field  
18 rules."

19 Q. How do you explain that change in position?

20 A. Basically, Mr. Arrington was not aware of  
21 simultaneous dedication, he didn't know you could  
22 simultaneously dedicate an additional to this at the time  
23 he wrote this letter, and he certainly did not consult me  
24 or our legal team.

25 Q. Why was Arrington opposed to drilling a second

1 well in the North Shoe Bar-Strawn at the time?

2 A. Well, I think in this particular letter here, he  
3 felt that you already had a Strawn producer in the quarter  
4 that was a commercial well, and there wasn't at this time  
5 reason to drill another one.

6 Q. Was it Arrington's understanding that a single  
7 well could efficiently and adequately drain Strawn reserves  
8 from those proration units in that pool?

9 A. I don't know about that, sir, no, sir.

10 Q. Hasn't Arrington taken the position in the past  
11 that the Number 2 well could adequately drain Strawn  
12 reserves in this northeast quarter?

13 A. I don't know that we've taken the position it  
14 could adequately drain them in an effective manner, no,  
15 sir, I'm not sure that we have.

16 Q. On your Exhibit 4, would you take that in front  
17 of you, please, sir?

18 A. Uh-huh.

19 Q. If you'll look at the choke-setting column, can  
20 you explain why that particular choke setting selected for  
21 the well?

22 A. No, sir, that is our production department and  
23 our engineering department.

24 Q. All right. Do you have any information with you  
25 reflective of how the GOR has been behaving for the well?

1 A. No, sir, I do not have anything with me, no.

2 Q. Is that a concern to Arrington?

3 A. I think the GOR is a concern to anyone, as far as  
4 production is concerned, yes, sir.

5 Q. Are you familiar with the nature of these  
6 volatile oil reservoirs, these Strawn pods?

7 A. Not to the point that I'm an expert, just from  
8 listening.

9 Q. Is there a concern on Arrington's part that  
10 having two wells within the same proration unit may  
11 adversely affect reservoir performance in a volatile oil  
12 reservoir like this?

13 A. Not if it's produced at the current allowable. I  
14 think if you increased it dramatically, trying to blow the  
15 reservoir down, I think we're all concerned about that,  
16 yes.

17 Q. And what plans does Arrington have for allocating  
18 the allowable for that northeast quarter between the two  
19 wellbores?

20 A. Specific, I don't know. My guess is, we would  
21 monitor production and try to keep it at 605 barrels of oil  
22 per day.

23 Q. Isn't it true that under the pool rules that was  
24 one of your exhibits, Arrington would be free to allocate  
25 the entirety of that allowable to the Number 7 wellbore at

1 its unorthodox location?

2 A. I believe the 50-percent rule would keep us from  
3 allocating the entire allowable to that wellbore.

4 Q. Mr. Baker, do you have any evidence you can  
5 present today that establishes that the pressure container  
6 for this Strawn reservoir does not continue into the west  
7 half of Section 14?

8 A. No, sir, I don't.

9 MR. HALL: Nothing further of the witness, Mr.  
10 Examiner.

11 EXAMINER CATANACH: Thank you, Mr. Hall.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Baker, the only offset production we  
15 currently have is up to the north in Section 11, and that's  
16 the Yates well?

17 A. Nearby, Mr. Catanach. I mean, Chesapeake and  
18 Yates have wells located in the north half of Section 12  
19 and the north half of Section 11 as well.

20 Q. Okay. Just with regards to the southeast quarter  
21 of Section 11, there is only one well in that quarter  
22 section?

23 A. In the southeast quarter, yes, sir.

24 Q. And that's the Runnels "ASP" Number 2?

25 A. Yes, sir.

1 Q. Do you know what the status is of the Yates well  
2 in Unit P of that section?

3 A. That well is currently producing at about a  
4 million a day from an off-the-Morrow sand, which was the  
5 original target that we went after with our Mayfly "14"  
6 Number 7.

7 Q. Does that well have potential to produce from the  
8 Strawn formation?

9 A. No, sir, and that's exhibited by that last well  
10 on my cross-section. It says Burns Corporation. They were  
11 the original operator. Yates is now the operator of it.  
12 My mistake for not putting Yates as the current operator.

13 Q. Okay. And then Section 12, the southwest  
14 quarter, there is no production currently from the Strawn?

15 A. No, sir.

16 Q. And in the west half of Section 13 there  
17 currently is no Strawn production?

18 A. In the west half of Section 13, as I understand  
19 it, the Hilburn Number 1, which is in the southwest quarter  
20 of the northwest quarter, if I'm not mistaken, I think it  
21 was the original discovery well for the North Shoe Bar-  
22 Strawn Pool, and it's made approximately, I think, 450,000  
23 barrels and about -- I think 1.5 BCF from the Strawn.

24 Q. Okay, is that a Permian well?

25 A. Yes, sir.

1 Q. Okay, southwest of the northwest?

2 A. Yes, sir.

3 Q. Okay. Have you tried to map this particular  
4 Strawn structure, Mr. Baker?

5 A. Yes, sir, we have.

6 Q. And do you know what the extent of this structure  
7 is?

8 A. Well, we have guesstimates on it, and we're  
9 guesstimating it's probably an 80- to 100-acre feature, and  
10 the best we can tell, it runs a kind of an east-west  
11 orientation. But we certainly don't know the eastern edge  
12 of it. We feel like we kind of know the western edge of  
13 it, we know the southern boundaries, and we know the  
14 northern boundaries of it.

15 Q. Is this the same structure that's being produced  
16 in the Hilburn well?

17 A. It's our belief that it's not, because our  
18 pressures when we drilled our well were virgin, and we have  
19 to believe with their well having made 450,000 barrels and  
20 we having this kind of pressure out here, there has to be  
21 some type of a perm barrier or something separating the  
22 reservoirs.

23 Q. But you don't have any geologic evidence to  
24 demonstrate that?

25 A. I'm afraid we cannot get down to any type of

1 resolution or isopach that you could see, you know, down to  
2 that small interval in between where our wellbore's at and  
3 where theirs is. I mean, there's a lot of open area in  
4 there that right now has not been proven one way or the  
5 other. So no, sir.

6 Q. Okay. Based upon your geology, do you feel  
7 there's a viable Strawn location in the north half of that  
8 quarter section?

9 A. Possibly. I think you have to believe that it's  
10 going to take an element of risk with it, simply because  
11 how you see ours thinning in the Mayfly 3 and how quickly  
12 it's moved to the north. But there's certainly, you know,  
13 the place for geologists to put in a location, yes, sir.

14 Q. Mr. Baker, do you have any drainage data on the  
15 existing Mayfly Number 2 well that you've -- have you done  
16 any drainage data on this?

17 A. We originally, when we first started producing  
18 the well, did some buildups and some volumetrics and stuff  
19 like that, and it was at that time that we kind of did some  
20 material -- or our engineer did some material balance, and  
21 guessed the reservoir to be about 82 acres in areal extent  
22 right here.

23 We have not shut the well in, in the last --  
24 goodness, I guess nine months, to confirm that material  
25 balance, and that's been due to oil prices and stuff, we've

1     been hesitant to shutting in the well.

2             Q.     So your answer is what?

3             A.     No, sir, not since the original stuff.

4             Q.     Have you done any estimates based on decline  
5     curve analysis or any other type of --

6             A.     As to what the total reservoir would produce?

7             Q.     What the drainage area of this particular well  
8     might be.

9             A.     No, sir, not beyond the material balance that we  
10    did, and I think some of the original EURs that our  
11    reservoir engineers came up with, the well has already  
12    exceeded some of those original numbers that they came up  
13    with.

14                    So that tells you you've got a thickness size --  
15    you've got something in there that's not quite right. And  
16    we've done everything that we know, without shutting the  
17    well in and doing another material balance, to estimate  
18    that. But it's probably between 80 to 100 acres in size.

19             Q.     So you don't know at this point whether the  
20    Number 2 well will adequately drain that structure on your  
21    unit?

22             A.     Not 100 percent, no, sir. I think you have to  
23    feel like it's going to get a good chunk of it, but I think  
24    we also feel that by recompleting in the Number 7 well,  
25    we'll salvage that wellbore there, and then basically we

1 would just accelerate some of the reserves that the Number  
2 2 would probably get.

3 Q. Is the Number 2 well, is that a conventional  
4 vertical well?

5 A. No, sir, it's not.

6 Q. Can you tell me what that is?

7 A. That is a horizontal well. It was drilled as a  
8 conventional pilot test hole, and when we encountered the  
9 Strawn, we turned it due east, slightly south and east, and  
10 drilled it approximately 1300 feet to the east. And you've  
11 got a bottomhole location there that I believe is 760 from  
12 the north by 660 from the east line.

13 Q. Approximately how long is the horizontal section  
14 in the Strawn in that well, Mr. Baker?

15 A. That would be 1320 feet.

16 Q. So you've got a horizontal section that extends  
17 into both of the 40-acre tracts --

18 A. Yes, sir.

19 Q. -- on that well?

20 A. Yes, sir, we do.

21 Q. The 50-percent penalty that you have arrived at,  
22 that was an agreement between Arrington and Yates; is that  
23 correct?

24 A. Yes, sir, it was.

25 Q. And can you tell me how that would be instituted,

1 how that penalty would be accomplished?

2 A. Well, sir, I mean, I think what we would have to  
3 do -- and I don't know the exact workings of this, but if  
4 we were to recomplete in the Mayfly "14" Number 7,  
5 basically what we would do is just simply make up the  
6 difference from what the Mayfly 2 is doing to what the  
7 allowable is.

8 Fifty percent in there, we still wouldn't be able  
9 to produce at that high of a rate. I mean, a 50-percent  
10 penalty in here would allow us to only make 300-some-odd  
11 barrels, and we would be able to produce a maximum, I  
12 think, of about 200.

13 Q. Okay, I'm not following you. The allowable for  
14 this proration unit is 650 barrels a day?

15 A. Yes, sir.

16 Q. The current well, the Number 2 well, is producing  
17 approximately 390 barrels a day?

18 A. Yes, sir.

19 Q. You're saying you would take that excess  
20 allowable, which is about 261 barrels?

21 A. Yes, sir.

22 Q. And --

23 A. And then cut it by 50 percent.

24 Q. And then apply the 50-percent --

25 A. Yes.

1 Q. -- penalty to that?

2 A. Yeah.

3 Q. So you'd have about a 130-barrel-a-day allowable?

4 A. Uh-huh.

5 Q. In the event your Number 2 well -- I'm sorry, the  
6 Number 7 well comes in at a rate below that, in fact, it  
7 would not be penalized at all --

8 A. Yes, sir.

9 Q. -- is that your position?

10 A. Yes, sir.

11 Q. Do you have any estimates on what that well might  
12 produce?

13 A. No, sir. I mean, if you look at the drill stem  
14 test, drill stem test was pretty good. But that drill stem  
15 test was also -- goodness, year ago. And we don't have a  
16 clue as to what that bottomhole pressure may be right now.  
17 I'd have to believe that it's capable of doing the  
18 allowable that we would be assessed.

19 But without, you know, some better bottomhole  
20 pressure information you just don't know. I know that you  
21 could tell the difference between the original wellbore and  
22 the second one was pretty substantial.

23 Q. Mr. Baker, do you know what the Well Number 2 --  
24 Is that production being restricted at all, as far as you  
25 know?

1           A.    No, sir.  I think what we have there -- and this  
2 probably goes a little bit to Mr. Hall's question, and  
3 before I make an attempt to answer this, please understand  
4 I'm not an expert in the field of reservoir engineering or  
5 engineering, so -- I know that our engineers have talked  
6 about when we get up to a 28/64, that the well seems to  
7 load up and won't lift at all.

8                        So the choke size -- there seems to be an area in  
9 there where it's kind of a balance between what the flowing  
10 tubing pressure and what the choke will allow.  And when we  
11 open it up too much it seems to load up or die or  
12 something.  It just doesn't lift it as well.  And so that's  
13 kind of why the choke's been in that 22/64 to 24/64 range.

14                       It's not being purposely restricted.  If we could  
15 flow that, Mr. Catanach, at today's oil prices, I assure  
16 you we would be.

17           Q.    Okay, back to the penalty, the previous penalty  
18 you guys had an agreement on was for gas, for the Morrow  
19 gas?

20           A.    Yes, sir, it was for Morrow gas.

21           Q.    And that was based on the well's ability to  
22 produce gas?

23           A.    Yes, sir, and it was also based on an agreement  
24 that we had with Yates on the Mayfly 1, which is a previous  
25 deal, basically, because we were unorthodox there.  And it

1 was the same type of deal where we were going to do a 50-  
2 percent penalty for gas, based on being 50 percent too  
3 close to the line.

4 Q. So in your opinion, the same type of -- applying  
5 the penalty in the same manner for the oil well would not  
6 be fair to you guys; is that --

7 A. Well --

8 Q. If you take the well's ability to produce and cut  
9 that by 50 percent --

10 A. You can make a case that it would be a little  
11 unfair to us, because really, we're not 50 percent off that  
12 line; we're approximately -- I think around 35 to 40  
13 percent off that line, as far as the field rules go. So I  
14 mean, it is a little bit unfair.

15 But at the time we were meeting with Yates, and  
16 in the spirit of the agreements that we had previously  
17 made, we agreed to just stay at 50 percent to make it easy  
18 on both parties. And Yates and us have worked together  
19 good, and David didn't have a problem with it.

20 EXAMINER CATANACH: Okay, I have nothing further.  
21 Anything further, Mr. Hall?

22 MR. HALL: No, sir.

23 EXAMINER CATANACH: Mr. Feldewert?

24 MR. FELDEWERT: Mr. Examiner, I would like to  
25 clear up, I think, one thing for the record.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. FELDEWERT:

Q. Could you take a look at this Exhibit Number A that Permian Resources has represented as being David Arrington's steadfast opposition to a second Strawn well? Did you understand this proposal -- And Mr. Baker, I should ask you, are you familiar with what formation Permian was proposing to recomplete in with this letter?

A. Yes, sir, I think so.

Q. Was it the Strawn formation?

A. Yes, sir.

Q. Now, as I read through this letter I didn't come to the same conclusion that Mr. Arrington was steadfastly opposed to a second Strawn completion in this unit.

Did you understand him that his concern was whether a recompletion was allowed under the joint operating agreement because a well was producing in commercial quantities from the Wolfcamp?

A. Correct, yes, sir.

Q. And I think he says at the end of his -- In the third paragraph his last sentence is, "We do not concur with abandoning this zone"; is that right?

A. Right.

Q. Okay. Did he -- And apparently he was confused about the pool rules --

1 A. Yes, sir.

2 Q. -- and he makes a statement here, "It is our  
3 understanding that another new Strawn well would not be  
4 allowed in this NW/4 without changing these field rules."  
5 Well, we know that that's not correct, right?

6 A. Right, we do.

7 Q. But then he goes on in the next paragraph to say  
8 that if it's "allowed under the JOA...this letter shall  
9 serve as our election to participate in..." the project; is  
10 that right?

11 A. Yes, sir.

12 Q. So do you read this as Mr. Arrington being  
13 opposed to a second Strawn well in their quarter section  
14 for any reason?

15 A. No, sir.

16 MR. FELDEWERT: That's all I have.

17 MR. HALL: Mr. Examiner, we need to tender  
18 Exhibit A into evidence. I don't there's any question of  
19 authenticity.

20 EXAMINER CATANACH: Any objection?

21 MR. FELDEWERT: No.

22 EXAMINER CATANACH: Exhibit A will be admitted as  
23 evidence.

24 Anything further of this witness? This witness  
25 may be excused.

1           MR. HALL: At this time, Mr. Examiner, we would  
2 call Bob Marshall to the stand.

3                           ROBERT MARSHALL,

4 the witness herein, after having been first duly sworn upon  
5 his oath, was examined and testified as follows:

6   DIRECT EXAMINATION

7 BY MR. HALL:

8           Q. For the record, sir, please state your name.

9           A. Robert Marshall.

10          Q. Mr. Marshall, where do you live?

11          A. Midland, Texas.

12          Q. And how are you employed?

13          A. I'm CEO and president of Permian Resources.

14          Q. All right. Have you previously testified before  
15 the Division or one of its Examiners and had your  
16 credentials accepted as a matter of record?

17          A. Yes, I have.

18          Q. And are you a petroleum geologist by training and  
19 background?

20          A. Yes, I am.

21          Q. Are you familiar with the lands that are the  
22 subject of this Application?

23          A. Yes.

24                       MR. HALL: At this point, Mr. Examiner, we'd  
25 offer Mr. Marshall as a qualified expert geologist.

1 EXAMINER CATANACH: Any objection?

2 MR. FELDEWERT: No.

3 EXAMINER CATANACH: Mr. Marshall is so qualified.

4 Q. (By Mr. Hall) Mr. Marshall, you have sat in the  
5 hearing room and listened to the geologic presentation of  
6 Mr. Baker. Do you disagree with his presentation, his  
7 conclusions?

8 A. No, not all of it.

9 Q. What do you disagree with?

10 A. I believe that the zone is probably contiguous  
11 across our acreage.

12 Q. All right. Do you have some exhibits that can  
13 demonstrate that?

14 A. Exhibit 9 and Exhibit 1.

15 Q. Let's start with Exhibit 1, if you would identify  
16 that for the record.

17 A. This is a Strawn structure map across the Shoe  
18 Bar area. The yellow is highlighted with our acreage in  
19 it, the green dots are Strawn producers. What it's showing  
20 here is that there is some Strawn nosing or ridging across  
21 our acreage here, from the Mayfly Number 2 "14" Hilburn  
22 well and across our Hilburn -- not Hilburn, but the Mayfly  
23 2 "14" through our Hilburn Number 1 and Hilburn Number 2.  
24 This is a Strawn nose going across there, structurally.

25 Q. All right. In your opinion, does the Strawn

1 pressure pod continue across in Section 14 to your acreage  
2 in Section 13 in the west half?

3 A. We think that there is evidence that indicates it  
4 might.

5 Q. Is there any evidence that would suggest to you  
6 that there's any disconformity or porosity barrier, any  
7 other barrier that would result in the prevention of  
8 drainage by the Number 7 well Arrington proposes?

9 A. Of our acreage, I don't see anything between us.

10 Q. All right. Do you believe as a geologic  
11 certainty there's a reasonable probability that the State  
12 Number 7 well will be in communication with Permian's  
13 reserves in the west half of Section 13?

14 A. I do.

15 Q. Would it appear to you that the Hilburn Number 1  
16 well, in the northeast quarter of Section 13, is in a  
17 separate reservoir?

18 A. It appears that way, just based on the  
19 performance of the Mayfly Number 2.

20 Q. All right. And can you be more specific? What  
21 performance data are you referring to?

22 A. By the -- We don't have any production  
23 information, it's not of public record. The only public-  
24 record information we have is just the cumulative  
25 production.

1 Q. All right. Anything further with respect to  
2 Exhibit Number 1, Mr. Marshall?

3 A. No.

4 Q. All right, let's look at your Exhibit Number 2,  
5 and I would note for the record that this is also Exhibit  
6 Number 9 in Case Number 12,381. Would you explain to the  
7 Hearing Examiner what this exhibit is intended to imply?

8 A. Okay, this was taken from the public records,  
9 from a hearing approximately a year ago for the Mayfly "14"  
10 State Com 7, and Arrington presented some seismic sections  
11 to indicate the position of this Morrow fault and how it  
12 would affect his location.

13 And what we have noticed on this section is --  
14 There are two seismic images across here, one on the left,  
15 one on the right. The one on the left is a north-south  
16 line, which goes across his acreage, Arrington's acreage,  
17 and intersects with the Mayfly 7-14 and the Mayfly 2-14.

18 And what we're showing here on the right-hand  
19 corner of this image to the left -- It says "Strawn" right  
20 there, and there's a little arrow. From that "Strawn" to  
21 the arrow, you go over to the left, you intersect with the  
22 approximate location with the Number 2 Mayfly -- it may be  
23 a little bit further to the left -- there appears to be  
24 some sort of thickening right there, indicating some sort  
25 of algal mound buildup or just some sort of buildup there.

1 And that's what the Mayfly 2 is producing out of.

2 Now, what's coincident with that is, there is an  
3 arbitrary section that was a slice section taken across our  
4 acreage, going across our northwest quarter, across our  
5 Hilburn acreage, and you can see there's a Strawn label  
6 there on the right-hand side, and there's another arrow  
7 which indicates the base of that marker, and there's an  
8 arrow which would indicate where our possible location  
9 or -- that we would have on our section would be.

10 Now, what the point of this is that we're trying  
11 to show that there's a continuity between the seismic image  
12 from the Mayfly lease and the Hilburn lease, as exhibited  
13 by this seismic.

14 Q. Now, given that the information reflected on  
15 Exhibit 2 came from Arrington, is it safe to assume that  
16 Arrington knew about the existence of the Strawn in the  
17 west half of Section 13 before it even drilled the Number 7  
18 well?

19 A. Yes.

20 Q. Mr. Marshall, have you considered whether there  
21 are viable Strawn locations at standard locations in the  
22 east half of Section 12? I'm sorry, in --

23 A. In Section 13?

24 Q. -- Section 14.

25 A. Or 14, yes, there are.

1 Q. Would you tell the Hearing Examiner what it is  
2 that Permian seeks as a result of this hearing?

3 A. Permian would like the Commission to deny the  
4 Application to produce the Mayfly 7 "14" well, because we  
5 believe it's in clear violation of the OCD rules.

6 Q. And you're speaking of Rule 104, the well-  
7 location rules?

8 A. That's correct.

9 Q. Mr. Marshall, was Exhibit 1 prepared by you or at  
10 your direction?

11 A. By me.

12 MR. HALL: And at that, Mr. Examiner, we would  
13 move the admission of Exhibit 1, Exhibit 2. We'd also move  
14 the previous exhibit in Case Number 12,381, in evidence in  
15 that case, and I believe you can take administrative notice  
16 of that.

17 EXAMINER CATANACH: That is your Exhibit Number  
18 2?

19 MR. HALL: Yes.

20 EXAMINER CATANACH: Okay, why would we need to  
21 take administrative notice of the previous...

22 MR. HALL: That it's an exhibit in that case, it  
23 was authenticated in that case --

24 EXAMINER CATANACH: I've got you, okay.

25 MR. HALL: -- without objection, it was admitted.

1 EXAMINER CATANACH: Exhibits Number 1 and 2 will  
2 be admitted in this case, and administrative notice will be  
3 taken that this exhibit was a previous exhibit in Case  
4 Number 12,381.

5 Mr. Feldewert?

6 CROSS-EXAMINATION

7 BY MR. FELDEWERT:

8 Q. Mr. Marshall, I do have one question. I'm  
9 looking at your Exhibit Number 2.

10 A. Yes.

11 Q. You show an arrow there --

12 A. Yes.

13 Q. -- in that depiction in the upper left-hand  
14 corner?

15 A. Yes.

16 Q. And then you followed from that arrow that blue  
17 depiction there to the left; is that correct?

18 A. I'm sorry, in the Hilburn lease you're talking  
19 about?

20 Q. I'm looking at --

21 A. Oh, wait, wait, we're on the seismic.

22 Q. Yeah, I'm --

23 A. Yes, okay.

24 Q. -- trying to understand your Exhibit Number 2,  
25 and I'm not a geologist, so you've got --

1 A. I understand.

2 Q. -- to bear with me.

3 I see your arrow there.

4 A. Yes.

5 Q. Okay, and then I believe you followed that arrow  
6 left; is that correct? Along that blue line?

7 A. Yes, that's the base of a marker below the  
8 Strawn.

9 Q. Okay, and where did you see the buildup on that?

10 A. Well, if you were to take a scale and to scale  
11 out all along this line, there is a thickening along this  
12 line on a north-south direction.

13 Q. Okay. But you realize that according to this  
14 depiction the Strawn formation is actually the blue line  
15 above that?

16 A. That's correct.

17 Q. Okay.

18 A. Yeah, we pick a line above and below --

19 Q. Okay.

20 A. -- to indicate some sort of interval thickening.

21 Q. All right. And beside the fact that you think  
22 there -- I think you said, might be some reserves, Strawn  
23 reserves, in your section, I take it you didn't have any  
24 other disagreement with Mr. Baker's conclusions here today?

25 A. In regard to what?

1 Q. In regard to his testimony. I think your  
2 attorney asked you whether you had any disagreement with  
3 his testimony, and you pointed out the fact you think there  
4 might be some --

5 A. I would say that there --

6 Q. -- reserves in Section 14.

7 A. I would say that there were reserves in Section  
8 14.

9 Q. Okay, and that's the only disagreement you'd have  
10 with --

11 A. Excuse me?

12 Q. That's the only disagreement you would have with  
13 his testimony here today --

14 A. Yes --

15 Q. -- Mr. Baker's testimony?

16 A. -- that's correct.

17 Q. Okay. And as I understand it, am I correct that  
18 you all were proposing a second well in your north- --

19 A. We are pro- --

20 Q. -- -east quarter?

21 A. We are proposing a well in the northeast -- or  
22 northwest of the northwest quarter of our Hilburn lease --

23 Q. Okay, and --

24 A. -- in Section 13.

25 Q. -- you are proposing a well?

1 A. That's correct.

2 Q. Okay, and where is that well location?

3 A. It will be 510 off the west lease line and 660  
4 off the north lease line.

5 Q. Now, would that be a standard location?

6 A. According to the field rules, it would be.

7 Q. Okay, all right. So you're already proposing to  
8 drill a second well in your --

9 A. That's correct.

10 Q. -- quarter section? All right.

11 And if you're at a standard location, I assume,  
12 then, you wouldn't be looking at any kind of a production  
13 penalty; is that right?

14 A. That's correct.

15 Q. Okay. If you were at a nonstandard location,  
16 would you be looking at a production penalty?

17 A. We would be.

18 Q. And why do they impose production penalties?

19 A. To conserve oil reserves for offset lease owners.

20 Q. Protect correlative rights?

21 A. That's correct.

22 Q. Okay. And you understand here that Mr. Arrington  
23 has agreed to accept a production penalty in order to  
24 protect your correlative rights; is that correct?

25 A. That's correct.

1 Q. In fact, he's agreed to accept a greater  
2 production penalty than his percentage of encroachment on  
3 your acreage; isn't that correct?

4 A. Is that correct?

5 Q. He's agreed to accept a --

6 A. Yeah.

7 Q. -- 50-percent production penalty rather than a  
8 roughly 32-percent?

9 A. That's correct. Oh, based on spacing, yeah.

10 Q. Correct. So he's actually done a little more  
11 than what would be required to protect your correlative  
12 rights; is that right? Wouldn't you agree?

13 MR. HALL: Well, I'm going to object. The  
14 question presumes that it will, in fact, protect  
15 correlative rights. But you if you know that you can  
16 answer.

17 THE WITNESS: Would I think that he's taken steps  
18 to ensure that we have correlative rights protected?

19 Q. (By Mr. Feldewert) Uh-huh.

20 A. As far as a penalty, yes.

21 Q. Okay. Now, was Permian's predecessor Mesa  
22 Petroleum Company?

23 A. No, Permian's predecessor was Merit.

24 Q. Merit, okay. You acquired an interest in the  
25 Hilburn Well Number 1; isn't that --

1 A. That's correct.

2 Q. That's what you operate now?

3 A. That's correct.

4 Q. Did you acquire that interest and that right of  
5 operation from Mesa Petroleum, or was Mesa Petroleum --

6 A. I believe Mesa bought it -- excuse me, Mesa sold  
7 it to Merit.

8 Q. And then you purchased it from --

9 A. We purchased it --

10 Q. -- Merit?

11 A. -- with a huge package of properties from  
12 Merit --

13 Q. Okay.

14 A. -- in 2000.

15 Q. Have you looked at the pool rules for the North  
16 Shoe Bar Strawn Pool?

17 A. I have, and I'm not real familiar with them,  
18 other than talking to the engineer about them.

19 Q. Are you --

20 A. I know the general rules, yes.

21 Q. Are you familiar with the fact that they were  
22 developed for your Hilburn Well Number 1?

23 A. That's right, that was the discovery well.

24 Q. Okay. So it would have been your predecessor who  
25 proposed a depth-bracket allowable of 605 barrels; isn't

1 that correct?

2 A. Yes.

3 Q. And it would have been your predecessor who  
4 proposed that --

5 A. I assume that it hasn't been amended. I don't  
6 know.

7 Q. According to my records it hasn't.

8 A. Okay.

9 Q. Okay. And I assume, then, it was also your  
10 predecessor who proposed the idea that the Division could  
11 grant exception to the well-location requirement,  
12 particularly for uphole completions?

13 A. I don't know that.

14 MR. FELDEWERT: Okay, that's all I have. Thank  
15 you.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Okay, Mr. Marshall, do you believe that as you  
19 move east into your acreage, that this Strawn structure is  
20 thinning?

21 A. Yeah, at a certain point it will.

22 Q. Okay, wouldn't it be justified, then, to move  
23 your location more to the west, toward an unorthodox  
24 location, to encounter a thicker portion of the reservoir?

25 A. Well, our interpretation is that this is a

1 different reservoir than is what the -- in the Hilburn  
2 Number 1, that we feel like it's a little bit larger  
3 because of the EURs that we've calculated on the Mayfly  
4 Number 2, and so we feel somewhat comfortable in the 510-  
5 660.

6 Q. And are you going to have an engineer testifying  
7 to some of the engineering matters?

8 A. Yes, we will.

9 Q. Okay. Now, as far as the production penalty that  
10 Arrington has proposed on their well, do you not believe  
11 it's going to protect your correlative rights?

12 A. I don't think so.

13 Q. Can you tell me why?

14 A. Well, because I think that the horizontal well  
15 plus the vertical well will substantially drain a larger  
16 area and come across and encroach our lease lines, and I  
17 don't think the 50 percent would protect us.

18 EXAMINER CATANACH: That's all I have of this  
19 witness.

20 Any other questions?

21 MR. HALL: Nothing further, Mr. Examiner.

22 EXAMINER CATANACH: This witness may be excused.

23 MR. FELDEWERT: Mr. Examiner, I do have one quick  
24 question, if I may.

25 EXAMINER CATANACH: Okay, Mr. Feldewert, go

1 ahead.

2 MR. FELDEWERT: I just took a look at this  
3 because something wasn't clicking in my head.

4 FURTHER EXAMINATION

5 BY MR. FELDEWERT:

6 Q. I've got a letter here, Mr. Marshall, that's  
7 dated June 11th, 2001, to David Arrington Oil and Gas. Are  
8 you familiar with this letter? If I may approach.

9 A. We've had several letters back and forth. Yes.

10 Q. Is this, Mr. Marshall, is this your most recent  
11 well proposal for your second well in your northwest  
12 quarter?

13 A. No.

14 Q. It's not?

15 A. No.

16 Q. Okay. Because I was noticing this proposed a 330  
17 from the west line location.

18 A. Yes, we were tempted to negotiate and show some  
19 good faith in negotiations, and they did not agree to it,  
20 so we decided just to come to a legal location and drill  
21 our well.

22 Q. Now, you said good faith negotiations. You were  
23 proposing a well, but you didn't want to encounter a  
24 production penalty at your 330 location --

25 A. That's right.

1 Q. -- is that right?

2 A. That's correct.

3 MR. FELDEWERT: Okay, that's all I have. Thank  
4 you.

5 EXAMINER CATANACH: Okay.

6 MR. HALL: At this time, Mr. Examiner, we would  
7 call Mike Stewart to the stand.

8 MICHAEL L. STEWART,

9 the witness herein, after having been first duly sworn upon  
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. HALL:

13 Q. For the record, please state your name.

14 A. Michael LeRoy Stewart.

15 Q. And Mr. Stewart, where do you live?

16 A. I live in Midland, Texas.

17 Q. How are you employed, Mr. Stewart?

18 A. I'm employed as a contractor/consulting engineer  
19 for Permian Resources.

20 Q. Have you previously testified before the Division  
21 and had your credentials accepted as a matter of record?

22 A. Yes, I have.

23 Q. And are you familiar with the Application in this  
24 case?

25 A. Yes, I am.

1 Q. And are you familiar with the lands that are the  
2 subject of this Application?

3 A. Yes, I am.

4 MR. HALL: At this point, Mr. Examiner, we'd  
5 offer Mr. Stewart as a qualified expert petroleum engineer.

6 EXAMINER CATANACH: Any objections, Mr.  
7 Feldewert?

8 MR. FELDEWERT: No.

9 EXAMINER CATANACH: Mr. Stewart is so qualified.

10 Q. (By Mr. Hall) Mr. Stewart, if you would, please,  
11 sir, would you refer to what's been marked as Exhibit 3?

12 A. Exhibit 3 is a land plat that's generated by  
13 Midland Map Company, and on that land plat I've  
14 superimposed the pool boundaries for the various Strawn  
15 pools and the one Wolfcamp pool that comprises our acreage.

16 In addition to that, there's a producing zone  
17 legend which illustrates what zone given wells are  
18 producing from or have produced from, and I did not -- made  
19 no detail of the shallower zones. I just marked the  
20 Wolfcamp through the Morrow intervals. And that  
21 information came off of public production records via  
22 Lasser Data.

23 And then the selected pool boundaries are the  
24 outline of the different Strawn pools adjacent and of the  
25 North Shoe Bar Strawn Pool that the subject well is located

1 in.

2 Q. Does Exhibit 3 show the existence of numerous  
3 discrete Strawn Pool reservoirs in close proximity to one  
4 another?

5 A. Yes, I believe that's what the exhibit does show,  
6 as does the various case records on other unorthodox pool  
7 and GOR hearings.

8 Q. And does it show that the Division has  
9 established specific pool rules for these numerous Strawn  
10 reservoirs?

11 A. It shows the outline for those pools. The  
12 individual pool rules can be referenced in our public  
13 record, but there are different pool rules for the various  
14 pools.

15 Q. Mr. Stewart, let me ask you about Arrington's  
16 Number 2 wellbore in the northeast quarter of Section 14.  
17 Is it your view that that well can adequately and  
18 efficiently drain Strawn reserves?

19 A. It is my opinion that that well, with the data  
20 that's available to us, can adequately drain those Strawn  
21 reserves, and it is also my opinion that the burden of  
22 proof that that well cannot drain that 160-acre proration  
23 unit should lie on the operator who is asking for an  
24 additional well penetration and an additional conduit to  
25 produce those reserves.

1           And I believe that David Arrington, through prior  
2 correspondence, has indicated that the Mayfly State Com  
3 "14" Number 2 will produce and adequately drain the 160-  
4 acre northeast quarter of Section 14 reserves.

5           Q.    All right, now you were present when Mr. Baker  
6 testified that that was not the position of Arrington, that  
7 a single wellbore could not efficiently drain those  
8 reserves in the northeast quarter. Let me refer you to  
9 Exhibit Number 4, if you would please turn to that.

10          A.    I'm looking at Exhibit Number 4. It's a November  
11 10th, 1999, letter directed to the OCD, Mike Stogner. It's  
12 asking for a project allowable of 890 barrels per day to  
13 the Mayfly State Com Number 2 well.

14                If you will notice, in the letter it says that  
15 Arrington has been testing the well, and they tested it in  
16 October of 1999 at various rates and choke settings. They  
17 thought at that time that the well could justify a project  
18 allowable of 890 barrels a day. I think there was some  
19 question as to the GOR limits too, which were set up for  
20 the North Shoe Bar-Strawn Pool, which are currently 4000 to  
21 1.

22          Q.    All right. Now, is this Exhibit 4 a letter from  
23 Arrington's attorney, Thomas Kellahin, which also has  
24 attached to it the application of Arrington in Case Number  
25 11,294 for special project oil allowables for a directional

1 wellbore for that well?

2 A. Yes, it's a letter from Mr. Kellahin to the  
3 Examiner asking for a special project allowable. And  
4 subsequently I believe they made application for the  
5 project allowable.

6 Q. All right. And the first letter, the top of  
7 Exhibit 4, is that in essence a request for a special test  
8 allowable for the well?

9 A. That's correct.

10 Q. If you'll look at page 2, there's a numbered  
11 paragraph 2 (b) there. What does that say?

12 A. Item number 2, "Geologic and petroleum  
13 engineering evidence demonstrates that: ...in all  
14 probability this horizontal wellbore will be the only well  
15 necessary in order to adequately deplete this reservoir."

16 Q. And if you would turn to the application portion  
17 of Exhibit 4 and refer to paragraph 4 on page 2 of that  
18 application, does that in essence say the same thing as the  
19 letter?

20 A. Yes, it does. It says The Mayfly Number 2 well  
21 "is capable of effectively and efficiently producing Strawn  
22 formation oil at rates...up to 890 barrels...per day..."

23 Q. And Mr. Stewart, is the producing rate for these  
24 Strawn reservoirs a concern with respect to waste of  
25 resources?

1           A.    There's been a lot of testimony, specifically in  
2   the South Big Dog-Strawn field, concerning producing rates  
3   and associated GORs.  It is of great concern.  When you  
4   pull a reservoir too hard -- and what's been of public  
5   record before, that this is a volatile oil reservoir, which  
6   means that the bubble point of the fluid is very near the  
7   saturation pressure of the reservoir.  And if you, in  
8   effect, pull the wells hard, that the gas will break out in  
9   the reservoir into a free gas phase.

10                   And when that happens, you lose residual oil  
11   saturation in the reservoir and effectively lose reserves,  
12   because those oil reserves now become nonrecoverable, or  
13   they're residual, they stay on the bore throats.

14                   So rates and associated gas-oil-ratio limits have  
15   been a concern in this area in these Strawn pools.

16           Q.    Now, have you prepared some exhibits that will  
17   demonstrate that particular concern?

18           A.    I have.

19           Q.    Let's refer to Exhibit Number 5, if you would,  
20   please.

21           A.    Exhibit Number 5 is a rate-time plot of the  
22   Mayfly State Com Number 2 well, illustrates oil on a  
23   monthly basis.  The information was taken from the public  
24   Lasser Database and from the NMOCD ONGARD system that's  
25   plotted -- we only had data available through February of

1 2001, so the monthly oil production is plotted, as is the  
2 GOR or the gas-oil ratio for the Number 2, Mayfly State Com  
3 "14" Number 2 well.

4 Q. All right, yeah, the exhibit does not say "Number  
5 2 well", but this is for that well, correct?

6 A. That's correct.

7 Q. All right.

8 A. It shows that the Number 2 well, through February  
9 of 2001, has cum'd almost 273,000 barrels of oil and 527  
10 MCF of gas.

11 Q. Now, the fact that the GOR plot for the Number 2  
12 well has remained relatively steady, what does that  
13 indicate to you?

14 A. In comparison to wells -- other Strawn wells,  
15 specifically other Strawn horizontal wells in the Big Dog  
16 field and in the Shoe Bar North-Strawn field -- and I have  
17 included those as Exhibit 8 -- you will notice that the GOR  
18 on all of those other -- and I believe all of these wells  
19 are horizontal wells with the exception of one -- the GOR,  
20 for the most part, on all of those wells increases very  
21 rapidly, at very early age in the wellbore's history.

22 Those wellbores' GORs start at around 1000 to 1,  
23 and then they have increased up into the neighborhood of  
24 10,000 to 1, which I think is indicative of those wells  
25 draining small areas. What's happened is, as they've

1 pulled the oil out of those small algal mounds free gas has  
2 broken out in those reservoirs and it's caused the GOR to  
3 increase substantially.

4 In contrast, Arrington's well, you'll notice that  
5 the well has been producing for -- This plot is over a year  
6 and a half of production history. The GOR has remained  
7 fairly constant on that well.

8 And that would lead me to believe that this is a  
9 larger reservoir, and so the gas that's been liberated in  
10 this reservoir, areally-extentwise, has not taken up very  
11 much room, and subsequently the gas rate hasn't increased  
12 significantly in the Arrington well.

13 Q. All right. Does this information lead you to  
14 conclude that this particular reservoir extends into  
15 Section 13?

16 A. Yes, it does.

17 Q. All right, let's look at Exhibit 6, if you would  
18 explain that, please, sir.

19 A. Exhibit 6 is, again, a rate-time plot of the  
20 Mayfly State Com "14" Number 2. It's on a little bit  
21 different scale. And off of that we have projected decline  
22 curve recoveries from that well, and those decline curve  
23 rates are noted as the solid lines, the green and the red.

24 Again on the left side, the cum of the well has  
25 made 273,000 barrels of oil, the EUR that we're projecting

1 based upon the illustrated decline curve for the oil is  
2 816,000 barrels of oil. Gas, it's made 527,000 MCF, and  
3 we're projecting it to recovery approximately 1.65 BCF of  
4 gas.

5 Q. Is it your opinion that the Number 2 wellbore is  
6 adequately and efficiently recovering reserves from the  
7 northeast quarter of Section 14?

8 A. It is my opinion. And when you contrast that --  
9 and I'll reference Exhibit Number 7, which is Art Hilburn  
10 Number 1 well, which was the discovery well in the pool --  
11 it was drilled in 1973 by Mesa -- that well has made  
12 452,000, almost 453,000 barrels of oil to date and 1.1 BCF.  
13 The reserves that we're projecting, ultimate reserves  
14 associated with that well, are 465,000 barrels of oil,  
15 approximately 1.2 or 1.17 BCF of gas.

16 This is a vertical wellbore. The Hilburn State  
17 Com Number 2 -- or excuse me, the Hilburn Number 1 is a  
18 vertical wellbore. The Mayfly "14" State Com Number 2 is  
19 horizontal wellbore with an approximate horizontal section  
20 of 1300 feet. And I think, if I'm not mistaken, we've got  
21 an exhibit here that talks about it a little bit later. I  
22 believe the bottomhole location of that may be closer to  
23 788 from the east line and 760 from the --

24 Q. You're referring to Exhibit --

25 A. -- north line. Yes, I'm referring to Exhibit

1 Number 9. That's just a view of the surface location as  
2 surveyed on the Mayfly State Com Number 2, its reported  
3 bottomhole location as came up, NMOCD Form 104 that was  
4 filed with it, and the reported surface location of the  
5 Mayfly State Com Number 7 well.

6 That horizontal wellbore -- and its -- the  
7 literature points out -- and I've got four or five SPE  
8 papers that point out the two primary reasons for drilling  
9 horizontally is, one, to accelerate the rate of production  
10 of the reserves from the reservoir, and secondly it's to  
11 increase the recoverable reserves of a given well from the  
12 reservoir.

13 The projection of ultimate reserves from  
14 horizontal wellbores is tedious at best. You need to have a  
15 lot of information. We're not privy to that information.  
16 It requires permeability data, it requires height data, PVT  
17 analysis of the oil.

18 As an operator -- or again as a nonoperator, we  
19 do not own an interest in that well, we don't have any of  
20 that data, so we can't make those calculations. Again, I  
21 will reference that I believe the burden of the proof in  
22 this case would be on the operator who has the availability  
23 to collect that data, which they have not done with the  
24 exception of original shut-in pressure, and go through the  
25 myriad of calculations that are approved by industry

1 standards to calculate a drainage radius for the State "14"  
2 Com Number 2.

3 Rule of thumb -- and I mean, it's a big -- it's a  
4 rule of thumb, other than to say horizontal wellbores  
5 typically produce more reserves than a vertical wellbore,  
6 given the same reservoir conditions -- is about two to one.  
7 You're going to produce twice as much reserves with a  
8 horizontal wellbore as you would a vertical wellbore.

9 And when we look back on the projected reserves  
10 from the Mayfly State Com Number 2, off decline curve,  
11 which is rudimentary at best, and the projected reserves  
12 off the Hilburn Number 1 -- which I don't think we'll miss  
13 those by much because a lot of it's already been put in the  
14 tank and sold, you've got very little remaining reserves  
15 present there -- if you take the ratio of the estimated EUR  
16 of the Mayfly State Com Number 2 to the ultimate reserves  
17 of the Hilburn Number 1, you get a ratio of approximately  
18 two to one. So that rule of thumb looks to apply in this  
19 case.

20 The other thing that's of interest is, if you  
21 look at the actual production history for the first 16  
22 months of those wells, the Hilburn was completed in  
23 September of 1973, the Mayfly 2 was completed in September  
24 of 1999. The first 16 months of production, the Mayfly has  
25 made 247,770 barrels. The Hilburn made 111,997 barrels of

1 oil. That's a ratio of 2.2 to 1.

2 So again, our rule of thumb is applying. Not  
3 only does it look like the vertical well is going to  
4 produce about half as much as the horizontal well, it also  
5 looks like the horizontal well is producing oil at about  
6 twice the rate a vertical well is.

7 With that in mind, I don't understand the grounds  
8 for allowing an additional wellbore into that reservoir  
9 without adequate reservoir proof that it's required to  
10 drain that 160-acre proration unit.

11 Q. All right. So when -- Here you have a situation  
12 where Arrington deviated from a surface hole location to an  
13 effective horizontal well to its unorthodox bottomhole  
14 location for the Number 2 well, do you see any reason why  
15 Arrington couldn't do the same for its Number 7 well,  
16 deviate that hole over to a standard location for a Strawn  
17 well?

18 A. From an operational standpoint, none whatsoever.

19 Q. All right.

20 A. But we get back to what Bill talked about, the  
21 economics. And based upon Exhibit Number 9, you know, the  
22 bottomhole location of the Mayfly Number 2 is 598 feet from  
23 the proposed Strawn completion in the Mayfly State Com  
24 Number 7. While this field, the North Shoe Bar-Strawn,  
25 doesn't make provisions for distance between wells, there

1 are several fields that do make provisions for distance  
2 between wells, and it typically is 1120 feet.

3 So, you know, we're putting another wellbore into  
4 the reservoir. It's not only 330 feet from the lease line,  
5 an encroachment of 180 feet off of the standard field  
6 rules, but it's only 598 feet from the bottomhole location  
7 of an existing horizontal well.

8 And if you put in your mind, that horizontal well  
9 has the same effect of drilling vertical wells over that  
10 whole section. You know, I don't know how many 7-7/8  
11 wellbores it would take to line up side by side to drill,  
12 you know, 1300 feet. A lot.

13 So that's why I do agree that while the wellbore  
14 is there, that it was drilled with the knowledge of the  
15 field rules, and it was most likely drilled with the  
16 knowledge that the Strawn extended to that location, it  
17 should not allowed [*sic*] to be produced out of the Strawn.

18 Q. All right.

19 A. And the other thing that I did want to visit  
20 about was, the exhibit that Bill prepared, Arrington  
21 Exhibit Number 7, the cross-section -- and I think Bob  
22 alluded to this -- we recognize the fact that that Strawn  
23 reservoir deteriorates or goes away to the north.

24 One thing that I don't think is a fair depiction  
25 in this cross-section is, you have to remember that this

1 log section from the Mayfly 14 Number 2 is at its -- where  
2 it encountered the Strawn section at its surface location,  
3 or near the surface location. And he's projecting it  
4 thinning to the Mayfly State Com Number 7 location.

5 And, you know, I don't know -- we're not  
6 disputing that fact, that it thins to the north. There's a  
7 wellbore to the north, the Yates Burns, that shows it not  
8 there at all. But there's nothing at all that shows that  
9 that's not a thin, elongated -- or a thick, elongated  
10 reservoir that runs east and west through there and that  
11 the Number 7 well may be on the flank of it --

12 Q. All right.

13 A. -- to the north extent.

14 Q. Mr. Stewart, we only briefly touched on Exhibit  
15 Number 8. We need to identify that for the record. Is  
16 this a composite of production plots -- Tell me what that's  
17 intended to reflect.

18 A. Exhibit 8 is, again, monthly oil rates and GOR  
19 rates on several wells, predominantly horizontal wellbores,  
20 in the adjoining fields, be it the Big Dog South-Strawn  
21 field, and then there's one well from the North Shoe Bar-  
22 Strawn field. Those show a GOR increase early in the  
23 production history of the wells --

24 Q. All right.

25 A. -- as opposed to the performance of Arrington's

1 well.

2 Q. And again, when you compare these plots against  
3 Exhibits 5 and 6, it indicates to you that the reservoir  
4 under Sections 14 and 13 is a fairly large reservoir for a  
5 Strawn reservoir?

6 A. Given the assumption that the reservoir fluids  
7 are similar, yes.

8 Q. All right. Mr. Stewart, what are Permian's plans  
9 for developing the northwest quarter of Section 13?

10 A. Permian's original plan was to re-enter the --  
11 not re-enter but temporarily abandon the Wolfcamp formation  
12 in the Hilburn Number 2 well and drill horizontally to  
13 approximately 660-660 location from the north and west  
14 lines in Section 13 to encounter and produce the Strawn  
15 reserves.

16 Q. Is that shown on Exhibit 1, by the way?

17 A. No, the proposed surface location on Exhibit 1 is  
18 -- references a vertical wellbore.

19 Q. Okay.

20 A. But that would be the approximate location of the  
21 bottomhole location of a well that we would -- that we  
22 originally proposed re-entering -- not actually re-entering  
23 but temporarily abandon the Wolfcamp formation in the  
24 Hilburn Number 2, which produces approximately four to five  
25 barrels of oil a day, cutting a window, kicking off

1 horizontally, and drilling over to a 660-660 bottomhole  
2 location.

3 We permitted that with the NMOCD District 1  
4 Office. It was approved. Subsequently sent it out to the  
5 partners, and it was -- the response from David Arrington,  
6 who is a 4.544-percent working interest owner in the  
7 Hilburn lease, was submitted into evidence as Exhibit A, I  
8 believe, or -- You'll have to help me with that, Scott.  
9 It's the letter dated -- from David. Yeah, that was  
10 David's response to our directional deepening to a Strawn  
11 bottomhole location.

12 David's concerns were that we had a zone -- or a  
13 well that was producing in paying quantities, and that  
14 under the JOA you can not abandon that zone without the  
15 consent of all owners. And he sought to exercise that  
16 right under the JOA and say that we could not abandon that  
17 Wolfcamp zone. Our plans were to temporarily abandon that,  
18 drill to the bottomhole location as stated, and then at  
19 some point in time come back and downhole commingle the  
20 Strawn and the Wolfcamp.

21 After that letter from David, again, we evaluated  
22 the position, and in an effort to try to compromise, we  
23 inquired with Arrington about a nonstandard surface  
24 location for ourself, 660 off the north and 330 off the  
25 west line of Section 13.

1           But we felt like that well should be subject to  
2 no production penalty. We were going to allow Arrington to  
3 produce his Number 7 well at a 50-percent penalty, continue  
4 to produce his State Com Number 2 well so that they could  
5 produce the allowable of 605 barrels a day, but we wanted  
6 no production allowable -- or production penalty,  
7 associated with our nonstandard location.

8           That wasn't accepted by Arrington, so yesterday  
9 we delivered to Arrington an AFE and permitted a location  
10 for the Hilburn State Number 3 well, or the Hilburn Number  
11 3 well, at the location of 660 from the north and 510 from  
12 the west, Section 13. In that permit we provided to drill  
13 vertically to encounter the Strawn zone, log test it,  
14 evaluate it.

15           If the testing was sufficient, then we'll run  
16 pipe on it, cut a window and kick off horizontally, drill  
17 to a proposed bottomhole location of 1980 from the north,  
18 1980 from the west of Section 13, or until the porosity  
19 plays out in the Strawn.

20           Q. Has there been a response to that proposal yet?

21           A. No, they just -- In their defense, they just got  
22 it yesterday.

23           Q. And of course at that location, 1980 and 1980,  
24 there would be no production penalty --

25           A. No, a standard location for the surface and for

1 the bottomhole.

2 Q. All right. Mr. Stewart, in your opinion, were  
3 Arrington's Application granted here today, would it  
4 adversely affect Permian's correlative rights in the pool?

5 A. Without doubt.

6 Q. I'll ask you the same question I asked Mr.  
7 Marshall. What is it that Permian seeks to come out of  
8 this hearing?

9 A. Permian seeks that the Mayfly State Com Number 14  
10 -- or State Com "14" Well Number 7 not be allowed to be  
11 produced in the Strawn interval.

12 Q. Were Exhibits 3 through 9 prepared by you or at  
13 your direction?

14 A. With the exception of Exhibit 4, yes. Exhibit 4  
15 was --

16 Q. Exhibit 4 is the Arrington Application?

17 A. Correct.

18 MR. HALL: We'd move the admission of Exhibits 3  
19 through 9, Mr. Examiner, and that concludes our direct of  
20 this witness.

21 EXAMINER CATANACH: Any objection?

22 MR. FELDEWERT: No.

23 EXAMINER CATANACH: Exhibits 3 through 9 will be  
24 admitted as evidence.

25 Mr. Feldewert?

## CROSS-EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. FELDEWERT:

Q. Mr. Stewart, I was sitting here listening to your testimony, and I was trying to outline exactly what your concerns were, and I had heard at one time you were concerned about a volatile reservoir and the possibility of nonrecoverable reserves, and I thought you used the term "waste" referring down to the Big Dog-Strawn Pool.

Are you testifying here today that two wells in the northwest northeast quarter of Arrington's acreage there in Section 14, that that's going to cause a damage to the reservoir or some kind of a waste issue? You're not offering that testimony, are you?

A. No, I'm not offering that testimony at all. I'm making a correlation between the South Big Dog-Strawn volatile oil reservoir, which they are limiting the GOR of there, and making correlation between those fields and the Arrington wells as its GOR is responding --

Q. Okay --

A. -- in respect to those wells.

Q. -- I think you've answered what I -- You were just offering that testimony for the purpose of trying to demonstrate that part of the reservoir may come into your section; is that right?

A. I was offering that testimony as evidence that I

1 believe that the reservoir is a lot larger than the algal  
2 mound reservoirs that have been encountered in the South  
3 Big Dog-Strawn field.

4 Q. Okay, and you were relying in part upon what has  
5 been marked as Exhibit Number 8, as compared to Exhibit  
6 Number 5, right?

7 A. That's correct.

8 Q. Okay. And I notice that the first page of  
9 Exhibit Number 8 shows a big -- somewhat of a difference,  
10 what you perceive as a difference between Arrington's  
11 production and what you are depicting there on the first  
12 page, and then I kind of flipped through the other pages  
13 and didn't see quite as big a difference, but I'm not an  
14 engineer or a geologist, so I'm not going to go into that.  
15 I will point out, though, that it would appear that at  
16 least Arrington's well, you would agree with me, had some  
17 kind of a peak initially with it; isn't that correct, if  
18 you look at Exhibit Number 5?

19 A. Peak in production or a peak in GOR or --

20 Q. Peak in GOR.

21 A. Yes, but since that time it's flattened out.

22 Q. Yeah, okay. And it's my understanding here today  
23 that you were originally proposing to drill a horizontal  
24 well, as well, in your quarter section, but you've now  
25 chosen to drill a second vertical well?

1           A.    No, that's incorrect.  Our first proposal was to  
2 directionally deepen the Hilburn Number 2 by kicking off  
3 horizontally and going to a proposed bottomhole location of  
4 660 from the north, 660 from the west in Section 13.

5                    In response to that approved permit and AFE sent  
6 to the partners, one of which was David Arrington, David  
7 Arrington chose his rights under the JOA to say that we  
8 could not abandon a producing zone in paying quantities.  
9 We recognize that the Hilburn Number 2 is producing in  
10 paying quantities, it's got a positive cash flow at five to  
11 six barrels of oil a day.  We also recognize that the  
12 potential for a 400- or 500-barrel-a-day completion lies at  
13 a location of approximately 660-660, or as our next  
14 proposal --

15           Q.    This is the Number 3?

16           A.    The Number 3, which would be at 660 from the  
17 north, 510 from the west line.

18           Q.    Okay, so you're going to -- Do you know when  
19 you're going to drill that Hilburn Number 3?

20           A.    We're waiting on partner approval.  The partners  
21 have 30 days under the JOA to execute or choose whether to  
22 participate or not --

23           Q.    So it's --

24           A.    -- and then it's going to be subject to rig  
25 availability.

1 Q. -- as quickly as possible?

2 A. As quickly as possible.

3 Q. Okay, and that would give you, I think, what you  
4 called -- Well, that would give you your second well in  
5 your quarter section that would be producing from the  
6 Strawn; isn't that correct?

7 A. That would be correct.

8 Q. Okay. So we would end up in a situation where  
9 Arrington has one well that's not subject to any kind of a  
10 production penalty producing from the Strawn, a second well  
11 that would be subject to a 50-percent penalty for his  
12 quarter section, and Permian would have a situation where  
13 they're going to have two wells in the Strawn formation,  
14 neither one of which are subject to a production pooling;  
15 is that correct?

16 A. That's correct, because both our wells would be  
17 at standard locations.

18 Q. Okay. Now, you said that you thought this  
19 Application had to be denied in order to protect your  
20 correlative rights. I guess I'm kind of wondering, in  
21 light of the fact that there's going to be a 50-percent  
22 production penalty on Arrington's proposed well, what is it  
23 that is impairing your correlative rights?

24 A. Well, one of the things that I've got a concern  
25 with is the methodology of allocating that oil. I don't

1 know that -- I may not be that familiar with the rules when  
2 a production penalty is assessed. Is it based upon  
3 deliverability of the well? Again, is it based upon  
4 gauging of the wells?

5           What's to keep David Arrington from going over  
6 and opening up the Number 7 well and producing 50 percent  
7 of the -- if it is subject to a 50-percent allowable  
8 penalty, producing 300 and 2 1/2 barrels a day, or 50  
9 percent of the 600 and 5-barrel-a-day, and then curtailing  
10 the Number 2 well, which would, in effect, encourage the  
11 drainage of the reservoir from the east section line, or  
12 our west section line? You know, that's one of my  
13 concerns.

14           The other concern is the measurement of it.  
15 They're going into a common tank battery. You know, I  
16 don't know -- I've got some concerns about Exhibit Number 4  
17 and the daily rates that are expressed on that, as to the  
18 actual potential of the Mayfly Number 2. This well is  
19 being choked back to 22/64, and I see no -- There's no  
20 reason for it.

21           Typically, you choke a well back because it's  
22 either -- the GOR starts to increase and you're trying to  
23 prevent waste in the reservoir by losing reservoir  
24 pressure, and I see no evidence of that by virtue of this  
25 production plot. I mean, we did have a little peak, but

1 it's been pretty flat throughout there.

2 And the other reason for choking a well back,  
3 typically, is you start to draw in water, to cone up water  
4 from the bottom. This production shows two barrels of  
5 water -- or four barrels of water that produced for the  
6 month of May.

7 Q. So you think Arrington's choking back its well on  
8 purpose with today's oil prices? You don't know one way or  
9 the other?

10 A. I don't speculate that, no.

11 Q. Okay. All right, do you know how many wells are  
12 allowed within a 160-acre spacing unit pursuant to the pool  
13 rules that your predecessor developed?

14 A. As many as you want.

15 Q. As many as you want? Okay.

16 A. So long as they're at standard locations.

17 Q. And pool rules also provide for an unorthodox  
18 location, do they not?

19 A. That's correct.

20 Q. Particularly where you have already drilled a  
21 well and you're completing uphole; isn't that right?

22 A. That --

23 Q. That's in the pool rules that your predecessor  
24 developed for this pool.

25 A. And I read those pool rules, and I don't know

1 that that was the spirit that that was written.

2 Q. The spirit, or is that not in here?

3 MR. HALL: Well, if you don't know --

4 THE WITNESS: I don't know.

5 MR. FELDEWERT: Okay, we'll go by what's in the  
6 pool rules, and that's all we're trying to do here today.

7 That's all I have.

8 REDIRECT EXAMINATION

9 BY MR. HALL:

10 Q. Briefly, Mr. Stewart, when you were asked about  
11 the spirit behind the pool rules for this pool, isn't it  
12 true when those pool rules were adopted, vertical wells  
13 were the typical drilling technique of the day?

14 A. Yes, that is a fact, and also I don't believe  
15 that there were any deep wells drilled, associated or pene-  
16 -- you know, saying deep, deeper than 100 feet below the  
17 Strawn, drilled within the North Shoe Bar-Wolfcamp or the  
18 North Shoe Bar-Strawn field as it was proposed and ordered.

19 Q. Let's clarify one more thing. When we hear the  
20 discussion about the 50-percent production penalty, the  
21 Division has not imposed such a penalty for this reservoir,  
22 has it? This is only by virtue of Arrington's vague and  
23 ambiguous letter agreements with Yates applicable to  
24 separate acreage; isn't that right?

25 A. Separate acreage, separate reservoir. It was

1 originally proposed for a gas reservoir, and they have come  
2 to an agreement that it will be applicable to this oil  
3 reservoir. Typical field installations in New Mexico  
4 require you meter individual gas wells, you're also  
5 required to do deliverability tests. With an oil well or  
6 oil wells under common ownership they typically go to the  
7 same tank battery, so I have a question how you would  
8 impose it and how you would regulate it, lease it.

9 Q. And this vague and ambiguous letter agreement, do  
10 you not address how the penalty would be implemented in  
11 this case?

12 A. No, it does not address that.

13 MR. HALL: Nothing further, Mr. Examiner.

14 EXAMINATION

15 BY EXAMINER CATANACH:

16 Q. Mr. Stewart, with regards to the Number 3 well  
17 that's going to be drilled, you said something about you  
18 would drill it to a standard location and then possibly  
19 directionally drill it?

20 A. We would drill it vertically from a standard  
21 location of 660 from the north and 510 from the west,  
22 penetrate the Strawn horizon at that hypothetical vertical  
23 bottomhole location, log it, probably run a DST on it, and  
24 then at that point in time make a decision whether we were  
25 to run pipe and complete it as a vertical completion, or to

1 run pipe, cut a window and drill out horizontally through  
2 the -- and follow the Strawn porosity.

3 Q. It would be real similar to the way that the --  
4 mechanically, the way that the Mayfly State Com Number 2  
5 was drilled.

6 MR. HALL: Mr. Examiner, those well proposal  
7 letters are available. If you'd like, then we can get  
8 copies made and provide them to you.

9 EXAMINER CATANACH: I would like that, Mr. Hall.

10 Q. (By Examiner Catanach) Mr. Stewart, with the  
11 data that you have, you are not able to calculate the  
12 original oil in place underneath the northeast quarter of  
13 Section 14; is that correct?

14 A. That's correct. The only data that we have  
15 that's been released, we had a set of logs on the Mayfly  
16 State Com Number 2. They were released in the -- the prior  
17 hearing for the Mayfly State Com Number 7. This is the  
18 first information that we've seen as far as pressure data  
19 is concerned, on this cross-section here, pressure data on  
20 the DSTs. We have no flowing pressures, other than what's  
21 been presented for the month of May and first couple --  
22 first week of June here.

23 We can make estimates of porosity, we can make  
24 estimates of height, we can make analogies of  $B_g$  PVT  
25 analysis from the other Yates -- from the Big Dog South

1 field. But permeabilities, and to do material balance, we  
2 have none of that data.

3 And to do a material balance on one data point, I  
4 don't know how you can do that. Material balance typically  
5 takes at least two data points, two pressures. It's a  
6 calculation of how much you've produced out of a reservoir  
7 and how much that production drew the pressure down in that  
8 reservoir.

9 So if you just had the initial reservoir pressure  
10 and no subsequent pressures, I don't know how you would do  
11 material balance on that.

12 Q. Okay. So you've done no drainage areas for the  
13 Number 2 well also; is that correct?

14 A. That's correct.

15 Q. And you've estimated the ultimate recovery from  
16 that well, but you don't have anything to compare that to  
17 in terms of original oil in place or drainage areas, things  
18 like that?

19 A. No, we don't. And the literature suggests that,  
20 again, calculating drainage areas for horizontal wellbores  
21 is not similar to calculating drainage areas for vertical  
22 wellbores. A lot of the literature states that you need to  
23 utilize both volumetrics and material balance or pressure  
24 information.

25 Q. Okay. So how do you know that the Number 2 well

1 will adequately drain that proration unit?

2 A. How do I know that it will? I don't know that it  
3 will not. But the burden of proof, I believe, should be on  
4 the operator. And without proving that that Number 2 well  
5 is not going to drain that northeast quarter of Section 14,  
6 I don't believe they have any rights to add additional  
7 wellbores to it.

8 If they had engineering data in here that said --  
9 and calculations that showed that drainage area was going  
10 to be 80 acres -- or they originally stated that it was  
11 going to be 80 acres, but now their cumulative production  
12 has surpassed their EUR, so I think their drainage area is  
13 now greater than 80 acres -- I don't think they could have  
14 missed the height of the saturations by that much -- you  
15 know, then we certainly would listen to that information  
16 and analyze it.

17 But for me to say that it's not going to or it's  
18 going to, I don't have the data to say that. All I'm  
19 saying is that without the proof, I don't believe they  
20 ought to be allowed another wellbore in the reservoir.

21 Q. What if it was a standard location?

22 A. They they're allowed it.

23 Q. You're just objecting to not the number of  
24 wellbores but the fact that it's unorthodox?

25 A. Right.

1           Q.    Now, if you had the authority to determine how  
2 that penalty should be imposed on the well, do you have any  
3 recommendations on how we might do that?

4           A.    I think there ought to be some deliverability  
5 tests taken of the Number 7 well.  I mean, I think that  
6 those ought to be presented to the Commission with  
7 appropriate engineering data showing, in effect, the  
8 deliverability of the Number 7 well.

9                   And then if there is a production penalty that's  
10 imposed, other than -- or if the wellbore is allowed to be  
11 completed in the Strawn and a production penalty is  
12 imposed, then that production penalty should be imposed  
13 based upon the deliverability of that well, and that well  
14 should be tanked or metered separately from the Number 2  
15 well.  And I do believe there is separate tankage at the  
16 Mayfly State Com Number 7 well.

17                   And I also think that if there is a production  
18 penalty imposed, rather than not allowing them to complete  
19 the wellbore, Permian Resources ought to be given a  
20 sufficient amount of time to drill and complete -- drill,  
21 evaluate and complete the Strawn reservoir at their  
22 proposed standard location.

23                   EXAMINER CATANACH:  Anything further of this  
24 witness?

25                   MR. HALL:  If I might briefly clarify a point.

## FURTHER EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. HALL:

Q. Mr. Stewart, if you're saying, were a penalty to be imposed on data that might subsequently be brought forward to the Division, you're also asking for a delay in production of the Number 7 well until Permian's well is proved up?

A. Right, until Permian's well is drilled, evaluated and completed.

Q. What would be an appropriate amount of time to --

A. 120, 180 days.

Q. 180 days? Do you have enough information -- Does the Division have enough information before it today to establish an appropriate penalty?

A. In my opinion, no.

Q. Earlier you addressed certain literature that addressed how you calculate drainage radii for horizontal wellbores. Were you speaking of certain SPE articles and abstracts?

A. Yeah, there's four or five separate SPE articles.

MR. HALL: Mr. Examiner, we'd be glad to make those available to you as well.

EXAMINER CATANACH: Sure, why not?

THE WITNESS: It's good reading.

EXAMINER CATANACH: Okay, anything further of

1 this witness?

2 MR. FELDEWERT: No.

3 EXAMINER CATANACH: Okay, anything further, Mr.  
4 Hall?

5 MR. HALL: Mr. Examiner, we would request that  
6 you take administrative notice of Order R-11,364. It's the  
7 order entered in the Marbob case, which I understand is the  
8 first order issued by the Division that incorporates the  
9 requirements for exceptions to the Rule 104 well-location  
10 requirements and sets forth the criteria that the Division  
11 likes to see when such applications are made. We'll be  
12 glad to give you copies.

13 EXAMINER CATANACH: Okay, administrative notice  
14 will be taken of Division Order Number R-11,364.

15 Gentlemen, would you like to make closing  
16 statements in this case?

17 MR. FELDEWERT: Real brief, Mr. Examiner.

18 I think the testimony here shows that there are  
19 -- the Strawn completion out there is risky at best, given  
20 the nature of the formation. What Arrington is simply  
21 trying to do here is salvage a bad well, and they're doing  
22 so pursuant to the pool rules that have been drafted by  
23 Permian's predecessor.

24 This unorthodox location is contemplated by, and  
25 it is allowed the pool rules, particularly where you have

1 recompletion efforts like we do here.

2           The only issue here is -- Well, it's couched in  
3 terms of, Oh, my goodness, we're drilling so many wells,  
4 too many wells out there. They recognize the pool rules  
5 allow various wells to be drilled in a 160-acre spacing  
6 unit.

7           The real issue here is the encroachment upon  
8 their property, which is more than adequately covered by  
9 the production penalty that Mr. Arrington has agreed to,  
10 and that deals with the only issue here, and that's  
11 protection of their correlative rights. And I will note,  
12 Mr. Examiner, that the Division order that we put before  
13 you, R-11,403, talks about the 50-percent production  
14 penalty that has been opposed in this well and talks about  
15 semi-annual deliverability tests, et cetera. Arrington  
16 does not oppose that.

17           It's also my understanding that they do have  
18 separate tankage out there, or batteries out there. So  
19 it's not -- you know, the implementation of the penalty is  
20 not going to be a penalty, and it's something that  
21 everybody except Permian seems to realize is adequate to  
22 protect everybody's interests out there. The parties that  
23 are affected, the only one that has a problem with it here  
24 today, is Permian.

25           We would submit that their objection here is

1 nothing more than an effort to delay an Application that  
2 was filed back in April. We've already delayed this  
3 hearing a month to accommodate their need to have the  
4 witnesses here. Arrington has moved forward with this  
5 effort under the pool rules in a timely fashion.

6 Now they're talking about additional delay before  
7 Arrington can even go out there and try to make its  
8 allowable in its existing wells. We're going to end up  
9 with a situation where they're going to have two wells and  
10 Arrington is going to have two wells. That Hilburn Number  
11 3 sounds exactly like the same mechanics of the Mayfly  
12 Number 2. Nobody's being put at an unfair advantage here.  
13 Permian is adequately protected. We are here under the  
14 rules, we're acting pursuant to the rules. There is no  
15 basis to Arrington's Application.

16 EXAMINER CATANACH: Thank you.

17 Mr. Hall?

18 MR. HALL: Mr. Examiner, that's all well and  
19 fine, but I would point out as the Applicant and the  
20 operator it is incumbent upon Arrington to carry the burden  
21 of proof, and I think the primary concern for the Division  
22 is that it acts to protect correlative rights.

23 Arrington came forward with a single witness, a  
24 geologist, certainly a competent geologist, but they  
25 offered no credible engineering testimony that would

1 establish that granting their Application, any  
 2 implementation of a rather vague production restriction,  
 3 would act to protect Permian's correlative rights. I think  
 4 on that basis alone, failure of the proof in the record.

5 You don't have enough to act on. The Application  
 6 has to be denied.

7 EXAMINER CATANACH: Thank you, Mr. Hall.

8 Anything further in this case?

9 MR. FELDEWERT: No.

10 EXAMINER CATANACH: There being nothing further,  
 11 Case 12,663 will be taken under advisement. And this  
 12 hearing is adjourned.

13 (Thereupon, these proceedings were concluded at  
 14 3:00 p.m.)

15 \* \* \*

16  
 17 I do hereby certify that the foregoing is  
 18 a complete record of the proceedings in  
 the Examiner hearing of Case No. 12663  
 19 heard by me on June 16 1968  
 20 David K. Catanch, Examiner  
 Oil Conservation Division

21  
 22  
 23  
 24  
 25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL ~~June 20th~~, 2001.




---

STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 2002