

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 12,756
)
APPLICATION OF ARCH PETROLEUM, INC., FOR)
APPROVAL OF A PILOT PRESSURE MAINTENANCE)
PROJECT AND TO QUALIFY THE PROJECT FOR)
THE RECOVERED OIL TAX RATE PURSUANT TO)
THE ENHANCED OIL RECOVERY ACT, LEA)
COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

November 1st, 2001

Santa Fe, New Mexico

OIL CONSERVATION DIV.
01 NOV 15 PM 2:09

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, November 11th, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

November 1st, 2001
 Examiner Hearing
 CASE NO. 12,756

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>THOMAS LAND</u> (Landman)	
Direct Examination by Mr. Bruce	5
Examination by Examiner Catanach	9
<u>GLENN H. CURRY</u> (Geologist)	
Direct Examination by Mr. Bruce	10
Examination by Examiner Catanach	22
Examination by Mr. Brooks	27
<u>MARK KELLY</u> (Engineer)	
Direct Examination by Mr. Bruce	28
Examination by Examiner Catanach	39
Examination by Mr. Brooks	46
REPORTER'S CERTIFICATE	48

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	9
Exhibit 2	8	9
Exhibit 3	9	9
Exhibit 4	11	22
Exhibit 5	13	22
Exhibit 6	15	22
Exhibit 7	16	22
Exhibit 8	17	22
Exhibit 9	19	22
Exhibit 10	21	22
Exhibit 11	30	39

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS
Attorney at Law
Energy, Minerals and Natural Resources Department
Assistant General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law
3304 Camino Lisa
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

ALSO PRESENT:

DAVID R. CATANACH
Hearing Examiner
New Mexico Oil Conservation Division
1220 South Saint Francis Drive
Santa Fe, NM 87501

* * *

1 WHEREUPON, the following proceedings were had at
2 11:59 a.m.:

3
4 EXAMINER CATANACH: At this time we'll call Case
5 Number 12,756, the Application of Arch Petroleum,
6 Incorporated, for approval of a pilot pressure maintenance
7 project and to qualify the project for the recovered oil
8 tax rate pursuant to the Enhanced Oil Recovery Act, Lea
9 County, New Mexico.

10 Call for appearances.

11 MR. BRUCE: Mr. Examiner, my name is Jim Bruce of
12 Santa Fe, representing the Applicant. I have three
13 witnesses.

14 EXAMINER CATANACH: Any additional appearances?
15 Will the witnesses please stand to be sworn in?
16 (Thereupon, the witnesses were sworn.)

17 THOMAS LAND,
18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. BRUCE:

22 Q. Would you please state your name for the record?

23 A. Thomas Land, Midland, Texas.

24 Q. What is your occupation?

25 A. I'm a consultant with Arch Petroleum, landman.

1 Q. Okay. Have you previously testified before the
2 Division?

3 A. No, sir.

4 Q. Would you please summarize your educational and
5 employment for the Examiner?

6 A. Graduate of the University of Texas, PLM program
7 in Austin, Texas in 1979, I've been in the business, came
8 at it -- to Midland, Texas, since 1979 with Texas Oil and
9 Gas and been in exploration and land work since that time.

10 I'm a member of the PBLA, which is the Permian
11 Basin Landman Association, also the AAPL, the American
12 Association of Professional Landmen, certified 31483.

13 Q. And working for Arch does your area of
14 responsibility include this part of southeast New Mexico?

15 A. Yes, sir, it does.

16 Q. And are you familiar with the land matters
17 involved in this Application?

18 A. Yes, sir.

19 MR. BRUCE: Mr. Examiner, I'd tender Mr. Land as
20 an expert petroleum landman.

21 EXAMINER CATANACH: Mr. Land is so qualified.

22 Q. (By Mr. Bruce) Briefly, what does Arch seek in
23 this case?

24 A. Arch presently seeks an order approving a pilot
25 pressure maintenance project in the Teague-Paddock-Blinebry

1 Pool.

2 Q. Would you please identify Exhibit 1 and describe
3 the lands and the lease involved?

4 A. Exhibit 1 is a land plat, a portion of Township
5 23 South, Range 37 East, Federal Lease Number LC-030187,
6 and it's referred to as the Lamunyon lease. It covers
7 lands highlighted in the yellow on the plats, and it covers
8 parts of Sections 21, 22, 27 and 28.

9 The proposed project area, the 160 acres in
10 there, is comprised of the east half, northeast of 21, the
11 west half, northwest of 22, and the initial injection well
12 and the first four producing wells in the project area are
13 also identified.

14 Q. And are all of these wells operated by Arch?

15 A. Yes, sir.

16 Q. Where will the initial injection well be?

17 A. Arch's C.E. Lamunyon Well Number 79 will be
18 located in the southeast northeast of Section 21. This
19 well is in an unorthodox location, 1700 feet from the north
20 line and 10 feet from the east line. It has not been
21 approved, the Application has not gone in front of the
22 Commission yet.

23 Q. Okay, so the well has not yet been drilled?

24 A. It hasn't been drilled.

25 Q. Okay. And initially how many wells are in the

1 project area?

2 A. Four wells.

3 Q. Okay. And are these wells, the numbers of them,
4 underlined on the Exhibit 1?

5 A. Yes, sir.

6 Q. And are the wells identified and described by
7 footage and API Number on Exhibit 2?

8 A. Yes, sir.

9 Q. Is the Teague-Paddock-Blinebry Pool developed on
10 statewide rules?

11 A. Yes, sir.

12 Q. And is interest ownership, working royalty and
13 overriding royalty common throughout the project area?

14 A. Yes, sir.

15 Q. Who is the surface owner of the injection well
16 site?

17 A. George Weir out of San Antonio, Texas.

18 Q. Okay, and who are the offset operators within a
19 half a mile of the proposed injection well?

20 A. Offset operators include Apache Corporation;
21 Conoco, Inc.; Kaiser-Francis Oil Company; and Mid-Continent
22 Energy Operating Company.

23 Q. Okay. And were all of these persons notified of
24 the hearing?

25 A. Yes, sir.

1 Q. And is Exhibit 3 my affidavit of notice?

2 A. Yes, sir.

3 Q. Were Exhibits 1 through 3 prepared by you or
4 under your supervision or compiled from company business
5 records?

6 A. Yes, sir.

7 Q. And in your opinion is the granting of this
8 Application in the interests of conservation and the
9 prevention of waste?

10 A. Yes, sir.

11 MR. BRUCE: Mr. Examiner, I'd move the admission
12 of Arch's Exhibits 1 through 3.

13 EXAMINER CATANACH: Exhibits 1 through 3 will be
14 admitted as evidence.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Land, is Arch the only working interest owner
18 in this unit?

19 A. Yes, sir.

20 Q. And it's all federal royalty?

21 A. Yes, sir.

22 Q. And there's no difference in the overrides, any
23 overrides on these tracts?

24 A. No, sir, it's common interest.

25 Q. Okay, and there's currently four producing wells?

1 A. Yes, sir.

2 Q. And the plan is to add one additional injection
3 well, at least initially?

4 A. Yes, sir.

5 EXAMINER CATANACH: That's all I have, this
6 witness may be excused.

7 MR. BRUCE: Call Mr. Curry to the stand.

8 GLENN H. CURRY,

9 the witness herein, after having been first duly sworn upon
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. BRUCE:

13 Q. Will you please state your full name and city of
14 residence?

15 A. Glenn H. Curry, Midland, Texas.

16 Q. And who do you work for and in what capacity?

17 A. I work for Arch Petroleum, Incorporated, as a
18 senior geologist.

19 Q. Have you previously testified before the
20 Division?

21 A. No, I have not.

22 Q. Please summarize your educational and employment
23 background.

24 A. I have a bachelor's degree in geology from the
25 University of Texas of the Permian Basin, 1976. I have 24

1 years' experience in petroleum in the Permian Basin and
2 Rocky Mountain area. I've been employed by Arch Petroleum,
3 Incorporated, and as a geologist.

4 Q. And now Arch Petroleum is a wholly owned
5 subsidiary of Pogo Producing Company, is it not?

6 A. That's correct.

7 Q. Okay. And so you've been employed by them for
8 some years?

9 A. I was previously employed by Arch Petroleum, and
10 when Pogo acquired Arch I was brought over to Pogo.

11 Q. Okay. Does your area of responsibility at Arch
12 and Pogo include this area of southeast New Mexico?

13 A. That's correct.

14 Q. And are you familiar with the geology involved in
15 the Teague-Paddock-Blinebry Pool?

16 A. Yes, I am.

17 MR. BRUCE: Mr. Examiner, I'd tender Mr. Curry as
18 an expert petroleum geologist.

19 EXAMINER CATANACH: Mr. Curry is so qualified.

20 Q. (By Mr. Bruce) Mr. Curry, would you identify
21 your Exhibits 4 and 5 together and discuss the history of
22 this pool and production from the pool?

23 A. Okay. Exhibit 4 is a map of the Teague-Paddock-
24 Blinebry field. You'll note in yellow the Arch leasehold
25 within the field. I have a red rectangle indicating the

1 pilot area that we'll discuss today. The colored spots
2 indicate Paddock-Blinebry completions within the field.

3 I included this map to show the full extent of
4 the Teague field. It begins in Section 16 of 23-37,
5 extends to the southeast through Section 34 and 35.

6 Q. Is this a relatively old pool?

7 A. Yes, the field was discovered in 1948. It's
8 approximately 10 miles south of Eunice; it's halfway
9 between Eunice and Jal. It's on the western flank of the
10 Central Basin platform. It produces from stacked Permian-
11 age reservoirs as well as the deeper Devonian Simpson and
12 Ellenburger formations.

13 The cumulative production from all horizons is 18
14 million barrels of oil and 60 billion cubic feet of gas.
15 Production on the Arch leasehold totals 8 million barrels
16 of oil and 29 billion cubic feet of gas. The current rate
17 from Arch leasehold is 1198 barrels a day and 4410 MCF per
18 day.

19 In 1968, Gulf discovered the Teague-Blinebry
20 Pool. Arch Petroleum purchased the Chevron-operated leases
21 in 1994. Subsequently, the field was infilled to 20-acre
22 spacing within this pool.

23 In 1997 the vertical limits of the Teague-
24 Blinebry Pool were extended to include the Paddock
25 formation, and the pool was redesignated as the Teague-

1 Paddock-Blinebry Pool.

2 Production on the Arch leasehold from this pool
3 totals 4.2 million barrels of oil and 24 BCF gas. The
4 current rate from Arch leasehold is 627 barrels of oil per
5 day and 3910 MCF per day from 60 active producers.

6 Of course, the Paddock production was originally
7 completed in this area by Texaco, just north of the Teague
8 field, and by Plains Petroleum, now Saga Petroleum, to the
9 south of our leasehold. They were the first operators to
10 complete in this Paddock reservoir. And I believe that
11 Plains Petroleum was instrumental in getting the pool
12 redesignated as Paddock-Blinebry Pool.

13 Q. So the initial production was really more
14 Blinebry production, is what you're saying?

15 A. That's correct, that's correct.

16 Q. Okay, go ahead.

17 A. In 1998, December of 1998, the first successful
18 Paddock well was completed on the Arch leasehold. And
19 subsequent to that, 32 additional workovers and four new
20 drills were completed within the Paddock interval.

21 Q. And then the increased production is shown on
22 your Exhibit 5; is that correct, Mr. Curry?

23 A. Right, I'll call your attention to Exhibit 5,
24 which is a production plot. This plot begins in 1993 to
25 present. If you'll examine the plot from the period of

1 1994 through 1998, you can see a significant increase in
2 oil production and gas production. That was attributed to
3 20-acre infill drilling in the Blinebry Pool. And then
4 looking at the curve from December, 1998, to present, you
5 can see another significant increase in production, and
6 that would be attributed to the Paddock workovers and new
7 drills.

8 Q. Looking at the Paddock wells, do they initially
9 have a high rate of production, or have they, on the whole?

10 A. Yes, sir. For example, the initial well
11 completed in the Paddock Pool was the Lamunyon 51, in the
12 southeast of the northeast of Section 21, and that well --
13 we'll have a display on that later, but it completed at 120
14 barrels a day and 60 MCF per day. It was a fairly
15 significant rate initially.

16 Q. Okay. Now, with respect to the Paddock, is --
17 Well, let me take a step back. Has there been a fairly
18 rapid decline in production on these Paddock wells?

19 A. Yes, sir, that's correct. If you look at the
20 production plot again, Exhibit 5, you can see that there's
21 a very dramatic decline from, say, middle-1999 to present,
22 and they're continuing to decline.

23 Q. Okay. Is it -- At least as to the Paddock, is it
24 still in the relatively early stages of depletion?

25 A. Yes, sir, it is.

1 Q. Okay. Let's move on to your Exhibit 6 at this
2 point and discuss in a little more detail primarily the
3 Paddock geology in this area.

4 A. Okay, Exhibit 6 focuses on the Arch leasehold.
5 The pilot area is indicated with a red rectangle. There's
6 a green outline of the Paddock production, or the Paddock-
7 productive area. Wells that were completed outside of that
8 green outline produce water in the Paddock interval, so the
9 Paddock-producing area is confined within that area drawn
10 there.

11 The map on the left is a structure on top of the
12 Paddock pay zone. Generally you have a northwest-southeast
13 anticlinal closure, with the best production on the crest
14 of the structure.

15 The map on the right is a net isopach of the
16 Paddock pay. I've used a porosity cutoff of 8 percent, so
17 that represents the feet of net pay greater than 8 percent.

18 The pilot-area outline is indicated on both maps,
19 as well as the cross-sections that we'll show you.

20 Q. Okay. Now, just before we move off of this
21 map --

22 A. Yes.

23 Q. -- even though the pilot area is 160 acres, the
24 wells that would be immediately affected by the injector
25 are just the four immediate offsets to the injector; is

1 that correct?

2 A. That's correct.

3 Q. Okay. Let's move on to your Exhibit 7 and
4 discuss what you hope to achieve by instituting pressure
5 maintenance in this pool.

6 A. Okay, Exhibit 7 shows the method of calculating
7 the volumetric initial oil in place. This simply shows the
8 parameters that are provided the engineer to calculate the
9 oil in place.

10 The parameters were established well by well, and
11 this simply represents an average of each parameter used,
12 average pay 95 feet, average water saturation 49, and so
13 forth.

14 In the Lower part of the exhibit I have an
15 outline of the 160 acres that is represented on the map as
16 the pilot area. And as Mr. Bruce said, our pilot injection
17 well will affect the four immediate wells around it, Well
18 51, which was mentioned earlier, Well 49, 30 and 54.

19 Q. And are those four wells the only wells that were
20 used in calculating the estimated secondary recovery?

21 A. That's correct.

22 Q. Okay.

23 A. For the pilot area.

24 Q. And for the record, what does Arch hope to
25 recover from this particular pilot project?

1 A. We've estimated an incremental 60,000 barrels of
2 oil and 150 million cubic feet of gas attributed to the
3 pressure-maintenance project, single injector.

4 Q. Could you identify Exhibit 8 and discuss the
5 Teague -- the interval covered by the Teague-Paddock-
6 Blinebry Pool, and in particular the specific injection
7 zone?

8 A. Exhibit 8 is a type log. This well is the
9 Lamunyon 51. If you look back at your map, it's the third
10 well from the left on cross-section A-A'. That is also the
11 initial successful Paddock completion for this pool.

12 The type log is -- The curve on the left is
13 gamma-ray, the color-filled porosity curve in the right
14 track is the density neutron crossplot porosity. I have
15 shaded porosity greater than 8 percent.

16 The injection interval for the Teague-Paddock-
17 Blinebry Pool is indicated with a black bar on the right
18 side of the porosity track. The top of it is -- it begins
19 at the top of the Paddock pay, which is designated Paddock
20 P5, at 5097. The base of the injection interval is 5960,
21 which is the top of the Tubb or the base of the Blinebry
22 formation.

23 Q. In particular, although -- That covers the
24 Teague-Paddock-Blinebry Pool, does it not?

25 A. That's correct.

1 Q. Initially, the injection will only go into the
2 Paddock; is that correct?

3 A. That's correct. The initial pilot pressure
4 maintenance project is confined to the Paddock P5 and P4
5 only. The Blinebry formation below that is also a target
6 for future pressure maintenance projects. It's obvious,
7 looking at this long -- that the more interesting zone to
8 utilize this pilot is the Paddock P5 and P4, because it has
9 much better porosity and the core data shows it has better
10 permeability and so forth.

11 Q. Now, some of these wells, they produce from both
12 the Paddock and the Blinebry, do they not?

13 A. That's correct.

14 Q. How will the immediate four wells in the project
15 area be treated? Will they be left open in the Paddock and
16 Blinebry?

17 A. The wells, should we get approval for this pilot
18 project, we can isolate the Paddock P5 and P4 zones.

19 Q. Okay, so they'll be isolated from the Blinebry?

20 A. Right, and we also feel that the Blinebry is such
21 a low-permeability reservoir that it probably won't get any
22 water in there.

23 Q. But just for practicalities at this time, those
24 four wells would have the zones isolated?

25 A. Yes, sir.

1 Q. Okay. Let's move on to your cross-section.
2 Please identify that for the Examiner.

3 A. Okay, Exhibit 9 is -- contains two cross-
4 sections. There are two east-west stratigraphic cross-
5 sections, A-A' and B-B'. As mentioned before, they're
6 indicated on the map in blue lines.

7 The cross-section A-A' goes right through the
8 pressure -- the pilot area.

9 Again, the porosity logs in the right track are
10 color-filled for porosity greater than 8 percent. The pay
11 zone is shaded light green.

12 Now, these are stratigraphic cross-sections, and
13 they are flattened on the top of the Blinebry. You can see
14 the Blinebry datum dashed across there. So the light-
15 green-shaded area is the pay zone. My isopach and
16 structure map relate to that shaded green area.

17 There are two wells on these cross-sections that
18 have been cored. On A-A', Seeton Number 3, which is the
19 far left well, you can see the core that cut through the
20 Paddock pay as well as the upper portion of the Blinebry.
21 And the Travis Number 4 is on cross-section B-B', the
22 second well from the left. It shows a core in the Paddock
23 5 and 4.

24 Okay, I've examined both cores, and the Paddock
25 is an upper Leonard carbonate. Its total extent is about

1 300 feet vertical thickness. It's bound above by the
2 Glorieta and below by the Blinebry. It was deposited on a
3 carbonate ramp, gently dipping to the southwest, to the
4 Delaware Basin. Repeated transgressions and regressions
5 deposited cycles of carbonate grainstones, packstones,
6 wackestones and mudstones, forming multiple cleaning upward
7 cycles stacked in packages or sequences. In most cases,
8 the better perm and porosity occur in the grain-rich
9 carbonates, cleaner at the top of each cycle.

10 Shows were encountered through the entire
11 Glorieta-Paddock interval, but through production testing
12 we've determined that the only commercially productive
13 reservoir is confined to the Paddock 5 and Paddock 4
14 interval, which is shaded green on the cross-sections.

15 The average net pay is 95 feet, the average
16 porosity is 12 percent, the average perm is 14
17 millidarcies, and the average water saturation is 49
18 percent.

19 In comparison, the Blinebry reservoir has a
20 similar environment, although it is predominantly mudstone.
21 It has porosities averaging 5, 6 percent, and the
22 permeabilities average less than 1 millidarcy.

23 Q. So geologically speaking, the Paddock is a good
24 candidate for waterflooding?

25 A. Yes, sir, it is. We also did some lab tests from

1 core plugs and actually did a laboratory-simulated
2 flooding, and it showed that significant oil could be
3 recovered in that reservoir.

4 Q. Based on your mapping, is the proposed injection
5 zone continuous across the project area?

6 A. As the cross-section indicates, I can correlate
7 easily the Paddock 4 zone throughout the area. The Paddock
8 5 zone is correlatable, it does show some changes
9 laterally, but you can still correlate it across.

10 Q. Is there a freshwater-bearing zone in this area?

11 A. No, sir.

12 Q. And are there any faults in this area which would
13 connect zones among each other?

14 A. No, sir.

15 Q. And does Exhibit 10 contain a summary of your
16 testimony?

17 A. That's correct.

18 Q. Were Exhibits 4 through 10 prepared by you or
19 under your supervision?

20 A. Yes, they were.

21 Q. And in your opinion is the granting of this
22 Application in the interests of conservation and the
23 prevention of waste?

24 A. Yes, it is.

25 MR. BRUCE: Mr. Examiner, I'd move the admission

1 of Arch Exhibits 4 through 10.

2 EXAMINER CATANACH: Exhibits 4 through 10 will be
3 admitted as evidence.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. Mr. Curry, do you know why the Paddock was
7 originally -- or back in 1997, why they included the
8 Paddock in the pool, the Blinebry Pool?

9 A. I'm not familiar with that hearing. I know that
10 after the hearing I saw evidence in scout tickets that they
11 had combined the two zones. That would be Plains Petroleum
12 at that time, now Saga, just immediately south of our
13 leasehold.

14 Q. Okay. You say the Blinebry is not a candidate
15 for pressure maintenance operations at this time?

16 A. That's correct.

17 Q. Do you anticipate that it may be at a later time?

18 A. Yes, sir, we've done a study on the Blinebry, and
19 it does show -- we've done some laboratory testing on the
20 core plugs of the Blinebry, and we feel like that a portion
21 of the Blinebry could be flooded. But we obviously see the
22 best -- We need to start with the Paddock. There's a
23 chance the Blinebry flood could be unsuccessful for several
24 reasons. I've looked at Blinebry floods in other areas,
25 Arco's, and there may be more discontinuity of the

1 reservoir.

2 We feel like that this pilot in the -- Well, I've
3 answered your question about the Blinebry. There's a
4 possibility it could become a pressure maintenance project
5 in the future.

6 Q. The quality of the reservoir, you said it was
7 tighter in the Blinebry?

8 A. Yes, sir.

9 Q. And you didn't think that you could get much
10 water into it, is that what you --

11 A. We're uncertain if we can inject water into it or
12 not.

13 Q. Okay. With regards to the Paddock, is the 4 and
14 5 -- I believe you call them P4 and P5?

15 A. Yes, sir, that's just my own designation to
16 identify the sequences.

17 Q. Okay. Is that the only interval being produced
18 in the Paddock?

19 A. That's correct, in this -- in our leasehold.

20 Q. In your leasehold?

21 A. Yes, sir.

22 Q. Okay, there's other Paddock production outside
23 this area, besides the 4 and 5?

24 A. If you go back to the initial exhibit, the small
25 map, that would be Exhibit Number 4 --

1 Q. Uh-huh.

2 A. -- now unfortunately, you can't distinguish
3 Paddock or Blinebry completions, they're reported together.
4 But I can tell you that Section 34, the northeast quarter
5 of 34, has some wells that are productive from the Paddock.
6 And if you look up in Section 8, 9, Texaco has a small
7 field up there in the northwest corner of 9. That's very
8 good Paddock wells up there.

9 It was actually Texaco and Plains' work that got
10 me interested in pursuing the Paddock pay zone, and I'm
11 really glad I did. It's been a very good reservoir for us.

12 Q. Okay.

13 A. It took me a while to find it. I drilled -- I
14 perforated a lot of water wells first, but we did find it.
15 And the outline indicated on the other map of the Paddock
16 production, we've defined that outline with wells outside
17 -- you know, perforated outside that limit, and they've
18 produced water, a little bit of oil but noncommercial. So
19 we know where it is. And it is limited to that lower
20 Paddock interval. Perforations above it produce water.

21 I believe that's why it's been hidden this long.
22 The upper Glorieta and Paddock was tested back in the 1960s
23 and the -- DSTs, and got water. But this lower zone was
24 never tested since 1948.

25 Q. Are the 4 and the 5 intervals, are they separated

1 by something that's some kind of barrier?

2 A. If you look at the cross-section, there's a hot
3 gamma-ray streak. Let's say in the Lamunyon 51, the third
4 well on A-A', you can see from 5460 to -70, there's a hot
5 gamma-ray streak there. That is actually a coaly shale in
6 many -- in my cores. It represents a significant low
7 stand. It correlates for some distance. It's a very good
8 timeline. So that's why I use that as a boundary for one
9 of my sequences.

10 If you look at the gamma ray you can see cleaning
11 upward cycles throughout the Paddock area, which is
12 extremely common for Paddock, Blinbry, upper Clearfork.
13 It's just a -- very common.

14 So yes, there's a separation. Is it a
15 permeability barrier? Yes. I don't know how effective it
16 is, but it's certainly a good strati- -- I was glad to find
17 it. It helped me have more confidence in my correlation
18 through there.

19 Q. Okay. Within the pilot area, on your Exhibit 7
20 you show six producing wells. Now, I assume all those
21 wells are active producing wells?

22 A. Yes, sir, they are.

23 Q. Now, you've estimated that only four of those
24 will be affected by the secondary recovery operations. Is
25 that your assessment?

1 A. I believe the four immediate wells will have
2 significant influence from the pressure maintenance
3 project. I feel like the two wells to the north could
4 possibly have some influence, but it would not be very
5 significant, due to the distance away from the injector.

6 Q. Okay. Do you know, Mr. Curry, what the current
7 production rate of your wells is?

8 A. I believe the -- Mark Kelly has that information
9 recorded in his exhibit.

10 Q. Okay.

11 A. It's approximately -- I think they've declined to
12 about 15 barrels a day or -- average.

13 Q. Now, is this thing going to be expanded later on?

14 A. I certainly hope so.

15 Q. You mentioned something about -- Let me ask you
16 this: Is the 79, the injection well, is that going to be
17 drilled through the Blinebry?

18 A. We have it right now through the Paddock. We may
19 -- If the entire interval is approved, we could certainly
20 take it down to the Blinebry for future -- you know.

21 Q. But the intent right now is just to take it to
22 the Paddock?

23 A. We feel the Paddock is a much more interesting
24 reservoir to test, has a much higher possibility of success
25 than the Blinebry, just due to the higher perm and obvious

1 better continuity.

2 Q. Okay. You mentioned something also about in the
3 producing wells, about isolating the Paddock from the
4 Blinebry. Can you elaborate on that?

5 A. I may refer that to the engineer. I'm sure
6 they'll use some type of plug to isolate it.

7 EXAMINER CATANACH: Okay, I believe that's all I
8 have, Mr. Bruce.

9 MR. BROOKS: May I ask one question here?

10 THE WITNESS: Yes, sir.

11 EXAMINATION

12 BY MR. BROOKS:

13 Q. What is there about the reservoir or the
14 production at this time that makes this a desirable time to
15 commence the water injection project in this reservoir?

16 A. Well, sir, if you look at the production plot, I
17 don't think we've reached the bubble point yet. A lot of
18 the gas -- I would think that -- This is an engineering
19 question that I may not be technically --

20 Q. Okay, well, I appreciate --

21 A. -- but I think we're still --

22 Q. -- your position here --

23 A. -- I think we're still above the bubble point,
24 and it would be in the best interest of conservation to get
25 pressure maintenance as soon as possible and increase

1 recovery.

2 MR. BROOKS: Okay.

3 EXAMINER CATANACH: Okay, this witness may be
4 excused.

5 MARK KELLY,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. BRUCE:

10 Q. Would you please state your name for the record?

11 A. Mark Kelly.

12 Q. Where do you reside?

13 A. Midland, Texas.

14 Q. Who do you work for and in what capacity?

15 A. Arch Petroleum, senior petroleum engineer.

16 Q. Have you previously testified before the
17 Division?

18 A. Yes, sir.

19 Q. And were your credentials as an expert engineer
20 accepted as a matter of record?

21 A. Yes, sir.

22 Q. And are you familiar with the engineering matters
23 related to this Application?

24 A. Yes.

25 MR. BRUCE: Mr. Examiner, I'd tender Mr. Kelly as

1 an expert petroleum engineer.

2 EXAMINER CATANACH: Mr. Kelly is so qualified.

3 Q. (By Mr. Bruce) Referring back to the Exhibit 7
4 just briefly, do you have a copy of that in front of you,
5 Mr. Kelly?

6 A. Yes.

7 Q. Okay. Just again, reiterate what the initial
8 injection and producing wells will be in the project area.

9 A. Initial injection well will be that Number 79,
10 the proposed well. Proposed TD is 7300 feet, which is just
11 to the Paddock and not into the Blinebry. The schematic of
12 that is in our C-108 showing the setup for the injection
13 well.

14 The producing wells are the direct offsets to the
15 injection well Number 30, 49, 51 and 54, and those are
16 Paddock wells producing at the present time. Two of those
17 are still isolated from the Blinebry zone with plugs right
18 now. Two of those have had the plugs pulled and are
19 commingled, but we can reset those plugs and isolate so
20 that we only have Paddock production coming from those four
21 offset wells.

22 Q. Okay.

23 A. The average production from those four wells is
24 14 barrels a day right now. It ranges from 9 to 14 from
25 those four wells. We still feel like they're in the

1 primary stage, so we have not seen any increase in the gas
2 production from those wells.

3 Q. So even though you're down around that 15-barrel-
4 per-well-per-day level, which is what you could call
5 stripper state, this Paddock production is still primary
6 production?

7 A. That's correct.

8 Q. Okay. So after the initial steep decline in
9 these wells, it even flattens out --

10 A. Normally it's a hyperbolic-type decline. Initial
11 decline is 55 to 65 percent and then begins to level out
12 generally around 10 percent with an exponential decline
13 from there on out.

14 Q. Okay. Maybe we'll come back to Exhibit 7 in a
15 minute, but let's discuss the injection operations. Would
16 you identify Exhibit 11 for the Examiner?

17 A. This exhibit is a copy of the Form C-108 for the
18 project, and for reference the pages are numbered down in
19 the bottom right-hand corner.

20 Q. Now, there's one question I forgot to ask you.
21 What type of reservoir is this? I mean, what is the drive
22 mechanism in the reservoir?

23 A. Solution gas drive reservoir.

24 Q. And once again, the injection well has not yet
25 been drilled, has it?

1 A. That is correct.

2 Q. It won't be drilled unless you get approval for
3 this project?

4 A. That is correct.

5 Q. Now, this is an old producing area. Referring to
6 pages 1 through 11 of the exhibit, how many wells are there
7 in the area of review which penetrate the Paddock-Blinebry?

8 A. There are 29 wells within the half-mile radius of
9 the injector.

10 Q. And is a listing of those wells given at pages 2
11 through 11 of Exhibit 11?

12 A. Yes, included in those pages, yes, sir.

13 Q. Are any of these wells plugged and abandoned?

14 A. There are four wells that have been P-and-A'd.

15 Data on those wells are included in the C-108. At the
16 initial submittal of this form for administrative approval,
17 there was some concern about the Travis Number 1 well,
18 which is operated by Mid-Continent in there.

19 When initially submitted for the administration,
20 there was some concern about the cement covering this zone
21 in that well. We have gone back and researched those
22 records, got some more records from Mid-Continent Energy
23 about that particular well, and found that the cement top
24 now should be at plus or minus 3600 feet, which is well
25 above that Paddock zone.

1 Page 21 of that exhibit indicates the situation.

2 Q. Yeah, which -- there's several -- I think the
3 total information is at pages what, 12 through 29?

4 A. Yes, that's right.

5 Q. Would you go down through that well by well and
6 discuss whether those wells have been adequately cemented
7 and what, if any, remedial work would be needed on any of
8 the wells?

9 A. The Lamunyon 14 has been properly plugged; the
10 Salt Mountain Number 1 was plugged without initial
11 completion, drilled and plugged at that time; and the
12 Lamunyon Number 47 is actually included in there, but it
13 has not been permanently plugged but is still in the
14 temporarily abandoned stage. And then the Travis Number 1,
15 which was plugged back in 1967, but then later on another
16 company attempted to re-enter the wellbore and make a
17 producer out of it.

18 Q. So what you're saying is, what, the Lamunyon
19 Number 47 will need to be plugged; is that what you're --

20 A. Yes, that is correct.

21 Q. Okay, so remedial work will need to be done on
22 that well?

23 A. Right.

24 Q. The Salt Mount well, that one is adequate?

25 A. Yes, it was plugged initially after drilling.

1 Q. Okay, and then the other Lamunyon well, I forget
2 the number of it --

3 A. Fourteen.

4 Q. -- Number 14, that one --

5 A. Properly plugged.

6 Q. -- is properly plugged.

7 And then the Travis Number 1, that one has kind
8 of a convoluted history, doesn't it, Mr. Kelly?

9 A. Yes, there was concern about that one. 1948, the
10 well was drilled, the 7-inch was cemented with 700 sacks at
11 that time. Had a temperature survey that showed the top of
12 the cement at 5400 feet. This information is indicated
13 primarily on page 21 of that Exhibit, showing a wellbore
14 schematic.

15 Two years later, they did a squeeze in the 7-inch
16 at 4635 to -37, with 325 sacks. That calculation would
17 indicate fill to the top of the cement at 3600 feet, plus
18 or minus. There was no temperature survey or anything run
19 to determine that.

20 In 1966 the well was P-and-A'd. The attempted to
21 cut the 7-inch casing, once at 4489 and then again at 4416
22 and could not pull the casing. They went on up to 3608 and
23 cut the casing at 3608 and could pull it at that depth.
24 That pretty well fits with our estimated calculations of
25 where that 325 sacks of squeeze would have gone. We knew

1 before the top of the cement was at 5400 feet with the
2 temperature survey, and then the 325-sack squeeze would
3 have brought it up to around 3600 feet.

4 And then when they -- and during the plugging
5 operations when they attempted to pull that casing below
6 there, they could not pull it, most likely because there
7 was still cement below the pipe and they had to go up to
8 3608.

9 So we feel like we're covered pretty well with
10 cement behind the zone, that Paddock zone, in this
11 particular well.

12 Q. Okay, so that well in its current condition would
13 present no problems for the injection project?

14 A. That is correct.

15 Q. Okay. Are the producing wells which are in the
16 area of review properly completed, and will they prevent
17 the movement of fluids to other zones?

18 A. Yes, I see no completion problems with any of the
19 other producing wells. Again, when we initially submitted
20 this 108 for administrative approval, there was some
21 concern on the Lamunyon Number 10 well. It was indicated
22 that the calculated top of cement was 5400, and that
23 particular well would not cover the Paddock zone.

24 So again we went back and researched additional
25 records on that well and did find that there was a second

1 cement job on the initial production casing setting of 325
2 sacks, so there was a total of 700 sacks, and there was a
3 temperature survey run in that well that showed top of
4 cement at 4876, and those records are indicated in the
5 current C-108.

6 Q. Okay. What will be the proposed injection
7 operations, as far as water injection goes?

8 A. We anticipate an average injection rate of 900
9 barrels of water per day into the injection well. Maximum
10 rate is about 1500 barrels of water per day.

11 Q. And what will the pressures be?

12 A. We're looking at about 900 p.s.i., is what we
13 anticipate to be the injection pressure, but certainly no
14 higher than 1100 pounds, which is the maximum allowed at
15 this time.

16 Q. You wouldn't initially exceed the .2-p.s.i.-per-
17 foot limitation in the Division's rules?

18 A. That is correct, we would not exceed that.

19 Q. Okay. Is there a stimulation program for the
20 injection well?

21 A. The only stimulation on the injection well would
22 be an acid job, initial acid job.

23 Q. What about sources of fresh water in this area?
24 Have the records been checked to determine where the
25 nearest wells may be?

1 A. Yes, they have. The closest freshwater well is
2 down in Section 29, which is off that smaller plat there,
3 but it's about two miles away from our proposed injection
4 well.

5 Q. Okay. What is the source of the injection water?

6 A. Injection water will be produced water from the
7 surrounding wells in this field.

8 Q. Okay, so it will be coming from the same zones
9 and just be reinjected?

10 A. That's correct.

11 Q. As a result, do you anticipate any compatibility
12 problems between the injection and formation water?

13 A. No problems.

14 Q. Let's get back to the one thing about the current
15 -- Roughly, what are the rates of these four producing
16 wells, producing rates?

17 A. Okay, the four surrounding wells that we have
18 there on -- I think it's Exhibit Number 7 -- Well Number 30
19 is 15 barrels a day, 14 barrels of water, 68 MCF.

20 Well Number 49 is 15 barrels a day, 2 water and
21 121 MCF.

22 Well Number 51 is 13 barrels a day, 30 water and
23 80 MCF.

24 And Well 54 is 9 barrels a day, 33 water, and 40
25 MCF a day.

1 Wells Number 30 and 54, the plug has been pulled.
2 Those are the two currently commingled wells between the
3 Paddock and Blinebry.

4 And 49 and 51 still have the plug installed to
5 isolate the producing intervals. 49 and 51 are producing
6 just from the Paddock formation.

7 Q. And again, what do you hope to recover in
8 secondary production from these four wells?

9 A. We've estimated 15 percent recovery for primary
10 and we're looking for another 15 percent for the secondary
11 recovery, a one-to-one ratio on this particular flood. And
12 then our pilot program, just using these four wells
13 surrounding the injection well, we would hope to get an
14 additional 60,000 barrels recovery from the pilot program.

15 Q. Will this project result in an increase in the
16 amount of crude oil ultimately recovered from the
17 reservoir?

18 A. Yes, it will.

19 Q. What are the approximate costs of this project?

20 A. Facility cost at our battery there where the
21 water is all taken would be about \$75,000. And then the
22 cost to drill the 5300-foot injection well is approximately
23 \$600,000, a total of \$674,000.

24 Q. Okay. And the project area requested is the east
25 half, northeast quarter of Section 21 and the west half,

1 northwest quarter of Section 22; is that correct?

2 A. That is correct, which is 160 acres.

3 Q. What about an allowable for the project?

4 A. We would like to request an allowable of 200
5 barrels a day for the project. That would be for all four
6 wells combined.

7 Q. Okay, that's not based on any depth bracket
8 allowable --

9 A. No, it's not.

10 Q. -- it's just an outside number?

11 A. That's correct.

12 Q. Okay. In your opinion, is it prudent to apply
13 enhanced oil recovery techniques to maximize recovery of
14 oil from this pool?

15 A. Yes, I expect that the reservoir pressure decline
16 will be stabilized with the injection of this water for a
17 pressure maintenance program, and as a result, then, the
18 solution gas drive energy will be conserved, give us a high
19 recovery factor and extended life in the reservoir.

20 Q. Do you expect an increase in oil production
21 rates?

22 A. I don't expect any significant increase in the
23 oil rate, but more of a stabilized rate rather than a
24 continued decline.

25 Q. Is this pressure maintenance project economically

1 and technically feasible at this time?

2 A. Yes, it is, based on assumed 60,000 barrels
3 initial recovery and the cost we're looking at here to
4 drill and complete the injection well, it would be an
5 economical project.

6 Q. In your opinion, is the granting of this
7 Application in the interests of conservation and the
8 prevention of waste?

9 A. Yes.

10 Q. And was Exhibit 11 prepared by you?

11 A. Yes.

12 MR. BRUCE: Mr. Examiner, I'd move the admission
13 of Arch Exhibit Number 11.

14 EXAMINER CATANACH: Exhibit Number 11 will be
15 admitted as evidence.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Kelly, how would you determine when a
19 positive production response to your water injection
20 occurs?

21 A. Well, we can monitor wells, the production from
22 the wells, individually. We'll continue to do that. When
23 we see some production stabilization or a slight production
24 increase, we'll know that we're getting some influence from
25 the water.

1 And we'll probably also use some type of
2 injection fluid in the water to monitor from the producing
3 wells, include it into the injected water and monitor that
4 from the producing wells to know when it has reached those
5 particular wells.

6 Q. So are all of these wells pretty much declining
7 at the same rate?

8 A. Yes. And most of them have come down from their
9 55-percent and are basically in the turn of the curve right
10 now, 10- to 15-percent decline rate.

11 Q. Why would it be necessary -- well, let me ask you
12 this: Do you plan on isolating the Blinebry and the
13 Paddock and the two other wells?

14 A. Yes, we could do that, just in this pilot
15 program, to see the effects of -- we intend to be putting
16 water just in the Paddock zone because of the way we're
17 setting up the injection well. I mean, we're not frac'ing
18 anything, we're just doing a small acid job to clean it up.
19 So we would hope everything would stay in zone, and we
20 should get our response basically from the Paddock zones.

21 If we don't have the wells isolated, two of the
22 wells isolated, we wouldn't know for sure where it was
23 coming from. Say we got some of the chemical dispersion of
24 whatever we're putting in the injection water to monitor
25 the fluid, say it came out of a couple of the wells that

1 were not isolated by a bridge plug, we wouldn't know for
2 sure that it was coming from the Blinebry or Paddock. But
3 when we have the zones isolated we would know that for
4 sure.

5 Q. So you plan on isolating those two wells?

6 A. Yes, that's correct.

7 Q. But not the two wells -- not the 42 and the 44

8 A. Those are the two further up north, no, not at
9 this time.

10 Q. You're not going to do anything to those?

11 A. No.

12 Q. So the 54 and the 47 you're going to isolate?

13 A. Yes, the 54 and the 30.

14 Q. 54 and the 30.

15 A. Right. 49 and 51 are currently isolated.

16 Q. Okay. Now then, you said there was four
17 P-and-A'd wells, right?

18 A. I think that's correct, yes.

19 Q. And the --

20 A. One of them is actually listed as TA'd. That was
21 the Lamunyon 47, I believe.

22 Q. Okay, the Number 10, the Lamunyon Number 10 on
23 page 12, that is a --

24 A. 10 is a producing well.

25 Q. It's a producing well, okay.

1 A. That was the one we initially had the concern
2 about the cement top when this was submitted for
3 administrative approval.

4 Q. Okay, and you found some additional cement that
5 had been --

6 A. Right.

7 Q. -- squeezed behind that casing?

8 A. And a temperature survey that showed the top.

9 Q. Okay. The C.E. Lamunyon Number 79 --

10 A. That's the proposed injection well, that's a
11 schematic for the completion of the injection well.

12 Q. I'm sorry, C.E. Lamunyon Number 14.

13 A. Oh, okay.

14 Q. There's two different --

15 A. Yeah, I think the 79 is the project. I think
16 that name got on there, because this is the project --

17 Q. I got you.

18 A. I think the actual well name is below that.

19 Q. The 14. And the 14 you don't see any problem
20 with?

21 A. No, sir.

22 Q. Okay, the Travis?

23 A. Yes, the Travis Number 1.

24 Q. Travis Number 1. Now, you said you did find
25 where they squeezed some additional cement behind the

1 production casing?

2 A. Yes, they did a cement squeeze, 325 sacks.

3 Before that squeeze the temperature survey showed the top
4 of cement at 5400 feet. We did the cement squeeze, and
5 assuming a 10-inch hole, we calculated the estimated top at
6 about 3600 feet.

7 Q. Okay.

8 A. And then when they did P-and-A the well,
9 attempting to cut the casing at 4400 and 4600, they weren't
10 able to pull the casing at that point, and they had to go
11 up to 3608 before they could pull the casing, which would
12 indicate there was cement at least from that squeeze, would
13 go along with the estimated calculations up to
14 approximately 3600 feet.

15 Q. Okay, this is a P-and-A'd well?

16 A. It was P-and-A'd in 1966. In 1967 another
17 company took the well over and attempted to re-enter the
18 well, and they were unsuccessful in doing that, they lost
19 quite a bit of junk in the hole, drill collars and washpipe
20 and bits, and the well was temporarily suspended in 1967.

21 Q. Temporarily suspended?

22 A. Yes, they left it that way.

23 Q. So what's the well condition currently?

24 A. The schematic on page 21 shows what the well
25 conditions are.

1 Q. The two plugs and the casing that you show at a
2 depth of 4000 and a little bit deeper --

3 A. Yes.

4 Q. -- what are those right there?

5 A. Those are -- That's washpipe and drill collars
6 and bits. And the same up at 1300 feet, that's washpipe
7 and drill collars.

8 Q. And --

9 A. The attempt was to get back down to tie into that
10 7-inch and run it back to the surface, but they were never
11 able to do that and kept losing junk in the hole.

12 Q. Okay, so you still have a situation where the
13 casing -- there is no casing from 3600 up to 3000?

14 A. That's correct, the 7-inch casing has been cut at
15 3608.

16 Q. Was this well -- are there any perforations in
17 the Blinebry or Paddock in this well?

18 A. It was a McKee well originally, and that is at
19 about 9600 feet. And there were -- let's see, perforations
20 -- perforations for the squeeze and the Abo at 6700 to 7200
21 feet.

22 So no perforations in the Paddock-Blinebry area.

23 Q. So it's your opinion that this well doesn't pose
24 any kind of hazard to your injection operation?

25 A. That is correct.

1 Q. Where is this well located, Mr. Kelly?

2 A. It would be in Section 21, it would be the
3 northeast of the southeast. There's a number 1 right there
4 in the middle of that little 160 or 40. It's about 2000
5 feet just south of our injection well and a little bit to
6 the west.

7 Q. What are the prospects of re-entering and
8 plugging that well in a proper method?

9 A. They tried for several days and spent a lot of
10 money trying to re-enter to tie that back, and it just
11 continued to get worse, and that's when they suspended
12 their operations.

13 Q. Now, who's "they" again?

14 A. At that time it was Branko. It's now operated by
15 Mid-Continent Energy.

16 Q. It's just sitting out there in that condition?

17 A. That's correct.

18 Q. Okay. And you did mention something about a
19 Number 47 well, which --

20 A. I believe that one is temporarily abandoned, not
21 permanently abandoned, Lamunyon Number 47.

22 Q. And that's listed as a producing well or --

23 A. Yes, that's correct.

24 Q. And you said something needed to be done with
25 that?

1 A. Yes, we would to go ahead and plug that well.

2 Q. It's currently T-and-A'd?

3 A. Correct.

4 EXAMINER CATANACH: Okay, that's all I have of
5 the witness, Mr. Bruce.

6 EXAMINATION

7 BY MR. BROOKS:

8 Q. Okay, let me reiterate again to you the question
9 that I addressed to the previous witness. What is there in
10 terms of timing, what is there that makes this the
11 appropriate timing for an injection well in this Paddock
12 formation?

13 A. We still think we're in the primary phase, the
14 gas doesn't appear to have come out of solution yet, so we
15 still think we're above the bubble point and reservoir
16 pressure.

17 And if we can maintain that we'll get a better
18 recovery from the reservoir, rather than trying to maintain
19 it after we've gone below the bubble point.

20 Q. And you think there'd be a hazard passing that if
21 you postponed this project?

22 A. Yes, the longer we go, I think, the less chance
23 we're going to have. We'd probably get some recovery but
24 not as much as we anticipate right now.

25 MR. BROOKS: Thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXAMINER CATANACH: The witness may be excused.

MR. BRUCE: I have nothing further in this case,
Mr. Examiner.

EXAMINER CATANACH: Okay, Mr. Bruce, there being
nothing further in this case, Case 12,756 will be taken
under advisement.

(Thereupon, these proceedings were concluded at
12:59 p.m.)

* * *

I do hereby certify that the foregoing is a true and correct copy of the proceedings as heard and reported at the hearing held at the Oil Conservation Division, Case No. 12756, on November 1, 1961.
David R. Catanach, Examiner
Oil Conservation Division

