

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF DEVON ENERGY PRODUCTION)
COMPANY, L.P. TO ABOLISH THE SPECIAL)
RULES AND REGULATIONS FOR THE BUFFALO)
VALLEY-PENNSYLVANIAN GAS POOL, CHAVES)
COUNTY, NEW MEXICO)

CASE NO. 12,778

ORIGINAL

OIL CONSERVATION DIV
02 JAN 24 11 31 17

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

January 10th, 2002

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, January 10th, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 10th, 2002
 Examiner Hearing
 CASE NO. 12,778

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>MEG MUHLINGHAUSE</u> (Landman)	
Direct Examination by Mr. Bruce	5
Examination by Examiner Catanach	8
<u>GAYLE RIGGS</u> (Geologist)	
Direct Examination by Mr. Bruce	10
Examination by Examiner Catanach	15
<u>JAN GLASGOW</u> (Engineer)	
Direct Examination by Mr. Bruce	17
Examination by Examiner Catanach	22
YATES WITNESS:	
<u>TIM MILLER</u> (Geologist)	
Direct Examination by Mr. Carr	24
Examination by Examiner Catanach	30
REPORTER'S CERTIFICATE	33

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	8
Exhibit 2	7	8
Exhibit 3	8	8
Exhibit 4	11	14
Exhibit 5	12	14
Exhibit 6	13	14
Exhibit 7	19	22
Exhibit 8	20	22

* * *

Yates	Identified	Admitted
Exhibit 1	26	30
Exhibit 2	27	30

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS
Attorney at Law
Energy, Minerals and Natural Resources Department
Assistant General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law
324 McKenzie
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR YATES PETROLEUM CORPORATION:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 8:22 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 12,778, the Application of Devon Energy Production Company,
5 L.P. to abolish the special rules and regulations for the
6 Buffalo Valley-Pennsylvanian Gas Pool, Chaves County, New
7 Mexico.

8 Call for appearances in this case.

9 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
10 representing the Applicant. I have three witnesses to be
11 sworn.

12 MR. CARR: May it please the Examiner, William F.
13 Carr with Holland and Hart, L.L.P., Santa Fe. We represent
14 Yates Petroleum Corporation, and I have one witness.

15 EXAMINER CATANACH: Any additional appearances?
16 Can I get the four witnesses to please stand and
17 be sworn in at this time?

18 (Thereupon, the witnesses were sworn.)

19 MEG MUHLINGHAUSE,
20 the witness herein, after having been first duly sworn upon
21 her oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your name and city of
25 residence?

1 A. Meg Muhlinghouse, Oklahoma City, Oklahoma.

2 Q. Who do you work for?

3 A. Devon Energy Corporation.

4 Q. What is your job with Devon?

5 A. I'm a senior landman.

6 Q. Have you previously testified before the

7 Division?

8 A. Yes.

9 Q. And were your credentials as an expert landman
10 accepted as a matter of record?

11 A. Yes.

12 Q. And are you familiar with the land matters
13 involved in this case?

14 A. Yes.

15 MR. BRUCE: Mr. Examiner, I tender Ms.

16 Muhlinghouse as an expert petroleum landman.

17 EXAMINER CATANACH: Ms. Muhlinghouse is so
18 qualified.

19 Q. (By Mr. Bruce) What does Devon Energy seek in
20 this case?

21 A. Devon seeks to abolish the special rules for the
22 Buffalo Valley-Pennsylvanian Gas Pool.

23 Q. What is Exhibit 1?

24 A. Exhibit 1 is a land plat outlining the pool.
25 Also outlined on the map is the nearest Morrow gas pool,

1 which is the Diamond Mound-Morrow Gas Pool.

2 Q. What are the rules in the Buffalo Valley Pool?

3 A. Spacing is on 320 acres with wells to be in
4 either the northwest quarter or the southeast quarter of
5 the section, with one well per 320 acres. Also the wells
6 can be no closer than 990 feet to a quarter-section line
7 and no closer than 330 feet to a quarter-quarter section
8 line.

9 Q. What are the rules in the Diamond Mound Pool?

10 A. That pool is on statewide spacing, which allows
11 one well in each quarter section, with wells no closer than
12 660 feet to a quarter-section line. The --

13 Q. Is there -- Go ahead.

14 A. The Buffalo Valley rules are much more
15 restrictive than the Diamond Mound rules.

16 Q. Is there any reason to have these different rules
17 for these two pools?

18 A. No, and this will be discussed more in depth by
19 our geologist and engineer.

20 Q. Does Exhibit 1 also identify the operators in the
21 Buffalo Valley Pool?

22 A. Yes, and a listing of the operators is submitted
23 as Exhibit 2. This list was obtained from the Division's
24 records.

25 Q. Were the operators notified of this hearing?

1 A. We have not had any contact with them, but they
2 have not objected. These pool rules were initially founded
3 in the early 1960s by Cities Service and have just been in
4 force for a really long time.

5 Q. I don't see on the map where you show Devon's
6 acreage.

7 A. It is over -- We have some acreage over to the
8 east, and it goes off the map. We were getting ready to
9 drill a well in Section 1 and Section 22. If you look on
10 this map it still shows Santa Fe Snyder. Devon bought
11 Santa Fe -- or merged with Santa Fe Snyder. And we were
12 trying to drill some wells that we were told were going to
13 be subject to these field rules.

14 Q. And that is in Section -- I'm sorry, Section -- ?

15 A. -- 15 and 22 of 15-28.

16 Q. 15 and 22, okay. So it's outside the pool
17 boundaries, but you were going to be subject to the pool
18 rules?

19 A. Right.

20 Q. So the people that you notified of this case were
21 all operators within the Buffalo Valley Pool?

22 A. Correct.

23 Q. Did you notify anybody outside the pool
24 boundaries?

25 A. No, I don't believe we did. Many of the people

1 outside are the same operators. You've got Yates with a
2 considerable amount of acreage to the east of this field.

3 Q. And it's your intent just to place the Buffalo
4 Valley-Penn on statewide rules similar to the Diamond
5 Mound?

6 A. Correct.

7 EXAMINER CATANACH: Okay, I have no further
8 questions of this witness.

9 GAYLE RIGGS,

10 the witness herein, after having been first duly sworn upon
11 her oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. BRUCE:

14 Q. Would you please state your name and city of
15 residence?

16 A. My name is Gayle Riggs, Oklahoma City.

17 Q. Who do you work for and in what capacity?

18 A. I'm a senior petroleum geologist for Devon
19 Energy.

20 Q. Have you previously testified before the
21 Division?

22 A. Yes, I have.

23 Q. And were your credentials as an expert geologist
24 accepted as a matter of record?

25 A. Yes, they were.

1 Q. And at Devon does your area of responsibility
2 include this area of southeast New Mexico?

3 A. Yes, it does.

4 Q. And are you familiar with the geology involved in
5 this Application?

6 A. Yes.

7 MR. BRUCE: Mr. Examiner, I'd tender my witness
8 as an expert petroleum geologist.

9 EXAMINER CATANACH: Ms. Riggs is so qualified.

10 Q. (By Mr. Bruce) Would you identify Exhibit 4 for
11 the Examiner and tell him what it shows?

12 A. Exhibit 4 is six-township-wide area covering Eddy
13 and Chaves County. We have outlined Diamond Mound field in
14 the red, Buffalo Valley in the blue, and have identified
15 through *P.I. Dwight's* those wells that are in each field.

16 There are two cross-sections, a north-south
17 that's identified in green and a west-to-east cross-section
18 identified in purple.

19 Q. In looking at this map, to the north there's
20 really no other Morrow completions in this area, is there?

21 A. That's correct.

22 Q. To the south there's quite a few?

23 A. Yes.

24 Q. Okay. Also, Mr. Examiner, I think just on your
25 exhibit I've highlighted in yellow the wells that appear to

1 be unorthodox in the Buffalo Valley Pool by reason of being
2 in the -- quote, unquote -- wrong quarter section. I
3 haven't looked at that to determine what their footages
4 are, but those would be unorthodox locations.

5 Let's move on to your cross-sections, Ms. Riggs,
6 and start with Number 5, the north-south cross-section. Go
7 ahead.

8 A. This cross-section I have constructed showing a
9 north-south sequence of stratigraphy based on the top of
10 the Atoka shale, through the Pennsylvanian-Atoka section
11 and into the Pennsylvanian-Morrow. I've included the
12 portion of logs that includes the Mississippian
13 unconformity.

14 Also noted on this cross-section, the 8-percent
15 porosity cutoff that we have identified for net pay, those
16 are identified in red. The fourth log from the left, the
17 density log was not legible. I used a resistivity log, but
18 the perms are noted as well.

19 The first two logs are in the Buffalo Valley
20 field, and their perforations are equivalent to those that
21 are identified to the south in the Diamond Mound logs.

22 Q. Now, the first two wells are in Buffalo Valley,
23 and the other three are in the Morrow; is that correct? I
24 mean in the Diamond Mound-Morrow field?

25 A. Yes.

1 Q. The Buffalo Valley Pool covers the entire
2 Pennsylvanian; isn't that true?

3 A. Yes.

4 Q. But is the bulk of the production from the Morrow
5 in the Buffalo Valley Pool?

6 A. Yes, it is.

7 Q. Okay, which would be similar to the wells to the
8 south in the Diamond Mound-Morrow?

9 A. Yes.

10 Q. Okay. Why don't you move on to your Exhibit 6
11 and also discuss the contents of that for the Examiner?

12 A. Exhibit 6 is a stratigraphic cross-section I've
13 constructed. It's a west-to-east correlation, using the
14 same stratigraphic datum at the top of the Atoka shale,
15 identifying the Pennsylvanian-Atoka-Morrow section,
16 perforations, 8-percent porosity cutoffs as well, and into
17 the Mississippian unconformity.

18 Q. Whether you're looking at a north-south cross-
19 section or east-west, is there any way to distinguish
20 geologically between these two pools?

21 A. No, there is not.

22 Q. They're producing from essentially the same
23 intervals?

24 A. Yes.

25 Q. Now, you've mentioned that the bulk of the

1 production in the Buffalo Valley Pool does come from the
2 Morrow. Is there some Atoka production?

3 A. Yes, there is.

4 Q. Is there a question as to the difference or the
5 boundary between the Atoka or the Morrow?

6 A. It's an interpretive top.

7 Q. Okay. So what some people may call Atoka others
8 may call Morrow?

9 A. Yes. My personal interpretation, I've marked the
10 top of the Morrow carbonates as the sequence between the
11 Atoka and the Morrow, but it is a very questionable top.

12 Q. Okay. But essentially the two pools are
13 producing from the same zones?

14 A. Yes.

15 Q. Were Exhibits 4 through 6 prepared by you or
16 under your supervision?

17 A. Yes, they were.

18 Q. And in your opinion is the granting of this
19 Application in the interests of conservation and the
20 prevention of waste?

21 A. Yes.

22 MR. BRUCE: Mr. Examiner, I'd move the admission
23 of Devon Exhibits 4, 5 and 6.

24 EXAMINER CATANACH: Exhibits 4, 5 and 6 will be
25 admitted as evidence.

EXAMINATION

1
2 BY EXAMINER CATANACH:

3 Q. Ms. Riggs, it's your interpretation that these
4 Morrow sands are continuous in a north-south direction and
5 in an east-west direction?

6 A. Yes, the package of those aged rocks are in the
7 same age-equivalent zones.

8 Q. Is it in fact the same sand that's --

9 A. That's not the same sand, but it is in the same
10 sand packages.

11 Q. And I understand there is some Atoka production
12 in the Buffalo Valley field, right?

13 A. Yes.

14 Q. Is there Atoka production south of the --

15 A. Yes --

16 Q. -- Buffalo Valley?

17 A. -- yes, in Diamond Mound there is as well.

18 Q. There is another Diamond Mound-Atoka Pool?

19 A. There are some Atoka sands that produce in the
20 Diamond Mound.

21 Q. Diamond Mound-Atoka Pool? Is there -- I wonder
22 if there's a Diamond Mound-Atoka --

23 A. It's not defined.

24 Q. I assume the Buffalo Valley-Penn Pool was -- Do
25 you know when that was created?

1 A. To my knowledge, it was created when Cities
2 Service discovered the field in 1962.

3 Q. 1962. Do you know why they may have put certain
4 restrictions on well locations for quarter sections?

5 A. No, I do not.

6 Q. Is there any reason, in your opinion, to keep
7 that restriction on this pool?

8 A. No.

9 Q. In terms of the well-location requirements, the
10 setbacks for the Buffalo Valley-Penn are more restricted
11 than the Diamond Mound. Do you see any need to keep the
12 well-location restrictions?

13 A. No, I do not.

14 Q. 660 would be appropriate for the Buffalo Valley
15 Pool, in your opinion?

16 A. Yes.

17 Q. It looks like Buffalo Valley has essentially been
18 developed on two wells per section, it looks like, one well
19 per 320. Do you have an opinion as to whether additional
20 wells on these sections may improve recovery?

21 A. Part of that will be covered, I believe, under
22 our engineering discussion. But considering the fact that
23 these sands are discontinuous and are not one sand that's
24 going through the field, I believe it's very underdeveloped
25 because of the restriction.

1 Q. There's nothing geologically that would
2 distinguish this from the Diamond Mound field to the south
3 in terms of well density?

4 A. No, there's not. And as we develop these fields
5 on lesser spacing, they are finding that the sands are not
6 continuous with one another.

7 EXAMINER CATANACH: Okay, I have nothing further
8 of this witness.

9 JAN GLASGOW,
10 the witness herein, after having been first duly sworn upon
11 her oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. BRUCE:

14 Q. Would you please state your name for the record?

15 A. Jan Glasgow.

16 Q. Where do you reside?

17 A. In Guthrie, Oklahoma.

18 Q. Who do you work for?

19 A. Devon Energy Corporation.

20 Q. And what is your job with Devon?

21 A. I'm a senior reservoir engineer.

22 Q. Have you previously testified before the
23 Division?

24 A. No, I haven't.

25 Q. Would you please summarize your educational and

1 employment background?

2 A. Yes, I graduated in 5 of 1987 from Texas Tech
3 University with a bachelor of science degree in petroleum
4 engineering.

5 From 5 of 1987 to 3 of 1995 I worked as a staff
6 engineer for Cabot Oil and Gas Corporation, performing both
7 operation and reservoir engineering duties. From 6 of 1995
8 to 6 of 1998 I was a contract consulting engineer for
9 Southern International and performed a variety of multiple
10 operation and reservoir-engineering duties. From 6 of 1998
11 up to present, I'm now with Devon Energy Corporation as a
12 senior reservoir engineer.

13 Q. And does your area of responsibility at Devon
14 include this portion of southeast New Mexico?

15 A. Yes, it does.

16 Q. And are you familiar with the engineering matters
17 involved in this Application?

18 A. Yes.

19 MR. BRUCE: Mr. Examiner, I tender Ms. Glasgow as
20 an expert reservoir engineer.

21 EXAMINER CATANACH: Ms. Glasgow is so qualified.

22 Q. (By Mr. Bruce) Ms. Glasgow, is it your opinion
23 that the special rules for the Buffalo Valley Pool should
24 be abolished?

25 A. Yes.

1 Q. Why is that?

2 A. From an engineering standpoint, there is no
3 difference between the Buffalo Valley Pool and the
4 adjoining Diamond Mound Pool, which is spaced on the
5 statewide rules. They should be subject to both the same
6 rules.

7 Q. What type of data did you review for this
8 hearing?

9 A. I reviewed well logs, reservoir production data
10 and production data available from the industry sources for
11 both the Buffalo Valley field producers and the Diamond
12 Mound field well producers.

13 Q. What is Exhibit 7?

14 A. This is the volumetric equation I used to
15 determine the drainage area for the producers that I
16 reviewed in the subject areas. I used the equation as
17 listed. It's an industry-accepted volumetric equation
18 where your recoverable gas is equal to 43,560 times your
19 volume, times your porosity, times one minus your water
20 saturation, and then you multiply that by your pressure at
21 standard condition divided by your temperature at standard
22 condition, times your gas deviation factor and temperature
23 and pressure, the initial reservoir conditions, less the
24 same gas deviation factor, temperature divided by your
25 pressure at your abandonment, to come up with your

1 recoverable gas.

2 Q. Okay. Now, when you process this data, before we
3 get to it, did the numbers regarding the production data
4 and the drainage data for wells in both pools come out
5 roughly equivalent?

6 A. Yes, they did.

7 Q. Let's move on to your Exhibit 8. And before we
8 get into it, you list a number of wells here. Are these
9 wells all of the wells that were on the cross-section that
10 the geologist presented?

11 A. Yes, they were.

12 Q. Okay. Would you go through Exhibit 8 and discuss
13 briefly what your calculations show regarding wells in both
14 the Buffalo Valley Pool and the Diamond Mound Pool?

15 A. Okay, the first is a table with each of the wells
16 listed that she has on her cross-section, and the initial
17 reservoir pressure ranges between 2100 to 3500 p.s.i.a.
18 Net pay ranges between 10 feet and 52 feet. Porosities
19 range from 9-percent porosity up to 13-percent porosity.
20 The yields are between .002 up to .009. The EUR ranges
21 from .67 BCF all the way up to 3.4 BCF. Drainage area
22 ranges from 95 acres up to 470 acres.

23 I found that they're very similar between the two
24 producing Morrow intervals, between the Diamond Mound field
25 and the Buffalo Valley field.

1 Q. So some wells are good and some wells aren't?

2 A. Correct.

3 Q. And down below, you have some basic information,
4 but the pools appear to be roughly equivalent in size in
5 the number of wells drilled in the pools; is that correct?

6 A. That's correct.

7 Q. And the ultimate recoveries from wells vary quite
8 a bit, but they seem to be roughly equivalent in the types
9 of wells that you can drill in these areas?

10 A. That's correct.

11 Q. Okay. But as far as just the productivity of the
12 wells and the drainage area of wells in the pool, again,
13 they are roughly equivalent?

14 A. Yes.

15 Q. Based on that, is there any engineering reason to
16 distinguish between the two pools?

17 A. No.

18 Q. Does keeping the special rules in place for the
19 Buffalo Valley Pool put operators in that pool at a
20 disadvantage?

21 A. Yes, the restrictions on well locations may mean
22 that wells are not placed at their optimum location for
23 maximizing reserve recovery or that unorthodox locations
24 must be obtained. This may place operators at a
25 disadvantage, especially along the border between the two

1 pools.

2 Q. Were Exhibits 7 and 8 prepared by you or under
3 your supervision?

4 A. Yes, they were.

5 Q. And in your opinion is the granting of this
6 Application in the interest of conservation and the
7 prevention of waste?

8 A. Yes.

9 MR. BRUCE: Mr. Examiner, I'd move the admission
10 of Devon Exhibits 7 and 8.

11 EXAMINER CATANACH: Exhibits 7 and 8 will be
12 admitted as evidence.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Ms. Glasgow, when you did the drainage areas for
16 the Buffalo Pool, did you take into account the Atoka
17 production in those wells also?

18 A. Yes, I did, any perforations that were shown to
19 be producing within that wellbore.

20 Q. When you're comparing that to Diamond Mound, did
21 that have any effect, do you think, on comparing it just to
22 Morrow production in the Diamond Mound Pool?

23 A. No, I view that whole Penn section similar to the
24 Atoka sand; it's just a higher sand development within that
25 interval, and they perform similarly.

1 Q. The Morrow is, I take it, the predominant
2 production interval in the Buffalo Valley Penn?

3 A. Yes.

4 Q. How did you determine which wells to calculate
5 the drainage area on? Are these the only wells you did?

6 A. No, actually I did a cursory review of all of
7 them, and then we went through and as she picked her wells
8 for her cross-section, you know, to make the north-south
9 wells as well as the east-west cross-section, then I just
10 felt, well, here's a good set of examples right here, I'll
11 just use that as my data set to present. But I did a quick
12 look at all of them. And those are -- The drainage-area
13 ranges that you see reflected there is from that study of
14 all the producers.

15 Q. Okay. I notice where you had one that had 780
16 acres as a drainage area. Do you recall which well that
17 was?

18 A. I have a map with me that I could go and find
19 that, if you would like. I don't know -- I can't remember
20 off the top of my head.

21 Q. I was just wondering what contributed that or
22 what made that such a high productivity well. That's all
23 right, you don't need to find it.

24 In your opinion, is there some potential in the
25 Buffalo Valley-Penn for some infill drilling that might

1 increase recovery on those spacing units?

2 A. Yes, I do.

3 EXAMINER CATANACH: That's all we have of this
4 witness, Mr. Bruce.

5 MR. BRUCE: Mr. Examiner, I have nothing further
6 in this matter. In regards to one of your questions, in
7 going through my notes, I believe that the Diamond Mound-
8 Morrow Pool was actually originally called the Diamond
9 Mound-Atoka-Morrow Pool, and then its name was later
10 changed to just the Diamond Mound-Morrow Pool. I think
11 there's a Diamond Mound-Atoka Pool, but I don't have that
12 in my notes.

13 EXAMINER CATANACH: I think there is too, but I
14 don't know where it's at, so...

15 Okay.

16 TIM MILLER,

17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Would you state your name for the record, please?

22 A. My name is Tim Miller.

23 Q. Where do you reside?

24 A. I reside in Carlsbad, New Mexico.

25 Q. Mr. Miller, by whom are you employed?

1 A. Yates Petroleum Corporation.

2 Q. And what is your position with Yates?

3 A. Geologist.

4 Q. Have you previously testified before the Oil
5 Conservation Division and had your credentials as an expert
6 in petroleum geology accepted and made a matter of record?

7 A. Yes, I have.

8 Q. Are you familiar with the Application filed in
9 this case on behalf of Devon Energy Production Company,
10 L.P.?

11 A. Yes, I am.

12 Q. And are you familiar with the Buffalo Valley-
13 Pennsylvanian Gas Pool?

14 A. Yes, I am.

15 Q. Have you reviewed the geological information
16 available on this pool?

17 A. Yes, I have.

18 Q. And are you prepared to share the results of your
19 work with the Examiner?

20 A. Yes, I am.

21 MR. CARR: Are Mr. Miller's qualifications
22 acceptable?

23 EXAMINER CATANACH: They are.

24 Q. (By Mr. Carr) Would you first state for the
25 Examiner what it is that Yates Petroleum seeks in this

1 case?

2 A. Yates Petroleum Corporation seeks the abolishment
3 of the special pool rules and regulations for the Buffalo
4 Valley-Pennsylvanian Gas Pool, and we support the
5 Application of Devon in this case.

6 Q. Have you prepared exhibits for presentation here
7 today?

8 A. Yes, I have.

9 Q. Let's go to what has been marked as Yates
10 Petroleum Corporation Exhibit Number 1, and I'd ask you to
11 identify that and review it for Mr. Catanach.

12 A. Okay, the exhibit that's marked Number 1 is a
13 gross isopach from the top of what Yates in-house has
14 called the top of the Morrow clastics, or the top of where
15 the Morrow sandstone starts, to the top of the Austin
16 cycle, which in a lot of people's minds would be the top of
17 the Mississippian. And what I've prepared is, like I said,
18 a gross isopach map. I've shown Devon's well where they
19 would like to drill it in the southwest quarter of Section
20 15.

21 And basically what this map is trying to show,
22 anywhere you have a thick would be in a low area, which
23 would be in the valleys. Anywhere you have a thin would
24 essentially be on the highs. And generally, the trend is
25 flowing from the northwest to the southeast. And in

1 several sections, as in Section 16, which is west of
2 Devon's Stock Tank 15 Federal Number 1, the proposed well,
3 the sand actually is coming -- or the thick is actually
4 coming in from the southwest to the northeast.

5 To the north of Section 16, in Section 9, it is
6 coming down from the northwest to the southeast, as you see
7 up in Section 5 where you have 64 feet in that well in the
8 northwest quarter. As you come down towards the southeast
9 in Section 8, which there's a well in the southeast quarter
10 it's 77 gross feet.

11 Then we recently have drilled a well with Yates
12 Petroleum, and I do not have the gross footage on here.
13 There's a well called our Chester in the southwest quarter
14 of Section 9, which basically had around 180 feet.

15 So most of these sands -- some of them generally
16 trend northwest-southeast for the thicks, and to the west,
17 the southwest to the northeast in certain aspects.

18 Q. All right, let's go to Yates Exhibit Number 2.
19 Identify and review that.

20 A. What this is, this is a gross isopach of a
21 combination of a Morrow sand package which was picked on
22 gamma-ray units greater than or equal to 50, which means a
23 clean gamma-ray.

24 And once again, where the thickest sands are in
25 certain parts of the sections come in in the southwest

1 quarter. As you can see up there in Section 8, you have a
2 thicker sand package in the southwest quarter, which the
3 present field rules do not allow you to go and try to test.

4 Down in Section 17, there was a well drilled in
5 the southwest quarter of Section 17. I think there was an
6 old -- I can't remember if it was a Cities well, but I
7 think now it was operated by Louis Dreyfus. That well is
8 in the southwest quarter, and I guess they would have had
9 to have gone to an unorthodox hearing for that. But
10 generally depicting once again where Devon wants to drill
11 their well, I show that a thicker part of the sand, it
12 would be more advantageous to try to drill for it in the
13 southwest quarter of the section than if you would go by
14 the present rules in the northwest or the southeast quarter
15 of the section.

16 Basically, if you look at the two maps, this map
17 and the exhibit before, the thicker part of the Morrow
18 sandstone packages sort of align with where the lows are
19 through the thicker sand packages, as opposed to where the
20 thinner gross isopach or the top of the Morrow clastics to
21 the Austin cycle, you have a thinner section of sand.

22 And that is kind of depicted up in Section 5 and
23 in Section 6. On the gross isopach or Morrow sandstones,
24 you have basically very, very thin sand package. And if
25 you look over on the gross isopach and top of the Morrow

1 clastics to the top of the Austin cycle, once again you see
2 a thin isopach of that interval, only around 50 feet, 50
3 to, say, about 70 feet.

4 So once again, I feel that to properly try to
5 explore for the Atoka and the Morrow sands out there -- and
6 there are several sands, like Devon has said before. You
7 just do not have one sand mapped out there, you maybe have
8 two, three or four before you go into the Mississippian.
9 And some of the sands are -- or the better part of the
10 sands to try to drill for would be in the southwest parts
11 of the section, in some of the sections.

12 Q. In your opinion, would rescission of the current
13 special pool rules for the Buffalo Valley-Pennsylvanian Gas
14 Pool provide operators with necessary flexibility to best
15 develop the remaining reserves in this pool?

16 A. No, it wouldn't.

17 Q. The existing rules?

18 A. The existing rules will not.

19 Q. And going to statewide rules would provide that
20 flexibility?

21 A. Yes, it would.

22 Q. Do you know of any reason to keep the current
23 restrictions which provide for wells to be drilled in the
24 northwest or southeast quarters of the section?

25 A. No, I don't.

1 Q. In your opinion, would further development under
2 statewide rules which provide for setbacks of 660 feet from
3 the boundary of the quarter section be appropriate?

4 A. Yes, they would.

5 Q. Were Yates Exhibits 1 and 2 prepared by you?

6 A. Yes, they were.

7 MR. CARR: We move the admission into evidence of
8 Yates Exhibits 1 and 2.

9 EXAMINER CATANACH: Yates Exhibits 1 and 2 will
10 be admitted as evidence.

11 MR. CARR: And that concludes my direct
12 examination of Mr. Miller.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Miller, geologically is there any reason why
16 these pools are distinct or why they should be separate?

17 A. You mean between Buffalo Valley and Diamond?

18 Q. Right.

19 A. No, I don't think so. They're all the same.
20 When you're correlating them you all have the same sand
21 package, and I don't see why they would be separate or
22 should be separate.

23 Q. I guess probably the way these pools were
24 developed is why they ended up being two separate pools, is
25 my guess.

1 A. I really don't know. I've always wondered why.
2 To me it seems like -- geologically, of course, like Devon
3 has stated, it was Cities Service that I guess originated
4 the pools in the early 1960s. And at that time none --
5 very few of these wells, what's on the maps you see in
6 front of you, were there. So at that time I guess Cities
7 just thought that was the best way to develop it. But they
8 didn't have hardly information.

9 Now, we have more of the information because
10 there's been more wells drilled, and it shows, at least on
11 the maps that Yates is presenting, that you have better
12 possibilities to drill, say, in the southwest quarter of
13 the sections, or maybe in the northeast quarter of the
14 sections, certain spots.

15 Q. Now, does Yates have any plans at the current
16 time to increase the well density in any of their proration
17 units in this pool?

18 A. We have plans, and of course the way gas prices
19 are right now, those have been put on hold. But we
20 conceivably might want to try a location in the southwest
21 quarter of Section 8, because we have that section under
22 lease, and maybe possibly the southwest quarter of Section
23 4. I mean, that's our ideas. We haven't gone to the point
24 of actually applying for a permit or anything like that
25 yet.

1 Q. So it's your opinion that there are some reserves
2 to be recovered by additional drilling?

3 A. Yes, there are, because you can -- you might have
4 -- you may have a real good sand in one well, and in the --
5 in Section 8, for example, that well is in the southeast
6 quarter. And as you move over to the southwest quarter to
7 drill a well, that separate sand may not be there, and you
8 might stumble into another sand totally different, better.

9 Q. So you're of the same opinion as Devon, that
10 these sands are fairly discontinuous?

11 A. Right, yes.

12 EXAMINER CATANACH: Okay, I have nothing further.

13 MR. CARR: That's all we have.

14 EXAMINER CATANACH: Okay, there being nothing
15 further in this case, Case 12,778 will be taken under
16 advisement.

17 (Thereupon, these proceedings were concluded at
18 8:59 a.m.)

19 * * *

20 I do hereby certify that the foregoing is
21 a complete record of the proceedings in
22 the Examiner hearing of Case No. 12778,
23 heard by me on January 10 1982.
24 David R. Catanach, Examiner
25 of Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 12th, 2002.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 2002