

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: ) CASE NO. 12,843  
)  
APPLICATION OF EOG RESOURCES, INC., FOR )  
AMENDMENT OF DIVISION ORDER NO. R-11,389 )  
TO AUTHORIZE A PRESSURE MAINTENANCE )  
PROJECT IN THE RED HILLS NORTH UNIT )  
AREA, ESTABLISH PROCEDURES FOR APPROVAL )  
OF ADDITIONAL INJECTION WELLS, AND FOR )  
QUALIFICATION OF THE PROJECT AREA FOR )  
THE RECOVERED OIL TAX RATE PURSUANT TO )  
THE ENHANCED OIL RECOVERY ACT OF NEW )  
MEXICO, LEA COUNTY, NEW MEXICO )  
\_\_\_\_\_)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

March 21st, 2002

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, March 21st, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

March 21st, 2002  
 Examiner Hearing  
 CASE NO. 12,843

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>PATRICK J. TOWER</u> (Landman)	
Direct Examination by Mr. Carr	5
Examination by Examiner Stogner	10
<u>RANDALL S. CATE</u> (Engineer)	
Direct Examination by Mr. Carr	12
Examination by Examiner Stogner	32
Examination by Mr. Jones	40
Further Examination by Examiner Stogner	44
REPORTER'S CERTIFICATE	47

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	9
Exhibit 2	9	9
Exhibit 3	16	31
Exhibit 4	20	31
Exhibit 5	27	31

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

DAVID K. BROOKS  
 Attorney at Law  
 Energy, Minerals and Natural Resources Department  
 Assistant General Counsel  
 1220 South St. Francis Drive  
 Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR  
 110 N. Guadalupe, Suite 1  
 P.O. Box 2208  
 Santa Fe, New Mexico 87504-2208  
 By: WILLIAM F. CARR

## ALSO PRESENT:

WILL JONES  
 Engineer, NMOCD  
 1220 South Saint Francis Drive  
 Santa Fe, NM 87501

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 1:35 p.m.:

3           EXAMINER STOGNER: This hearing will come to  
4 order.

5           At this time I will call next case, Number  
6 12,843, which is the Application of EOG Resources, Inc.,  
7 for amendment of Division Order Number R-11,389 to  
8 authorize a pressure maintenance project in the Red Hills  
9 North Unit Area, establish procedures for approval of  
10 additional injection wells, and for qualification of the  
11 project area for the recovered oil tax rate pursuant to the  
12 Enhanced Oil Recovery Act of New Mexico. This is in Lea  
13 County.

14           At this time I'll call for appearances.

15           MR. CARR: May it please the Examiner, my name is  
16 William F. Carr with the Santa Fe office of Holland and  
17 Hart, L.L.P. We represent EOG Resources, Inc., in this  
18 matter, and I have two witnesses.

19           EXAMINER STOGNER: Any other appearances?

20           Will the two witnesses please stand to be sworn?

21           (Thereupon, the witnesses were sworn.)

22           EXAMINER STOGNER: Off the record.

23           (Off the record)

24           EXAMINER STOGNER: Okay, resume order.

25           Mr. Carr?

1 MR. CARR: Thank you, Mr. Stogner.

2 PATRICK J. TOWER,

3 the witness herein, after having been first duly sworn upon  
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. CARR:

7 Q. Would you state your name for the record, please?

8 A. Patrick J. Tower.

9 Q. Mr. Tower, by whom are you employed?

10 A. EOG Resources, Inc.

11 Q. And where do you reside?

12 A. Midland, Texas.

13 Q. What is your position with EOG Resources, Inc.?

14 A. I'm a project landman.

15 Q. Mr. Tower, have you previously testified before  
16 this Division?

17 A. Yes.

18 Q. At the time of that testimony, were your  
19 credentials as an expert in petroleum land matters  
20 accepted --

21 A. Yes.

22 Q. -- and made a matter of record?

23 A. Yes.

24 Q. Are you familiar with the Application filed in  
25 this case on behalf of EOG Resources, Inc.?

1 A. Yes, I am.

2 Q. Are you familiar with the status of the lands in  
3 the Red Hills North Unit area and EOG's plans to implement  
4 a full-scale pressure maintenance project in this unit --

5 A. Yes.

6 Q. -- by the use of horizontal injection wells?

7 A. Yes, I am.

8 MR. CARR: Are the witness's qualifications  
9 acceptable?

10 EXAMINER STOGNER: They are.

11 Q. (By Mr. Carr) Mr. Tower, would you briefly  
12 summarize for the Examiner what it is that EOG Resources  
13 seeks with this Application?

14 A. Yes, EOG is seeking amendment of Division Order  
15 Number R-11,389, which was dated May 26th of 2000, which  
16 approved a one-well pilot pressure maintenance project in  
17 the Red Hills North Unit area to authorize the  
18 implementation, also a pressure maintenance project  
19 utilizing horizontal injection wells to inject produced  
20 water and fresh water into the third Bone Springs sand of  
21 the Red Hills-Bone Springs Sand Pool.

22 Also, EOG is seeking to qualify this pressure  
23 maintenance project for the recovered oil tax rate pursuant  
24 to the New Mexico Enhanced Oil Recovery Act.

25 Q. When was the Red Hills Unit formed?

1           A.     Effective -- It was approved May 25th of the year  
2     2000.

3           Q.     And that was Order 11,388?

4           A.     Yes, Order R-11,388.

5           Q.     And what was approved at that time?

6           A.     It was approved to -- Pressure maintenance  
7     operations were attempted on a pilot project area, pursuant  
8     to that order. The initial project involved a vertical  
9     injection well and -- to establish pressure maintenance.  
10    Those efforts, however, were not successful as we had  
11    originally hoped.

12                     And then also part of the reason we're here is,  
13    at that hearing we also advised the OCD that we would come  
14    back and revisit this when we refile for the entire  
15    expanded project after the initial phase.

16           Q.     Let's go to what's been marked EOG Exhibit 1.  
17    Would you identify and review that, please?

18           A.     Exhibit 1 is a land plat on Midland Map that  
19    identifies, shows the lands in this area. In red is the  
20    unit boundary for the Red Hills North Unit that has  
21    previously been approved. It shows the offsetting tracts  
22    and the area involved in this area, and we'll get into more  
23    detail on the wells and so forth later, but it will kind of  
24    show you the -- at this point we have one vertical  
25    injection well, which was the original pilot well. And we

1 have a total producing wells of -- 42 wells, which we  
2 drilled four horizontal producers, and the rest were  
3 vertical.

4 Q. What is the character of the land in the unit  
5 area?

6 A. It is federal and state, with the federal  
7 comprising 98 percent of the unit, and state lands  
8 approximately 2 percent.

9 Q. Have you reviewed your plans with the BLM?

10 A. Yes, we have.

11 Q. And what response have you received?

12 A. We've received no objection at this point. They  
13 are apprised of it and, to our knowledge, have no  
14 objection.

15 Q. And you talked to them most recently when?

16 A. This last week, just to verify they had received  
17 all the notice and package, and my conversations with Les  
18 Babyak at the BLM, and to my knowledge they had no  
19 objection, they just didn't state.

20 Q. Have you reviewed your plans with the New Mexico  
21 State Land Office?

22 A. Yes, we have, we've talked to them and verified  
23 they received all the materials subject to the hearing as  
24 well.

25 I talked directly to Pete Martinez, and they



1 advised they had no objection to what we're doing here.

2 Q. Has notice of this Application been provided in  
3 accordance with the Rules of the Division?

4 A. Yes, they have.

5 Q. And is a notice affidavit marked Exhibit Number 2  
6 in this case?

7 A. Yes.

8 Q. And to whom was notice provided?

9 A. It was provided to all offsetting leasehold  
10 operators within a half mile of the currently proposed  
11 horizontal injection well that we're going to get into here  
12 in a minute, in this pool, and also to the owners of the  
13 surface of the land on which this injector is located.

14 Q. Is EOG going to call an engineering witness to  
15 review the technical aspects of this project?

16 A. Yes, we are.

17 Q. Were Exhibits 1 and 2 prepared by you or compiled  
18 under your direction?

19 A. Yes, they were.

20 MR. CARR: Mr. Stogner, at this time we move the  
21 admission into evidence of EOG Exhibits 1 and 2.

22 EXAMINER STOGNER: Exhibits 1 and 2 will be  
23 admitted into evidence.

24 MR. CARR: And that concludes my examination of  
25 Mr. Tower.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY EXAMINER STOGNER:

Q. Mr. Tower, has there been any new people to notify, other than what -- I mean, new people other than you notified back in 2000 during the initial phase of this project?

A. I don't believe so. Another landman handled this at the time when they put the unit together and took it over from me, and now I've got it back since he left with another company.

In going through all this, I don't believe so, other than we have notified Pure -- let's see, Hallwood Petroleum, care of Pure Resources. Pure recently bought the Hallwood properties, and they operate a well that's just within -- just outside the area. We notified them as an offset operator, but they are a partner in this project with us as well, but we did notify them. And the name change there may catch you where originally it was Hallwood, but it's in the process of being -- now it's Pure.

But other than that, it should be the same people.

Q. Okay, and that unit agreement was a voluntary unit?

A. Yes, it was.

1 Q. Now, how about the State Land Office? They only  
2 have two percent, but were they made aware of the project?

3 A. Yeah. Oh, yes. Oh, yeah, they received all the  
4 material you're seeing today, and we have directly talked  
5 to them about it, and they have no objections or concerns  
6 with what we're doing.

7 Q. Have they issued -- either the BLM or the Land  
8 Office, have they issued a preliminary approval?

9 A. Well, the actual unit and operating agreement  
10 have previously been approved. This project here is just  
11 more of a deviation from what we originally planned to do,  
12 and Mr. Cate, our petroleum engineer, will get into the  
13 whys with all the wells and the tight rock where we're now  
14 going to horizontal wells.

15 So more of it here is just how we're taking a  
16 different approach. All of the unit and the geology, that  
17 was approved in the original order and approved by the  
18 state, and the federal government blessed and issued  
19 approval of the unit and all the contracts. So it's  
20 already in place. This is just an expansion to go to the  
21 full unit. It was a pilot project initially.

22 And then also the main thing is, some things have  
23 changed, which Mr. Cate will get into as far as kind of a  
24 material deviation of how we're going to attack this unit  
25 at this time from a technical standpoint.

1 Does that answer your question?

2 Q. Yeah --

3 A. I hope it did.

4 Q. -- all the questions I was answered more was for  
5 if there was an establishment of a unit. This is  
6 essentially established, or it is established, and what  
7 you're --

8 A. Yes.

9 Q. -- discussing now, as far as they're concerned,  
10 the people involved in the unit, this is more of a proposal  
11 or plan of action --

12 A. Yes --

13 Q. -- for the next year --

14 A. -- that is correct, that is correct.

15 EXAMINER STOGNER: I have no other questions of  
16 Mr. Tower. He may be excused.

17 MR. CARR: Mr. Stogner, at this time we call  
18 Randy Cate.

19 RANDALL S. CATE,

20 the witness herein, after having been first duly sworn upon  
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your full name for the record,  
25 please?

1 A. My name is Randall Cate.

2 Q. Mr. Cate, where do you reside?

3 A. I reside in Midland, Texas.

4 Q. By whom are you employed?

5 A. EOG Resources.

6 Q. What is your position with EOG Resources?

7 A. My title is project reservoir engineer.

8 Q. Have you previously testified before this  
9 Division?

10 A. Yes, I have.

11 Q. At the time of that testimony, were your  
12 credentials as an expert in petroleum engineering accepted  
13 and made a matter of record?

14 A. Yes, they were.

15 Q. Are you familiar with the Application filed in  
16 this case on behalf of EOG Resources?

17 A. Yes.

18 Q. Are you familiar with the Red Hills North Unit  
19 area and EOG's plans to implement a full-scale pressure-  
20 maintenance project in the unit by using horizontal  
21 injection wells?

22 A. Yes.

23 Q. And you've made a technical study of the unit?

24 A. Yes, I have.

25 Q. Are you prepared to share the results of your

1 work with Mr. Stogner?

2 A. Yes.

3 MR. CARR: Are the witness's qualifications  
4 acceptable?

5 EXAMINER STOGNER: They are.

6 Q. (By Mr. Carr) Mr. Cate, when did pressure  
7 maintenance operations commence in the unit area?

8 A. We began injecting water into the Red Hills North  
9 Unit Number 302 approximately July 1st, 2001. There has  
10 not really been a pressure maintenance as such, because the  
11 injectivity of the formation was too low.

12 The well initially took about 250 barrels of  
13 water a day. It quickly dropped to under 100 barrels of  
14 water per day. It's currently taking 70 barrels of water  
15 per day at the approved pressure, surface pressure, 2375  
16 pounds. And that amount of injected water is not enough to  
17 offset the 300 barrels a day of equivalent production from  
18 the offset wells, and so the low injectivity has been a  
19 problem for us.

20 Q. What's the total cumulative volume injected?

21 A. Since that time we've had the well on  
22 continuously, and it's only -- it was capable of injecting  
23 26,000 barrels of water, and that's about an average of 100  
24 barrels per day.

25 Q. And the total cumulative oil production to date?

1 A. That is 6.51 million barrels for the entire unit.

2 Q. And that predates this pilot waterflood project?

3 A. Well, that's current. Since July 1st, the entire  
4 unit has produced an additional 520,000 barrels, none of  
5 which is attributable, though, to the injection.

6 Q. And so the pilot project was not successful; is  
7 that correct?

8 A. It was not successful, that's correct.

9 Q. Let's go to -- You were here two years ago,  
10 correct, Mr. Cate?

11 A. Right.

12 Q. At that time we were talking and asking Division  
13 permission to implement a pressure maintenance project.

14 A. That's right.

15 Q. And we were looking at that time at vertical  
16 injection wells, and some are between 5 and 7 horizontal  
17 producing wells?

18 A. That's correct.

19 Q. Today you have a very different plan, do you not?

20 A. That's right.

21 Q. Let's go to Exhibit Number 3 --

22 A. Okay.

23 Q. -- and let's review for the Examiner how it is  
24 that you are changing what you were originally approved to  
25 do.

1           A.     Okay, Exhibit Number 3 is a map showing the  
2     producing and one injection well within the unit. We have  
3     the unit boundary outlined in the black dashed line. And  
4     it shows our anticipated plan of a horizontal development  
5     which would include approximately five to seven additional  
6     horizontal producers, and we have already drilled four  
7     horizontal producers to date. But with the lack of  
8     injectivity in the pilot project that was approved two  
9     years ago, the only chance of a successful pressure  
10    maintenance in our mind is to use the horizontal wells also  
11    now as injectors, and to be drilled specifically for that  
12    purpose.

13                Those injectors, the proposed injectors, are  
14    listed -- are shown in blue. And as you can see, there's  
15    seven or eight of those that we have plans in a fieldwide  
16    waterflood.

17                The initial well, however, would be the one  
18    highlighted in yellow in the north half of the field. It's  
19    the RHNU Number 606. And our plan is to drill it for the  
20    express purpose of injecting water into the ground in that  
21    area of the reservoir, because it is experiencing high GOR  
22    right now. And our model, the Eclipse reservoir simulation  
23    model that we run, says that even a delay up to a year  
24    could cost us 1.9 million barrels in ultimate recovery. So  
25    we're under the gun now to get the pressure maintenance --



1 enough water in the ground to produce that oil.

2 Q. If we look at this Exhibit Number 3, the proposed  
3 horizontal injection well, the one highlighted in yellow,  
4 do you anticipate getting from that well a response that  
5 would -- could be seen throughout the northern half of the  
6 unit?

7 A. That's correct. If you notice, I've got a -- I'm  
8 not sure what that color is, yellow, brown, magenta,  
9 whatever it is, through the middle of the unit. And I ran  
10 the Eclipse model with only the Red Hill 606 well as an  
11 injector and then monitored the predicted response. And I  
12 did see response somewhat down in the south half of Section  
13 12, but the primary response was in this north half. I did  
14 look at the far north producing well, which is the RHNU  
15 105, and it received a significant response.

16 And so therefore the lack of response from that  
17 single well in the south half is what directed or guided me  
18 in putting a Phase I line at the point that we did, which  
19 basically cuts east-west between Sections 12, 7 and into  
20 Section 8.

21 Q. And on the left side of the exhibit you have  
22 indicated proposed Phases I and II?

23 A. Yes. And that, of course, will also have its  
24 significance for the EOR tax credit.

25 Q. Okay. And we look at this, and you intend, in

1 addition to the horizontal injector, the Number 606, you're  
2 projecting two additional horizontal injection wells in the  
3 north half of that unit; is that right?

4 A. Yes, that is correct.

5 Q. And then you've got five or six in the southern  
6 portion of the unit?

7 A. That's right also.

8 Q. The objective here is, instead of doing what you  
9 thought you could do with vertical injectors, you're going  
10 to have to get large volumes of water across that large  
11 face within the reservoir to effectively implement pressure  
12 maintenance?

13 A. That's right. And even the horizontal wells will  
14 not take a relatively large volume of water. I do have an  
15 exhibit later that will show the predicted injectivity and  
16 oil recovery response.

17 Q. On Exhibit 3 you also have a type log?

18 A. Yes, I just included that. That was the log that  
19 two years ago we used the RHNU 302 that also --

20 Q. And --

21 A. -- unitized interval.

22 Q. And this is the log that identified the unitized  
23 interval and the unit itself?

24 A. That's correct.

25 Q. Can you give me or provide the Examiner with a

1 general description of the characteristics of the Bone  
2 Spring formation in this unit area?

3 A. Yes, it is a sand, it's the third Bone Springs  
4 sand. On average, it's almost 90 feet thick, with an  
5 average of 13-percent porosity and a 38-percent water  
6 saturation.

7 Q. In our original hearing, was the continuity of  
8 the reservoir across the unit area established?

9 A. Yes, sir. Yes, it was, and it's a very  
10 continuous reservoir within the field.

11 Q. And your efforts are at a point now where you're  
12 ready to immediately go forward with horizontal injection?

13 A. That's correct.

14 Q. And you have reviewed already for the Examiner  
15 the problems you're having with the increasing GOR and the  
16 need to get this project moving as quickly as possible?

17 A. Yes, the placement of the 606, if you'll notice,  
18 it is directly north by 660 feet and parallel to this  
19 horizontal producer that we drilled about a year ago, and  
20 that's the RHNU 212, shown in green just south of the  
21 projected 606, and it currently produces about 350 barrels  
22 of oil per day, but its GOR is now up over 5000. It  
23 started at roughly 2000 GOR. And the rest of the field  
24 averages about a 2500 standard cubic feet per barrel.

25 And so on the one hand, the producing horizontal

1 was very successful, but it is drawing us down to the point  
2 of bubble point and below, as seen by the rising GOR.

3 Q. Let's go to Exhibit Number 4. Could you identify  
4 this?

5 A. Yes, Exhibit Number 4 is the OCD Form C-108, with  
6 attachments for the proposed RHNU 606.

7 Q. And that's the horizontal injector?

8 A. Which is the horizontal injector.

9 Q. And Mr. Cate, you prepared this exhibit?

10 A. Yes, I did.

11 Q. On page 1 you've indicated that this is an  
12 expansion of an existing project. What did you mean by  
13 that?

14 A. Well, just simply the fact that we have the  
15 project approved from the 303, and the expansion is that  
16 within this unit and within the approval to inject that we  
17 received two years ago -- and that was under our Order  
18 Number R-11,389 -- and that in my mind it was an expansion  
19 under that same --

20 Q. That order approved the vertical injector?

21 A. That's correct.

22 Q. That has not been successful?

23 A. That has not been successful.

24 Q. And you are now getting ready to implement a  
25 full-scale pressure maintenance project through horizontal

1 injectors?

2 A. That is right.

3 Q. If that's an expansion, that's what you call it,  
4 right? That's not --

5 A. That was my definition. I can be corrected,  
6 though.

7 Q. Let's go to page 3. Would you identify that?

8 A. Page 3 is the plat as required under part 5 of  
9 the C-108 that shows the two-mile radius of all wells  
10 around the proposed injection well, and the one-half mile  
11 area of review around the injection well.

12 Q. Behind that on page 4 in tabular form is the  
13 information required by Form C-108 on all wells within the  
14 area of review; is that correct?

15 A. That's correct. That would be part 6, and it  
16 shows the tabulation of well names and locations. And then  
17 we also included beyond that, because there's a lot of data  
18 as far as the construction of each of the wells within the  
19 area of review and the perforated intervals, et cetera. So  
20 we've got the table and the following schematics for the  
21 construction and completion of each of the wells.

22 Q. Now, are those schematics the wellbore diagrams  
23 on pages 5 through 21 of Exhibit 4?

24 A. Yes, 5 through 21. Within there, there is one  
25 well on page 21 which was a dry hole drilled to the Bone

1 Spring, penetrated and then plugged and abandoned.

2 Q. And the plugging detail is shown on this exhibit?

3 A. And the plugging detail is shown. The rest of  
4 the wells are all producing within that area of review.

5 Q. And you have schematics in here for the two  
6 horizontal wells that are within the area of review as  
7 well?

8 A. Yes, within the area of review we have the RHNU  
9 212, which I mentioned, and then south of that about  
10 another half mile is RHNU 211, which is another horizontal  
11 producer.

12 Q. Mr. Cate, let's go to pages 22 and 23 of this  
13 exhibit, and I would ask you to, referring to this exhibit,  
14 explain to the Examiner how EOG proposes to drill and  
15 complete this horizontal injection well.

16 A. Okay, this well will be completed -- drilled,  
17 constructed and completed just as the aforementioned 212  
18 and 211. And we basically set the intermediate strings,  
19 two of them, a 13-3/8 and a 9-5/8, down to approximately  
20 5000 feet. And then we'll drill our curve down into the  
21 third Bone Springs sand at approximately 12,200 feet.

22 We case off the curve with 7-inch casing, and  
23 then we drill the horizontal lateral and then run a liner,  
24 a 4-1/2-inch liner, and tie back into the vertical portion  
25 of the hole at approximately 11,800 feet or so.

1           The completion, then, is like the other wells.  
2           We perforate approximately evenly spaced, but depending on  
3           our anticipated thicknesses in the -- that we have crossed  
4           in the reservoir, we might concentrate the perforations a  
5           little tighter for more of the stimulation to go there.  
6           Then we'll respond with a saltwater frac to open up the  
7           sand above and below, since it is almost 90 feet thick and  
8           on average the frac is the way to get vertical  
9           communication into the horizontal lateral.

10           Q.    Have you reviewed the data available on each of  
11           the wells within the area of review --

12           A.    Yes.

13           Q.    -- for the proposed injector?

14           A.    Yes, I have.

15           Q.    Have you satisfied yourself that no remedial work  
16           will be required on any of these wells to make it safe to  
17           operate them within close proximity to this injection well?

18           A.    Yes, I have.

19           Q.    What is the source of the water you propose to  
20           inject? The source of the water primarily would be  
21           produced Bone Spring and Morrow from the Red Hills Unit  
22           itself, and the Morrow comes from the Pitchfork Ranch  
23           field, which is adjacent to the Red Hills-Bone Spring.

24                    It will be necessary to have makeup water, fresh  
25           water, from the Santa Rosa well initially in this project.

1 Q. You will be using only fresh water as a makeup?  
2 You'll use all produced sources first?

3 A. That's right, all produced sources that we can  
4 economically get our hands on right now.

5 Q. What volumes are you proposing to inject?

6 A. Well, I'll show this in a little bit, but the  
7 initial injection well 606 is anticipated to take 3000  
8 barrels a day of total fluid, but it drops off very  
9 rapidly. Within a year it's down to just over 1000 barrels  
10 of water per day.

11 And so we have produced water in the range of 700  
12 barrels per day readily available. So the makeup water  
13 initially would require around 2300 barrels per day,  
14 dropping to under 300 barrels per day or so, after one  
15 year.

16 Q. Will it be a closed system?

17 A. It will be a closed system.

18 Q. You're going to be injecting under pressure?

19 A. Yes.

20 Q. And what are the maximum and average pressures  
21 that you're requesting?

22 A. We're requesting a maximum of 3250 pounds  
23 surface, with an average injection pressure of 3000 pounds  
24 surface.

25 Q. This is in excess of .2 pound per foot of depth



1 to the top of the injection interval, is it not?

2 A. Yes, it is.

3 Q. Would you refer to what has been marked, or what  
4 is included in Exhibit 4 on page 26, identify and review  
5 that?

6 A. Okay, this is a step-rate test that we ran on the  
7 vertical injector, RHNU Number 302, and it shows the  
8 injection pressure versus the injection rate and the  
9 corresponding break in the slope, change in the slopes, at  
10 the point that the rock is parted.

11 Q. And what does it tell you? Can you safely inject  
12 at 3250 pounds?

13 A. Yes. Yes, we can. The actual pressure here  
14 where they cross is 3265 pounds, but up to that pressure  
15 the rock is not parted and we can safely inject.

16 Q. Are there freshwater zones in the area?

17 A. There are freshwater zones. The Santa Rosa  
18 formation is up at -- behind the intermediate casing at  
19 approximately 300 feet. I think you get sands from 100 to  
20 300 feet.

21 Q. And what is page 27 of Exhibit 4?

22 A. Page 27 is a comparison of the produced fluids  
23 that we propose to inject and the fresh water from the well  
24 that we operate from the Santa Rosa, that happens to be on  
25 the northeast quarter of Section 13.

1 Q. And what is page 28? Is that a water analysis of  
2 water from that well?

3 A. Yes, it is. It says northwest quarter. I  
4 believe the well is actually in the northeast quarter of  
5 Section 13. And it is the only freshwater well within one  
6 mile of this area.

7 Q. Will the injection you're proposing, in your  
8 opinion, pose any threat to fresh water or underground  
9 sources of drinking water in the area?

10 A. No, it won't. I believe the construction of all  
11 these wells and the future wells will prevent that.

12 Q. Now, what you've done is, you have presented the  
13 C-108 for the first of the horizontal injection wells?

14 A. That's right, so we would seek to have  
15 administrative approval to submit and have approved the  
16 future horizontal injectors on an as-needed basis.

17 Q. So you'll go forward well by well with the C-108s  
18 for the subsequent wells?

19 A. Yes, each of these wells takes three to four  
20 months to drill and build the curves and complete, and  
21 we'll want to flow back and get the frac fluids out of them  
22 and then start our injection and get the facilities.

23 So it will be about probably three months, if we  
24 kept one rig just going out there. Three to four months  
25 between each C-108.

1 Q. How much do these wells cost?

2 A. Each of these wells is costing us over \$3 million  
3 right now.

4 Q. Have you examined the available geologic and  
5 engineering data on this area?

6 A. Yes, I have.

7 Q. And as a result of that examination, have you  
8 seen or found any evidence of open faults or any hydrologic  
9 connections between the injection zone and any underground  
10 source of drinking water?

11 A. No, I have not.

12 Q. Let's go to your Application for the enhanced oil  
13 recovery certification. That's Exhibit Number 5. Would  
14 you initially just identify that.

15 A. Yes. And just real quickly, though, I was going  
16 to say, the remainder of these pages are simply -- I don't  
17 think -- but it's the APD to drill the 606, so we just  
18 included that.

19 Q. And that's the remainder of the exhibit?

20 A. The pages within the C-108, yes.

21 Q. All right, what is Exhibit 5?

22 A. Okay, Exhibit 5 is the Application to qualify the  
23 project for the enhanced oil recovery tax rate.

24 Q. And this Application includes all information  
25 required by OCD rules?

1           A.    Yes, it does.

2           Q.    What is the estimated additional capital cost to  
3 be incurred in this project?

4           A.    Capital cost of approximately \$33.8 million, and  
5 that includes the drilling, the future horizontal injectors  
6 and producers, building a pipeline to get more produced  
7 water, and the facilities, the injection facilities that  
8 will have to be built.

9           Q.    And what are the total project costs?

10          A.    We estimate a total cost, including intangibles  
11 and perhaps water cost, of \$40 million.

12          Q.    And how much additional production does EOG  
13 expect to obtain from this project?

14          A.    My Eclipse simulation model indicates that we  
15 could possibly yield another 17 million barrels above the  
16 primary 15 million barrels that's anticipated to be  
17 produced.

18          Q.    And what happens to the gas production with this  
19 pressure maintenance project?

20          A.    Well, the gas will actually go down by 2 BCF  
21 because of the higher abandonment pressure that's left in  
22 the reservoir.  So you actually lose a little bit of gas,  
23 but you do make up 17 million barrels of oil, so...

24          Q.    And what is the total value of the additional  
25 production?

1           A.    The additional production, total value, is  
2           estimated to be \$369 million, based on a \$22 oil price,  
3           over the life of the project.

4           Q.    Have you also taken out the value of the lost  
5           gas?

6           A.    Yes, I have, I've deducted the value of the lost  
7           gas at a price of \$2.50 per MCF.  And of course, those  
8           values are undiscounted over the entire life of the  
9           project, which might be 60 years.  I would ask Michael back  
10          there not to run to the bank yet.

11          Q.    If the project is economically successful, do you  
12          have any opportunity of plans to expand this horizontally  
13          into any other area?

14          A.    Well, it is possible.  There are a lot of tight  
15          reservoirs like this in Texas and New Mexico.  Now, we  
16          don't see this exact area here, this unit, expanding at  
17          this point.  But it is possible that we could get this to  
18          work in additional reservoirs in the Permian Basin or  
19          wherever.

20                    But just as an aside, we have contacted DOE.  
21          We're pursuing possible funding there because this  
22          reservoir is so tight, .2 millidarcies, the only reason it  
23          produces is because it was overpressured, original pressure  
24          9500 pounds.  I mean, we've got some concerns to whether it  
25          will work and the quality of what it will be.

1 Q. Behind the letter Application, Exhibit 5, and  
2 attached to it, do you have an exhibit which contains  
3 information on the producing and on the initial injection  
4 well on the unit, correct?

5 A. Yes, as required by the rule.

6 Q. And then the last page of this exhibit is a  
7 production forecast, is it not?

8 A. Yes, it is.

9 Q. Could you review the information on that forecast  
10 for Mr. Stogner?

11 A. Okay, this is required by the rule, and it shows  
12 the historical production. I've got barrels of oil per day  
13 and MCF per day on the left side, and then the barrels of  
14 water per day on the right side. And we've also got a  
15 forecasted oil and gas production response based on the  
16 injection that can be seen and also the forecasted increase  
17 of water production in the field. We've got it out  
18 approximately 13 years, like from -- or, excuse me, 11  
19 years from current. But the project life should be sixty  
20 years.

21 Q. What you're here today proposing is significantly  
22 different than what you were proposing two years ago?

23 A. Yes. In fact, the vertical well, it's been  
24 determined, cannot be used as injectors, that we do have to  
25 go with the horizontal wells on this.

1 Q. You're seeking certification or qualification of  
2 this project and the enhanced oil recovery tax rate,  
3 correct?

4 A. Yes.

5 Q. And you're seeking the opportunity to implement  
6 this and qualify it for the lower tax rate in two phases?

7 A. Yes. And again, that is based on the potential  
8 response that was predicted by my reservoir simulator.

9 Q. In your opinion, will approval of this  
10 Application and the implementation of the proposed pressure  
11 maintenance project in the Red Hills North Unit be in the  
12 best interests of conservation, the prevention of waste and  
13 the protection of correlative rights?

14 A. Yes.

15 Q. Were Exhibits 3 through 5 prepared by you?

16 A. Yes.

17 MR. CARR: Mr. Stogner, at this time we would  
18 move the admission into evidence of EOG Resources Exhibits  
19 3 through 5.

20 EXAMINER STOGNER: Exhibits 3 through 5 will be  
21 admitted into evidence at this time. Also, I should have  
22 done this earlier, I'm going to take administrative notice  
23 of the cases that resulted in Orders Number R-11,389 and  
24 11,388, for the record in this matter.

25 MR. CARR: Yes, sir. That concludes our direct

1 examination of Mr. Cate.

2 EXAMINATION

3 BY EXAMINER STOGNER:

4 Q. Cate, as far as the initial injector, this Number  
5 606, what is EOG's plans? I mean, it's still somewhat of  
6 in a pilot phase, isn't it?

7 A. Well, we -- I guess you could say so, depending  
8 on how you define it. But, you know --

9 Q. Well, let me define it like this. I mean, you  
10 don't have any other horizontal injectors out here, do you?

11 A. No, we do not.

12 Q. Okay.

13 A. This will be the first horizontal injector, that  
14 is correct.

15 Q. So that's what I was leading up. What does EOG  
16 plan to do as far as testing, seeing the results, what are  
17 you looking for, what will determine if any additional  
18 injectors get drilled?

19 A. Well, much the same as the vertical well. We'll  
20 have to see, number one, does the horizontal well take the  
21 forecasted amount of water that the model will deem is  
22 needed to at least make this an economic venture? And then  
23 we'll have to take those numbers and, you know, put them  
24 into our model and bring that up to date.

25 But if the model is correct -- and I will say



1 that the Eclipse model did predict that the vertical well  
2 would only take about this amount of water. We were  
3 hopeful that we might be surprised on the upside, but with  
4 .2 millidarcies, frankly, we're not surprised.

5 Q. I thought I understood you to say the vertical  
6 injector failed.

7 A. It failed from a pressure maintenance point of  
8 view. It will not take enough water to overcome the  
9 withdrawals in the offset wells, and so -- I mean, that's  
10 my definition of a failure.

11 Q. Okay. So you didn't say that the model predicted  
12 failure?

13 A. No, I didn't --

14 Q. That's not what you were saying?

15 A. -- say that, no.

16 Q. Okay, just wanted to make sure --

17 A. We spent money, yeah. I wouldn't even have done  
18 that.

19 Q. Okay, so you've already got the Number 212 well;  
20 that's already a horizontal producer?

21 A. Correct.

22 Q. So that's going to be your main focus after you  
23 get this injector in there. Not only are you going to be  
24 looking at the injection, you're going to be looking at the  
25 results, I assume?

1           A.    Yes, we will.  We should see a GOR collapse and  
2 eventually some water break through.  But even those  
3 vertical wells to the north of the injector should see  
4 response also.

5           Q.    And when you say those vertical producers, are  
6 you talking about all of them, the Number 10, 208, 102, 603  
7 and 602 and 601?

8           A.    Yes.  And of course, you know, the wells closest  
9 to the injection will see the first response.  But like I  
10 say, even the RHNU 105, which is a mile away, will see a  
11 benefit just from the water going in, in this area.

12          Q.    Have you determined, if this turns out to be a  
13 successful horizontal injector, which would be your second  
14 horizontal injector well to be drilled?

15          A.    We would respond to the south, the two wells that  
16 you see just due south of the 212.  And the plan, of course  
17 -- I mean, it's subject to change, a lot of the technology.  
18 Can we drill horizontal wells this long?  Some of our  
19 producers we only made it out 1500 and had shale problems,  
20 had to stop.  I mean, the second one could be just to fill  
21 in the -- if we have to stop short on the 606, we may be  
22 coming back to try to fill in that area undrilled.

23                    But to answer your question, we would start  
24 moving south, because that area between the two horizontal  
25 wells, producers, the 212 and the 211, is where we're

1 seeing the greatest drawdown below bubble point and  
2 therefore the highest need for pressure maintenance.

3 Q. Okay. Now just to make sure I'm clear, I'm  
4 referring to Exhibit Number 3. Your horizontal producers  
5 and horizontal injectors, the ones that have a green dot  
6 associated with them, those are existing wells; is that  
7 correct? Producing wells?

8 A. Yes, the ones with just the dot and no line are  
9 current vertical producers.

10 Q. Producers. And then those -- I call them purple,  
11 you called them blue --

12 A. Okay.

13 Q. -- that don't have a green dot associated with  
14 them, those are your proposed new drills, I would assume?

15 A. That's right.

16 Q. Okay.

17 A. Yes, we will actually re-enter some existing  
18 vertical wellbores and drill out some shorter 2000-foot  
19 laterals. That's our current plan. So we would convert  
20 some other current vertical wells into horizontal  
21 injectors.

22 Q. Okay. Now, I'm looking down there in Section 13,  
23 the Number 302 well. That has a purple triangle. What  
24 does that --

25 A. Well, we just -- up in the upper right -- it's

1 just to signify that it's the current injection well in the  
2 area.

3 Q. Okay. That was the one that was approved under  
4 R-3389?

5 A. Yes.

6 Q. Okay, I'm sorry, I thought the Number 6 was the  
7 current injector. What is the status of the 606?

8 A. It's yet to be drilled. We have filed the APD,  
9 and I think 30 days we're expecting the APD.

10 Q. Okay, I'm getting there now.

11 Does this map denote all the existing wells out  
12 in this area, whether deeper or shallower?

13 A. No, not -- particularly within the unit, I think  
14 there are some shallow dry holes, oh, down in the south  
15 part of Section 13 that would not be reflected.

16 And then there are some deep wells, for instance,  
17 the RHNU 601 -- and you'll see the -- since it's in the  
18 area of review, you'll see on its schematic that it  
19 originally was a deep Morrow gas producer that has now been  
20 recompleted into the Bone Springs sand. But all that is  
21 tabulated, you know, on that table and the schematics.

22 Q. And that was leading up, so I need to go -- to  
23 show all the wells within the area, I need to go to the  
24 area of review map, page 3 of your Exhibit Number 4?

25 A. Yes, and the C-108s.

1 Q. That's right.

2 A. Yes.

3 Q. And that's the current Midland map depicting the  
4 wells?

5 A. Yes, as far as I know. Pat Tower says it is.

6 Q. What are some of your oldest wells out there in  
7 that area of review? This is a fairly new developed area,  
8 isn't it?

9 A. Yes, the -- One of the deep wells that actually  
10 was the discovery for this field, if you go back down into  
11 Section 13, the RHNU 301, it was actually an Atoka and  
12 Wolfcamp producer back in the 1980s, drilled, I think,  
13 1984. And EOG -- we recompleted that well into the Bone  
14 Springs sands at the end of 1992.

15 And after watching it for a while and seeing that  
16 it was actually a commercial discovery, the program ensued.  
17 And so the development did start in 1992. Some of the  
18 deeper production in the area had been out here, like I  
19 say, in the early 1980s.

20 Q. So relatively speaking, we're going to have 1980s  
21 vintage wells and nothing older than that?

22 A. As far as I know, that's correct.

23 Q. Okay. So none of the wells within the area of  
24 review -- they're all mechanically sound or have been  
25 plugged and abandoned in accordance -- that would not allow

1 any of the injected waters to leave that injected interval?

2 A. Yes, I believe they are. And then the fresh  
3 waters are behind two sets of casing strings, cemented  
4 typically to circulate surface on both strings.

5 Q. Okay. Now, how about -- maybe I'm missing  
6 something here -- water wells within the area? Is that  
7 page 41 that would indicate that?

8 A. There was -- I think it says one mile, doesn't  
9 it, within -- but we do have the -- there is only one water  
10 well in the area, and it is operated by us, and it is a  
11 freshwater well that's used for commercial purposes,  
12 drilling, when we drill wells, and it's in the northeast  
13 quarter of Section 13. I think it's just about 1000 feet  
14 from the RHNU 302. So it was pretty close to that one  
15 mile, but even if it was outside -- that's the only well  
16 that's in this area, and that's why we included its  
17 analysis, the water analysis. It's going to be a typical  
18 fresh water.

19 Q. And that water well was also included in the  
20 testimony presented two years ago?

21 A. Yes, it was. Now, it was within the area of  
22 review at that time, yes.

23 Q. Of that well?

24 A. Same well, yes.

25 Q. Are there any other freshwater wells, say in the

1 unit area, anticipating additional injectors?

2 A. The only other freshwater well that we could find  
3 is another one that we use up in Section -- I think it's  
4 32, about, oh, one and a half or two miles north of the  
5 unit boundary in Section 6, so it would be north and east  
6 in the Madera 32, there is one freshwater well.

7 Again, it was used for commercial purposes, has  
8 not been -- I don't even think it's been produced for maybe  
9 10 years. And that's the only other one. I think the next  
10 nearest one is one of the ranchers' wells five miles away.

11 Q. Okay. Exhibit Number 5, your capital costs,  
12 additional facilities, let me make this straight, let me  
13 get this straight. This is the cost just for the one well,  
14 or is this total cost if the whole thing was to break down?

15 A. That's the total project cost. That would  
16 include approximately 12, you know, injectors and  
17 producers, the drilling costs and facilities and a water  
18 pipeline.

19 Q. Let's see. So that would be 12 additional  
20 horizontal wells, total?

21 A. Approximately, yes.

22 Q. At \$3 million apiece?

23 A. Yes.

24 Q. So some of these million dollars would be just  
25 for the cost of the initial dr- -- or -- well, some of them

1 are recompletions, so that would be --

2 A. That's right, they will be cheap. So on average  
3 it might be \$2.5 million apiece, for just the drilling and  
4 completion costs.

5 EXAMINATION

6 BY MR. JONES:

7 Q. Okay, Mr. Cate, can I just ask you a few  
8 questions?

9 A. Yes.

10 Q. This permeability of .2 millidarcies, is it a big  
11 variation in that?

12 A. Not a large variation. We've got buildups that  
13 have ranged -- and that's effective on an oil buildup --  
14 but from .5 millidarcies down to .1, maybe even .08. But  
15 pretty much within that range.

16 Q. I guess what I'm getting at is the fracturing in  
17 the --

18 A. No, we don't have any evidence of fracturing.  
19 It's not a hugely tectonic area. We did cut four full  
20 cores out here -- well, we tried; I think we got really one  
21 that's actually a full core -- and there wasn't any  
22 evidence of natural fractures. There's some  
23 microfracturing within certain places, but it's just a very  
24 fine-grain sand. The deposition looked like a submarine  
25 fan --



1 Q. Oh.

2 A. -- it seemed to have, you know, several pulses  
3 from whatever source.

4 Q. So it's a marine sand?

5 A. Yeah, we think it's a marine fan, and...

6 Q. Did you run any imaging logs?

7 A. Yes, as a matter of fact, we did.

8 Q. Did you continue those logs up above and below  
9 your formation of interest?

10 A. Yes.

11 Q. Okay.

12 A. And the shales -- There are some shales and  
13 tighter sands up above.

14 Q. Are there barriers to injection that you can see  
15 on those imaging logs above and below -- especially above  
16 your injection --

17 A. Yeah, if you look at this type log right here on  
18 Exhibit 3, there is a shale package about 20 or 30 feet  
19 above the pay sand, what we call the Z marker, and it shows  
20 up as a pretty good shale.

21 Q. It doesn't show a bunch of fractures in it --

22 A. No --

23 Q. -- in your imaging log?

24 A. -- it sure does not. And then below that is  
25 typically a little bit of a -- kind of a carbonaceous

1 interval. We've run frac-height logs which are a --

2 Q. Yes.

3 A. -- sonic look --

4 Q. Right.

5 A. -- and based on that, I mean, the net pressures  
6 to frac up and out are astronomical. We really believe all  
7 our frac jobs have been staying, you know, very close  
8 within zone. So I haven't seen any evidence --

9 Q. Okay, I was just -- the reason I'm getting at  
10 that is for future pressure increases on your injection, if  
11 you're going to need them. That would be further evidence  
12 for that, besides the step-rate tests.

13 A. Yes. Yeah, the original bottomhole pressure out  
14 here was 9500 pounds, which corresponds to about a 4000-  
15 pound surface pressure with a full column hydrostatic of  
16 water, so...

17 Q. Is that good caprock?

18 A. It's pretty good. And so it has come down as  
19 we've completed the pressure in the field, as you can see  
20 by the data that we just submitted on the 302, and that  
21 phenomenon occurs. But even after drawing the pressure in  
22 the reservoir down, you know, 50 percent or more, I mean,  
23 we only saw an 800-pound drawdown on the parting pressure,  
24 you know, from the original. So...

25 Q. Right. Now, the reason you want to go on your

1 injection horizontal well, are you going to go on the upper  
2 part of the formation? Is that what you're targeting?

3 A. We typically do, because we can -- we have found  
4 out here that the shales -- I mentioned that some of the  
5 shales caught us in the southern part. They tend to come  
6 up from below. There's a Wolfcamp shale that this third  
7 sand sits on, and you can see the shales on the type log.

8 Q. You want to stay up not only for injection  
9 purposes but to stay away from your shales on your drilling  
10 costs?

11 A. That's correct. And we see that Z marker when  
12 we're cutting our curve, so we know right where we're at.  
13 But like I said, and then the frac-height logs and the net  
14 pressures, we run a FRACPRO, and Halliburton does those for  
15 us and says that they're going to be well contained, the  
16 stimulations are well contained within the zone, especially  
17 now that we've drawn the pressure down, even --

18 Q. Right.

19 A. -- from original.

20 Q. Now, the reason you're going the same direction  
21 on your injection well as you're going on your producing  
22 wells, are you trying to follow the natural horizontal  
23 stress?

24 A. Yes, exactly.

25 Q. So you're trying to drill with the least possible

1 drilling costs, and your frac go along the wellbore?

2 A. That's correct. And that is one of the things  
3 that the imaging log told us --

4 Q. Okay.

5 A. -- was the borehole breakout, and gave us the  
6 primary stress direction, exactly.

7 Q. Okay. Any other similar reservoirs to this that  
8 run through this way, as far as pressure maintenance? Do  
9 you have any similar --

10 A. I don't know of any. If you do, I'd like to  
11 know --

12 Q. -- on the Eclipse model, yeah.

13 A. Some heavy oil up in Canada, or -- What do they  
14 call it, taller sands or something?

15 But it's a real fine-grained sand, and -- so  
16 there was some risk that it, you know, may not respond  
17 well. But our only chance is the horizontal injectors at  
18 this point.

19 MR. JONES: Right. That's all I have.

20 FURTHER EXAMINATION

21 BY EXAMINER STOGNER:

22 Q. Actually, that leads me up to some additional  
23 questions. What is the stimulation techniques you use out  
24 here on the vertical producers?

25 A. They are typically -- Well, they're perforated in

1 approximately the middle of the sand, 30 or 40 feet of  
2 perforations, and then a fracture stimulation. They  
3 average probably 130,000 gallons of the saltwater, or the  
4 water, and then 200,000 pounds of sand.

5 Q. How about your horizontal injector or your  
6 horizontal producers? How do you plan to stimulate those?

7 A. Well, one of this length -- We can only can only  
8 pump enough rate to do -- like a long one like this, which  
9 would be almost 700 feet, would require two stages. The  
10 RHNU 212 required two stages. We frac'd the toe end first,  
11 seven sets of perforations, almost equally spaced. And  
12 each stage carries about 400- -- I've listed it in here,  
13 but I think it's 400,000 gallons and half a million pounds  
14 of sand. It's in that range.

15 MR. JONES: And no gel?

16 THE WITNESS: Oh, it is gelled, yes.

17 MR. JONES: It's 30-pond gel?

18 THE WITNESS: Yes, it sure is. Yeah, I think it  
19 is a 30-pound gel. But yeah, the stimulation is listed on  
20 page 25. 400,000 gallons and 500,000 pounds per -- No, I'm  
21 sorry, that's for both stages. So each stage is half that.

22 And so we'll do the toe end first, clean it up  
23 and get the treating fluids off the formation, because it  
24 is a sand and susceptible to damage. So we try to -- We'll  
25 flow them back, and then we set a bridge plug and come in

1 and frac the heel end and clean it up, flow it back, and  
2 then we'll knock the bridge plug out and start injecting,  
3 would be the plan.

4 EXAMINER STOGNER: Any other questions? Okay,  
5 you may be excused.

6 THE WITNESS: Thank you.

7 MR. CARR: Mr. Stogner, that concludes our  
8 presentation in this case.

9 EXAMINER STOGNER: Mr. Carr, I'd like a rough  
10 draft --

11 MR. CARR: Yes, sir.

12 EXAMINER STOGNER: -- whenever it is convenient  
13 with you.

14 MR. CARR: I'll need a week.


15 EXAMINER STOGNER: If you need additional time  
16 you can contact me.

17 MR. CARR: I will.

18 EXAMINER STOGNER: If there's nothing further in  
19 Case Number 12,843, then this case will be taken under  
20 advisement.

21 (Thereupon, these proceedings were concluded at  
22 2:40 p.m.)

23 \* \* \*

24  12843  
25 Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter  
and Notary Public, HEREBY CERTIFY that the foregoing  
transcript of proceedings before the Oil Conservation  
Division was reported by me; that I transcribed my notes;  
and that the foregoing is a true and accurate record of the  
proceedings.

I FURTHER CERTIFY that I am not a relative or  
employee of any of the parties or attorneys involved in  
this matter and that I have no personal interest in the  
final disposition of this matter.

WITNESS MY HAND AND SEAL March 29th, 2002.



---

STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 2002