

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 12,875

APPLICATION OF TEXAKOMA OIL AND GAS)
CORPORATION FOR AN UNORTHODOX COAL)
GAS WELL LOCATION, SAN JUAN COUNTY,)
NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

June 27th, 2002

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, June 27th, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

June 27th, 2002
 Examiner Hearing
 CASE NO. 12,875

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESS:	
<u>BRADLEY W. SALZMAN</u> (Engineer)	
Direct Examination by Mr. Bruce	5
Cross-Examination by Mr. Owen	15
Examination by Examiner Catanach	20
Redirect Examination by Mr. Bruce	27
Recross-Examination by Mr. Owen	29
Examination by Examiner Catanach	35
DUGAN/MARALEX/SG WITNESS:	
<u>JOHN D. ROE, JR.</u> (Engineer)	
Direct Examination by Mr. Owen	37
Cross-Examination by Mr. Bruce	60
Examination by Examiner Catanach	67
Examination by Mr. Jones	73
Examination by Mr. Brooks	77
Further Examination by Mr. Owen	78
CLOSING STATEMENTS:	
By Mr. Owen	79
By Mr. Bruce	83
REPORTER'S CERTIFICATE	87

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	15
Exhibit 1A	12	15
Exhibit 2	12	15
Exhibit 3	14	15
Exhibit 3A	14	15
Exhibit 4	26	26
Exhibit 5	27	29
Exhibit 6	27	29

* * *

Dugan/Maralex/SG	Identified	Admitted
Exhibit 1	41	78
Exhibit 2	42	78
Exhibit 3	44	78
Exhibit 4	51	78
Exhibit 5	55	78
Exhibit 6	58	78
Exhibit 7	68	78

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS
Attorney at Law
Energy, Minerals and Natural Resources Department
Assistant General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law
324 McKenzie
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR DUGAN PRODUCTION COMPANY;
MARALEX RESOURCES, INC.;
and SG INTEREST, LTD.:

MONTGOMERY & ANDREWS, P.A.
Attorneys at Law
325 Paseo de Peralta
P.O. Box 2307
Santa Fe, New Mexico 87504-2307
By: PAUL R. OWEN

* * *

ALSO PRESENT:

WILL JONES
Engineer
New Mexico Oil Conservation Division
1220 South Saint Francis Drive
Santa Fe, NM 87501

* * *

1 WHEREUPON, the following proceedings were had at
2 1:53 p.m.:

3 EXAMINER CATANACH: All right, at this time we'll
4 call Case 12,875, the Application of Texakoma Oil and Gas
5 Corporation for an unorthodox coal gas well location, San
6 Juan County, New Mexico.

7 Call for appearances in this case.

8 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
9 representing the Applicant. I have one witness.

10 MR. OWEN: Mr. Examiner, Paul Owen of the Santa
11 Fe law firm of Montgomery and Andrews, appearing on behalf
12 of Dugan Production Company; Maralex Resources, Inc.; and
13 SG Interests. I have one witness in this matter.

14 EXAMINER CATANACH: All right, can the two
15 witnesses please stand to be sworn in?

16 (Thereupon, the witnesses were sworn.)

17 BRADLEY W. SALZMAN,
18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. BRUCE:

22 Q. Would you please state your name for the record?

23 A. Bradley William Salzman.

24 Q. And where do you reside?

25 A. Farmington, New Mexico.

1 Q. What is your relationship to Texakoma in this
2 matter?

3 A. I'm a consultant, and I handle all their
4 operations in the San Juan Basin.

5 Q. By training are you an engineer?

6 A. Yes, sir.

7 Q. A petroleum engineer?

8 A. Yes, sir.

9 Q. Have you previously testified before the
10 Division?

11 A. Yes, I have.

12 Q. And were your credentials as an expert petroleum
13 engineer accepted as a matter of record?

14 A. Yes, they were.

15 Q. And are you familiar with the engineering matters
16 involved in this Application?

17 A. Yes, I am.

18 MR. BRUCE: Mr. Examiner, I'd tender Mr. Salzman
19 as an expert petroleum engineer.

20 EXAMINER CATANACH: Any objection?

21 MR. OWEN: No objection.

22 EXAMINER CATANACH: Mr. Salzman is so qualified.

23 Q. (By Mr. Bruce) Could you refer to Texakoma's
24 Exhibit 1 and discuss briefly why Texakoma desires the off-
25 pattern coal gas location?

1 A. Yeah, this is an isopach map of the Fruitland
2 Coal south of Farmington. If you notice on here on the
3 left-hand side, Section 16 is the proposed location.
4 That's the Black Hills 16 Number 1. The standard pattern
5 location would be a southwest spot. We've got it proposed
6 in the southeast quarter. If you take a look at the net
7 isopach there, we've got a maximum of about 27 feet of
8 coal, for the most part, in this area.

9 What this map shows is the coal penetrations, the
10 cum to date and the present production rate. If you
11 notice, from east to west the coal tends to thin, and the
12 production is worse as you go from east to west.

13 Q. Now looking at this Section 16, there's really no
14 difference in the coal thickness in Section 16, is there?

15 A. No, sir.

16 Q. Okay. It looks like in this area it trends from
17 the southwest up to the northeast but pretty much all that
18 Section 16 is in the 25-foot contour line?

19 A. Right.

20 Q. But looking at this -- and we'll get to the
21 yellow line in a minute -- does production appear to be
22 better to the east, immediately offsetting to the east,
23 than it does to the west?

24 A. Yes.

25 Q. And there's a couple of key wells I'd like you to

1 look at here, Mr. Salzman. Just south of the proposed
2 location there's a note that says "Offset Producing Well".
3 That's a relatively recent Maralex well, is it not?

4 A. Yes, sir.

5 Q. And that appears to be a decent well?

6 A. Yes.

7 Q. But over to the west, in the northeast quarter of
8 Section 22, there's a Fruitland Coal well there in the
9 northeast quarter. Is that a good well?

10 A. No, it's not.

11 Q. And then there's a bunch of others that are
12 marked off to the west with "NP" for nonproducing in the
13 Fruitland Coal?

14 A. Right.

15 Q. So it appears that as you move to the west of
16 your proposed location the quality of production drops off
17 substantially?

18 A. Yes, and I believe the nonproducing wells would
19 be uneconomic at this point.

20 Q. Okay. Now, there's a yellow outline. What does
21 that indicate?

22 A. The yellow line indicates a contour of a
23 cumulative recovery, and what the engineers in Dallas have
24 done is taken the cum to date and then five years at the
25 present producing rate, and given that a cum, just so it's

1 a nonbias approach to an ultimate recovery. This yellow
2 line denotes the half-BCF line. And as you can see,
3 regardless of coal thickness and regardless of this isopach
4 map, you basically have a north-south trend here with a
5 half BCF.

6 Q. So on the left yellow line everything to the
7 right of that line, and then on the right side of the map
8 everything to the left of the yellow line is greater than
9 or equal to a half BCF?

10 A. Yes, sir.

11 Q. And again, they're taking cum plus five years at
12 the current, assuming the well is going to produce at a
13 current rate?

14 A. Yes.

15 Q. So once again, that indicates that it would be
16 better to be in the southeast quarter of Section 16?

17 A. Yes, it would.

18 Q. Now, with respect to the wells in this area, do
19 they produce water out there?

20 A. Yes, they do. Naturally in any coal well you get
21 a higher water rate at first, and then that declines, your
22 gas rate comes out as the formation is dewatered and the
23 coal is desorbed.

24 Q. Okay. Now, the well in the northeast quarter of
25 Section 21, the Maralex well, I suppose Maralex could say

1 that, well, Texakoma drills this well and Texakoma will
2 benefit from the dewatering that Maralex has done. That
3 could be a statement they could make?

4 A. That could be, yes.

5 Q. What is your opinion of that and how the Texakoma
6 well might affect the Maralex well?

7 A. Anecdotal evidence -- in Texakoma's operation to
8 the north in the La Plata area, we were in here three years
9 ago, and Coleman Oil and Gas proposed a well very similar
10 to this on the flank of the Basin. They were proposing a
11 nonstandard location just to the north of us --

12 Q. So Texakoma had a standard location and Coleman
13 was proposing --

14 A. Right.

15 Q. -- an off-pattern location?

16 A. And they were -- It was exactly the same setup as
17 far as the southeast and the northwest -- or southeast and
18 the northeast quarters. We found that after they drilled
19 that well, it helped us out in our dewatering process, and
20 it sped up the incline and the desorption process by about
21 three years. The ultimate recovery in both wells is going
22 to be better, due to the fact that their well was drilled
23 in the nonstandard pattern.

24 Q. When you went to the hearing, at approximately
25 what rate was the Texakoma well producing?

1 A. The Texakoma well at that point, at the hearing,
2 was 200 MCF a day.

3 Q. And after the Coleman well was drilled and there
4 was some additional dewatering, did that producing rate
5 increase?

6 A. Yes, it did.

7 Q. To what rate?

8 A. To about 600 MCF a day after nine months of
9 production in their well.

10 Q. Okay.

11 A. It's accelerated -- We were expecting a peak of
12 6700 MCF a day in three to four years. But that
13 accelerated the production and the dewatering process on
14 our well and actually increased the net present value of
15 that well.

16 Q. Okay. And of course, because the Coleman was
17 drilled, that well was approved by the Division?

18 A. Right, right.

19 Q. Now, the well we're talking about, the Texakoma
20 well is the -- what, the La Plata 33-2 well?

21 A. Yes, sir.

22 Q. And that's in Township 32 North, Range 13 West --

23 A. Yes.

24 Q. -- I believe --

25 A. Yes.

1 Q. -- in Section 33?

2 A. That's right.

3 Q. And then the Coleman well, what's the name of
4 that well?

5 A. It was the Steward Com Number 1, S-t-e-w-a-r-d.

6 Q. So even though the Maralex well could possibly
7 have dewatered a part of Section 16, you would further
8 dewater the whole area and benefit both wells?

9 A. Yes, and any offset well, for that matter.

10 Q. So for instance, if somebody drilled over in the
11 southwest quarter of Section 15, although there is a
12 nonproducing well there at this point, that could benefit
13 that well?

14 A. Yes, it could. Yes, it could.

15 Q. Now, Exhibit 1A, is that simply a production plat
16 with additional detail on drilling dates, et cetera?

17 A. Yes, drilling dates, current rates and whether
18 they're producing or not.

19 Q. Okay, it doesn't cover quite as much area as
20 Exhibit 1?

21 A. No, it's just another -- different form of
22 presentation of the same information that's on Exhibit 1.

23 Q. Now let's turn to Exhibit 2, which is the Form
24 C-102 for the well. Now, first off, in looking at the well
25 location, just from a footage basis, ignoring the quarter-

1 section requirements of the pool rules, this would be a
2 standard footage off the section lines, would it not?

3 A. Yes, it would.

4 Q. And it appears here that there are two different
5 -- and these are, I believe, State of New Mexico leases
6 involved?

7 A. Yes, they are.

8 Q. Is the surface of Section 16, is that state land?

9 A. No, that's Navajo.

10 Q. Okay. Has it been difficult -- Is it difficult
11 to get rights of way from the Navajo Tribe?

12 A. Yes, it is.

13 Q. Now --

14 A. Well, it's difficult and it's time-consuming and
15 a lengthy process.

16 Q. Okay, so you just can't go out and get one in a
17 couple of weeks' --

18 A. No, sir.

19 Q. -- time, like you can with the State Land Office?

20 A. No, sir.

21 Q. Has it taken months or even years in the past?

22 A. I wouldn't say years, but the greater portion of
23 a year, months and months, yes.

24 Q. Now, drawn on this map is a little pipeline.
25 There is a pipeline that cuts through the southeast

1 southeast of Section 16, is there not?

2 A. That's correct.

3 Q. And since the well would be on that lease, even
4 though -- rather than having to cross different lease
5 lines, which may be time-consuming, you'd have the right,
6 since the well is on that lease, to just lay a line to that
7 pipeline?

8 A. Yes, that would be on-lease construction, we
9 could construct the pipeline immediately following testing
10 of the well.

11 Q. So you wouldn't have to worry about having a well
12 in the southwest quarter, drilling it and waiting six,
13 eight, ten, twelve months to hook it up --

14 A. That's exactly right.

15 Q. -- which adversely affects economics?

16 A. Yes.

17 Q. Now, Exhibit 3, Mr. Salzman, does that simply
18 exhibit the offset operatorship of the proposed well?

19 A. Yes, it does.

20 Q. And all of these parties were notified of the
21 hearing, were they not?

22 A. Yes.

23 Q. And Exhibit 3A is simply my affidavit of notice.

24 In your opinion, is the granting of Texakoma's
25 Application in the interests of conservation and the

1 prevention of waste?

2 A. Yes, it is.

3 Q. And were Exhibits 1 through 3A prepared by you,
4 under your supervision or compiled from company business
5 records?

6 A. Yes, they were.

7 MR. BRUCE: Mr. Examiner, I'd move the admission
8 of Exhibits 1 through 3A.

9 EXAMINER CATANACH: Any objection?

10 MR. OWEN: No objection.

11 EXAMINER CATANACH: Exhibits 1 through 3A will
12 be admitted as evidence.

13 Mr. Owen?

14 MR. OWEN: May I have just a minute, Mr.
15 Examiner?

16 EXAMINER CATANACH: Certainly.

17 MR. OWEN: Thank you.

18 (Off the record)

19 CROSS-EXAMINATION

20 BY MR. OWEN:

21 Q. Mr. Williams, my name is Paul Owen. I'm
22 representing the parties you heard me indicate earlier.

23 This well, this off-pattern location is not
24 necessitated by topographic reasons, is it?

25 A. Yes, in some instances it is. We've got the wash

1 that runs just -- as a matter of fact, we've staked this
2 well about 80 feet south of the wash.

3 To get north any more, we would have to -- the
4 wash runs -- If you take a look at Exhibit Number 2, the
5 wash runs about 100 feet north of that location, and
6 anywhere else in Section 16 we would have to cross that
7 wash and probably add \$40,000 to the pipeline cost, as well
8 as crossing any lease lines.

9 Q. So it would be --

10 A. That's another economic issue, yes.

11 Q. It would be detrimental to be in the wash?

12 A. Oh, it sure would.

13 Q. Okay.

14 A. Or across the wash, just because of the pipeline
15 costs getting back to our tie-in.

16 Q. But you wouldn't want to locate this well in the
17 wash?

18 A. Locate it in the wash?

19 Q. Right.

20 A. No.

21 Q. Okay. Did you bring a topo map?

22 A. No, I didn't.

23 Q. Okay. This isn't a recompletion of a deeper
24 well, is it?

25 A. No, sir.

1 Q. It's not an intentionally deviated horizontal
2 wellbore, is it?

3 A. No.

4 Q. And your position is that geologic justification
5 for this off-pattern location is that you're getting closer
6 to the productive area of the Fruitland Coal; is that
7 right?

8 A. Yes, if we would put it in the southwest quarter
9 that may be an uneconomic well and, you know, not give
10 Texakoma an opportunity to produce their fair and equitable
11 share of the gas under their lease.

12 Q. Now, your well valuation is based on cum
13 production over the last five years; is that right?

14 A. No, sir, this yellow line -- Is this what you're
15 referring to?

16 Q. Correct.

17 A. All this is is just a representation of the
18 better wells. And this half-BCF isocum production line was
19 calculated based on cum to date, plus five years at current
20 production.

21 Q. So you're determining if a well is a better
22 well --

23 A. Correct.

24 Q. -- based on whether it has produced .5 BCF over
25 the last five years, right? Or better?

1 A. Not over the last five years, this is a
2 projected --

3 Q. A projected rate.

4 A. -- cumulative.

5 Q. So some of these are newer wells?

6 A. Oh, these -- Yes.

7 Q. Did you do any projections for any newer wells
8 west of that line?

9 A. Anything west --

10 Q. Right.

11 A. -- of this line? No, I didn't.

12 Q. You indicated that that well in the northeast
13 quarter of Section 8 has an indication "NP". What does
14 that mean?

15 A. No production.

16 Q. Have you checked the records to see if that well
17 has produced recently?

18 A. No, I haven't.

19 Q. Do you know when that well was completed?

20 A. Do you know how long it took the operator of that
21 well to get a right of way?

22 A. No, I don't.

23 Q. Do you know why these wells over in 18 and 20
24 have not produced?

25 A. It's poorer pay quality, in my opinion.

1 Q. There's less coal?

2 A. No, there's no less coal. However, if you take a
3 look at the micrologs -- I have micrologs on just about all
4 the wells out here -- it will show a definite trend,
5 regardless of this coal thickness, a definite trend where a
6 microlog can show an increase in permeability. Those
7 micrologs also substantiate this productive capacity
8 decreasing from east to west. And if you take a look at
9 the micrologs on any of those wells, it's going to show you
10 a lack of permeability.

11 Q. Okay. Now, you talked about this Coleman well.
12 Are you familiar with the proposed changes to the Basin
13 Fruitland Coal Gas Pool?

14 A. Yes.

15 Q. Are you aware that under -- if those changes are
16 accepted by the Division, that wells such as this
17 particular well will be allowed?

18 A. Yes.

19 Q. So under that new -- if that new rule is adopted,
20 that beneficial effect which you indicated this well might
21 have, based on the Coleman well, would happen anyway,
22 right?

23 A. Yes, it would.

24 Q. Okay. Do you have a lease expiration or some
25 problem with this well?

1 A. No, we don't.

2 Q. Do you know if any of the operators in the
3 surrounding areas, especially with regard to the wells in
4 8, 18 and 20, have had any trouble getting right of ways
5 for their wells?

6 A. 8 -- Section 8 of 26-13?

7 Q. Section 18 and Section 20?

8 A. No, I'm not aware of their dealings with right of
9 ways, no.

10 Q. Okay. I want to go back to your analogy to that
11 Coleman well situation.

12 A. Uh-huh.

13 Q. If you have an offsetting well that's producing,
14 both wells are going to benefit by that dewatering process;
15 is that your testimony?

16 A. Yes, they can.

17 MR. OWEN: Okay, that's all that I have for this
18 witness right now.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Okay. In retrospect, Mr. Salzman, I take it that
22 you're now happy with the decision I made in the Coleman
23 case?

24 (Laughter)

25 A. Yes, sir. That was your decision wasn't it?

1 Q. I do remember that.

2 MR. ROE: I'd be more interested if he was happy
3 at the time.

4 Q. (By Examiner Catanach) Okay. First of all, the
5 wash that you're talking about, where is that located?
6 Does that run east to west or...

7 A. Yeah, the wash basically runs -- this isn't even
8 a good enough quality to submit as an exhibit, but the was
9 basically runs from northwest to southeast in that section,
10 in Section 16.

11 Q. Northwest to southeast. So if you were to locate
12 a well in the southwest quarter, how is that going to
13 affect that?

14 A. Well, that would give us about 3000 feet more of
15 a pipeline and add about \$40,000 to the cost. However, I
16 think the main reason that we want to get into the
17 southeast quarter is that the productive capacity of these
18 wells lessens as you go from east to west.

19 Q. But the wash doesn't have anything with the --

20 A. No, the wash doesn't have anything to do with
21 that. Locating it farther north in the southeast quarter,
22 you know, we would get north of that wash, and that would
23 tremendously increase the pipeline cost.

24 Q. Okay. So I mean, it really isn't a topographical
25 issue. You're really talking about additional pipeline

1 costs if you drill in the southwest quarter?

2 A. Right.

3 Q. As I understand it, what you did on Exhibit
4 Number 1, you took the cumulative production from all of
5 these wells in this area to date?

6 A. Yeah, the cum on an individual basis, on an
7 individual well basis, the cum to date plus five years
8 present production, just to get a nonbiased representation
9 of where the better wells are.

10 Q. Uh-huh.

11 A. You know, you would expect, if the coal quality
12 was the same, that your best wells would be in the thickest
13 part of the reservoir. However, that's not the case.

14 Q. Okay.

15 A. You've got 25-foot contour down here in Section
16 17, and these wells aren't as good a producers as the ones
17 to the east. The micrologs on these wells show that same
18 thing to the lack of permeability as you go from east to
19 west.

20 Q. Okay, I notice on your map, you didn't include
21 any additional lines that show how much this decreases as
22 you move to the west. What are the -- Some of these wells
23 to the west of this yellow line, what are the recoveries of
24 some of those wells?

25 MR. BRUCE: Mr. Examiner, if I could -- and I

1 only have one of these; maybe I can just show it to you,
2 and Mr. Salzman has had a look at it, but it does go from
3 less than 5 BCF, really basically to the west of that line
4 is less than 5 -- you know --

5 THE WITNESS: Or a half a BCF.

6 MR. BRUCE: Less than a half a BCF. And I can
7 leave that with you.

8 Q. (By Examiner Catanach) Okay, but we've got no
9 lines mapped to the west of there, to the west of your
10 proposed well?

11 A. Correct.

12 Q. Okay. I mean, does it gradually taper off as you
13 move east? I mean --

14 A. Well, the coal wells that are to the west of
15 there, they're not producing and haven't produced and may
16 not produce. Are any of those wells Dugan's? I'm not
17 sure. But I don't know if they ever will produce.

18 Q. Now, were all these wells drilled approximately
19 the same time?

20 A. No, they've been drilled over the years. That's
21 why I wanted to give it, you know, present cum plus five --
22 or the cum to date, plus five years of present production
23 rate, kind of as an equalizer in that analysis.

24 Q. Do you know if some of the wells to the west of
25 here -- are they newer wells or are they still dewatering

1 or -- I mean, did you take any of that into account?

2 A. I don't think they're producing.

3 MR. BRUCE: Mr. Examiner, Exhibit 1A does have
4 some of the dates the wells were drilled.

5 Q. (By Examiner Catanach) Okay. So you're saying
6 generally the wells to the west of that yellow line are not
7 producing. Do you know -- You don't know why they're not
8 producing?

9 A. The logs show poor pay quality. And I would
10 expect that they're probably noncommercial production to
11 the west.

12 Q. And you're attributing that to the presence of
13 fractures -- or to the nonpresence of fractures in that
14 area?

15 A. Yes, and that's what the micrologs indicate.

16 Q. And did you bring any of that evidence, Mr.
17 Salzman?

18 A. We don't have it as an exhibit, but I have the
19 micrologs and we can submit those later.

20 MR. BRUCE: I don't know what presentable form
21 they're in, but --

22 EXAMINER CATANACH: I was thinking maybe if you
23 could summarize something from the -- you don't have to
24 submit -- I don't know what form that data is in, but if
25 you want to --

1 MR. BRUCE: It wasn't on a cross-section form, so
2 it's -- There are some individual logs, I believe --

3 THE WITNESS: Yes.

4 MR. BRUCE: -- Mr. Salzman?

5 MR. OWEN: I suggest it would be appropriate to
6 prepare a cross-section and present it at the next Examiner
7 Hearing.

8 MR. BRUCE: I disagree. I mean, Mr. Salzman can
9 perhaps get a couple logs and we can show those. I don't
10 think there's any requirement for a cross-section to be
11 presented.

12 EXAMINER CATANACH: Let's do that. I think if
13 you've got those present with you, let's --

14 MR. BRUCE: Okay.

15 EXAMINER CATANACH: -- get it out and we can deal
16 with it now.

17 MR. OWEN: Mr. Examiner, I'm not clear that that
18 additional exhibit which Mr. Bruce handed to you and I
19 looked at was offered into evidence or not.

20 EXAMINER CATANACH: I don't believe it was.

21 MR. BRUCE: It wasn't.

22 EXAMINER CATANACH: Mr. Bruce, can we --
23 subsequent to this hearing, can we get some additional
24 copies of this and --

25 MR. BRUCE: Oh, sure.

1 EXAMINER CATANACH: -- and enter them as
2 exhibits? Is that what you prefer to do?

3 MR. BRUCE: Why don't I mark that? Mr. Examiner,
4 I would mark it Exhibit 4 and tender it into evidence, and
5 I'll pick it up after the hearing and have copies made for
6 everyone.

7 EXAMINER CATANACH: Any objection, Mr. Owen?

8 MR. OWEN: Not as long as this exhibit was
9 prepared by or under the direction and supervision of this
10 particular witness.

11 Q. (By Examiner Catanach) Is that the case, Mr.
12 Salzman?

13 A. Yes.

14 EXAMINER CATANACH: Okay, Exhibit 4 will be
15 admitted as evidence.

16 MR. OWEN: Mr. Examiner, I'm not quite sure where
17 we are. Are we waiting for additional testimony from this
18 witness?

19 EXAMINER CATANACH: Right. I understand they
20 have some of their logs here. They're going to present
21 some --

22 MR. OWEN: Okay.

23 EXAMINER CATANACH: -- so we can cross-examine.

24 MR. OWEN: Do you mind if my witness takes a look
25 at this additional exhibit?

1 (Off the record)

2 MR. BRUCE: Mr. Examiner, the witnesses might
3 have to congregate around your table, unless the Division
4 -- Will a copy machine handle some that size?

5 EXAMINER CATANACH: I don't believe it will,
6 although I'm not sure. I don't think so.

7 MR. BRUCE: I guess I have to go back to Kinko's.
8 Mr. Examiner, maybe it would be easier if we come in front
9 of your table and Mr. Salzman can show what we have here,
10 and Mr. Owen and Mr. Roe could come up also.

11 MR. OWEN: I think that would be easier for now.
12 I'd rather not delay the hearing.

13 MR. BRUCE: Mr. Examiner, I've handed you what's
14 been marked Texakoma Exhibits 5 and 6, and I'll ask Mr.
15 Salzman a few questions.

16 REDIRECT EXAMINATION

17 BY MR. BRUCE:

18 Q. Mr. Salzman, Exhibit 5, is that the --

19 A. This is the Maralex well, just to the south of
20 our proposed location.

21 A. In Section -- the northeast quarter of 21?

22 A. 21.

23 Q. And then Exhibit 6 is the well in the northeast
24 quarter of Section --

25 A. -- Section 22. Or Section 20, I'm sorry.

1 Q. Section 20.

2 A. Yes, sir.

3 Q. And could you just briefly itemize this log?

4 A. Yeah, what we're showing here is the microlog,
5 which is a representation of the permeability. Let's just
6 switch these around so we're going west. And as you can
7 see, going in this direction -- and this is right here at
8 the -- you know, at the place that we're talking about,
9 you've got your better permeability here --

10 Q. In the Maralex?

11 A. -- in the Maralex well. As you go into Section
12 20, that coal -- the thickness is basically the same, 22
13 versus 27 feet, but your permeability is basically
14 decreasing in that direction.

15 This well presently makes 227 MCF a day --

16 Q. The Section 21 well.

17 A. -- and the Section 20 well makes about 70 MCF a
18 day.

19 And you know, this is a representation of water.
20 And basically coal thickness is -- you know, it's the same
21 in both of these wells, but it's just the development in
22 that microfracture system that dictates that productive
23 capacity.

24 Q. Were Exhibits 5 and 6 compiled from company
25 business records?

1 A. Yes, sir.

2 MR. BRUCE: Mr. Examiner, I'd move the admission
3 of Exhibits 5 and 6.

4 EXAMINER CATANACH: Mr. Owen, any objection?

5 MR. OWEN: No objection.

6 EXAMINER CATANACH: Exhibits 5 and 6 will be
7 admitted as evidence.

8 MR. OWEN: Mr. Bruce, are you done?

9 MR. BRUCE: Go ahead.

10 EXAMINER CATANACH: I was going to ask you, Mr.
11 Owen, if you want some time to cross-examine on the basis
12 of these exhibits?

13 MR. OWEN: On these particular exhibits, yes, I
14 would appreciate that time, Mr. Examiner.

15 EXAMINER CATANACH: All right.

16 RECROSS-EXAMINATION

17 BY MR. OWEN:

18 Q. All right, Mr. Salzman, are micrologs typically
19 run on Fruitland Coal wells in this area?

20 A. Texakoma runs a microlog on every well we drill,
21 yes.

22 Q. How many wells do you have?

23 A. Over 50 in the San Juan Basin at this point.

24 Q. How many do you have, say, in the 36 sections
25 around this particular well location?

1 A. We have the Black Hills Number 1, which is in
2 Township 25 North, about six miles to the south.

3 Q. How many wells do you have on Exhibit Number 1?

4 A. There's none.

5 Q. You don't have any wells at all on Exhibit Number
6 1?

7 A. No.

8 Q. Do you know if other operators in the area run
9 micrologs?

10 A. Maralex does, yes.

11 Q. Do you know about any others?

12 A. No. No, I'm not familiar with their practices.

13 Q. Okay. Are you aware of any micrologs for any
14 other wells represented on Exhibit Number 1?

15 A. No.

16 Q. Do you know what stimulation efforts have been
17 made on that well in Section 22?

18 MR. ROE: Section 20.

19 Q. (By Mr. Owen) In Section 20, pardon me.

20 A. No, I don't.

21 Q. Who's the operator of that well?

22 A. In Section 20 there's two wells. Which well?

23 Q. The well that's represented on one of those logs
24 that you sponsored in the northwest -- the northeast
25 quarter.

1 A. That's a Maralex well, I believe, in the
2 northwest, or --

3 Q. Is that an SG well?

4 A. I'm not sure.

5 Q. Okay.

6 A. It's on the heading there.

7 Q. Okay. What stimulation does Texakoma plan to run
8 in this proposed well?

9 A. If we get the -- you know, 26 feet of coal, we'll
10 probably run a cross-linked gel system with, you know,
11 upwards of 150,000 pounds of 20-40 sand. We'll use a sand-
12 wedge chemical because of the low bottomhole pressures, a
13 sand-wedge or equivalent, depending on what company pumps
14 it, that tends to make your sand stick together.

15 We've found that the cross-linked gel jobs have
16 given us the best productive potential and the best frac
17 jobs on them.

18 Q. What's the purpose of this particular stimulation
19 procedure?

20 A. The purpose?

21 Q. Yeah.

22 A. It's to increase the natural permeability.

23 Q. And were these micrologs taken before or after
24 stimulation, do you know?

25 A. Those are open-hole logs that were taken before.

1 Q. They were taken before?

2 A. Yes.

3 Q. Do you know what effect the stimulation had on
4 any of the wells that are represented on Exhibit Number 1?

5 A. Any stimulation will increase their productive
6 capacity, and I would expect that all these Fruitland Coal
7 wells have been stimulated as far as a hydraulic frac job.

8 Q. Do you know if the natural permeability of the
9 formation increases or decreases as you trend west on the
10 map represented on Exhibit Number 1?

11 A. As we trend west the permeability decreases.

12 Q. And that's based on these two micrologs that you
13 presented today; is that correct?

14 A. That is a representation. I've looked at more
15 and don't have them with me.

16 Q. You have more micrologs in this area?

17 A. I don't have them personally. They're in Dallas
18 at Texakoma's office, yes.

19 Q. What operators performed those -- drilled the
20 wells that those micrologs are associated with?

21 A. I'm not sure.

22 Q. You don't have anything today to show the
23 Examiner that the permeability generally decreases as you
24 trend westward, do you?

25 A. Other than those two, no.

1 Q. Other than those two? You don't know what effect
2 any stimulation on the well in Section 20 had, do you?

3 A. The effect would be to increase the production,
4 yes.

5 Q. You don't know how much it increased that
6 production, do you?

7 A. Basically, that well, as an unstimulated well,
8 will be nonproductive. So in Section 20 I would say that
9 the stimulation would have given it a 250-, 3-MCF-a-day
10 increase.

11 Q. And you don't know whether the operator considers
12 that an adequate or an inadequate stimulation, do you?

13 A. No, I don't because all operators are different
14 as far as what's adequate and what's not.

15 Q. And you don't know if that operator has plans to
16 re-stimulate the well, do you?

17 A. No.

18 Q. By what factor does the permeability decrease
19 from the southeast quarter of Section 16 to the southwest
20 quarter of Section 16?

21 A. Well, if your microlog deflections are an
22 indication of permeability in a direct linear relationship,
23 it would be about three times.

24 Q. And so as we trend eastward from there, we would
25 expect every half section to show a factor-of-three

1 increase in permeability and a corresponding increase in
2 productivity in wells?

3 A. No, I couldn't say that. I mean, in the general
4 area that we're looking at, not to project that one or two
5 or three sections, I couldn't do that.

6 Q. Well, you're projecting this about six sections
7 on production, right?

8 A. No, I'm --

9 Q. On Exhibit --

10 A. -- I'm projecting the microlog representation
11 about 4500 feet.

12 Q. You're projecting the good well/bad well
13 definition across about six sections here, aren't you?

14 A. But that is based on production, not the
15 micrologs.

16 Q. But you're saying that the increase in production
17 is due to increased permeability, right?

18 A. Yes.

19 Q. And the only evidence you have of increased
20 permeability is these two micrologs, right?

21 A. Yes, that we're going to submit.

22 Q. And you don't know if permeability actually
23 generally increases as you trend eastward, do you?

24 A. No.

25 MR. OWEN: Okay, that's all I have.

EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Salzman, in Section 16 you really don't have a lot of data points to the west of your proposed location. Is it possible that that yellow line could extend further westward from there?

A. Yes, it could.

Q. You just don't know at this point?

A. No.

Q. So the southwest quarter actually may be right at that line or on the other side?

A. It could be, but based on -- you know, based on the logs to the south of it -- it's the two closest logs that I have -- you would expect that that would -- that production in the southwest quarter would be less.

Q. Okay. Have you been involved, Mr. Salzman, with the discussions in the San Juan Basin on the infill drilling --

A. Yes.

Q. -- in the Fruitland Coal?

I don't know what's going to happen with that case, but do you have an speculation on what will ultimately happen with the infill case? I mean, is there a lot of support by the operators for infill drilling?

A. Oh, yes, especially -- and it applies to this

1 case also -- especially in the areas where we don't --
2 we're out of the fracture fairway and out of the
3 overpressured zone, in the areas of poorer quality coal.

4 320 -- We're not draining 320, and I think that's
5 an accepted fact by the work that Amoco and Burlington and
6 everybody has done.

7 To bolster that theory, you know, going back --
8 that's why I brought the Steward Com deal up. You know,
9 that really helped us out de-watering that areally with a
10 denser well spacing. So you know, in that case, it didn't
11 not only hurt us, it helped us. And this well here could,
12 if economically productive, help both the wells in Section
13 15 and 21.

14 Q. So this well is out of the fairway, what's
15 normally --

16 A. Definitely.

17 Q. It would be --

18 A. This is relatively poor quality coal.

19 EXAMINER CATANACH: Okay, I think that's all we
20 have.

21 Anything else of this witness?

22 MR. OWEN: No.

23 MR. BRUCE: I don't think I have anything
24 further.

25 EXAMINER CATANACH: Okay.

1 MR. OWEN: Mr. Examiner, I call Mr. John roe.

2 JOHN D. ROE, JR.,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. OWEN:

7 Q. Please tell us your full name.

8 A. My name is John Dale Roe, Jr.

9 Q. Where do you live?

10 A. I live in Farmington, New Mexico.

11 Q. Who do you work for?

12 A. I am the engineering manager for Dugan Production
13 Corp.

14 Q. What do you do for Dugan?

15 A. I do many things, but primarily the regulatory
16 issues. My official title is engineering manager.

17 Permitting, designing of equipment and casing -- any of our
18 operations that require engineering input. I'm one of five
19 petroleum engineers at Dugan Production, so I don't do it
20 all, but I direct the engineering effort.

21 Q. Have you previously testified before this
22 Division?

23 A. Yes, I have.

24 Q. At the time of that testimony, were your
25 credentials as a petroleum engineer accepted and made a

1 matter of record?

2 A. Yes, they were.

3 Q. Are you familiar with the Application filed in
4 this case?

5 A. Yes, I am.

6 Q. Were you present during the testimony of Mr. Brad
7 Salzman?

8 A. Yes.

9 Q. Are you familiar with the status of the lands in
10 this subject area?

11 A. Yes, I am.

12 Q. Are you familiar with the characteristics of the
13 coal gas strata into which Texakoma proposes to drill a
14 well?

15 A. Yes, I am.

16 Q. Have you been involved in the operation of any
17 coal gas wells in the area?

18 A. Yes, I have.

19 Q. Why don't you summarize that involvement, please?

20 A. Okay, Dugan Production, in the area that we're
21 talking about, which is basically most of Section 26 North,
22 13 west -- it would not include the first row of sections
23 in that township and range, but it would include the
24 balance of the sections -- within that area Dugan
25 Production has got -- we've drilled 12 -- or 15 wells and

1 we have one location, all Fruitland Coal wells.

2 Q. And have you personally been involved in the
3 engineering aspects of those wells?

4 A. Yes, I have.

5 Q. Have you been involved in the engineering aspects
6 of other Fruitland Coal wells in the San Juan Basin?

7 A. Yes.

8 MR. OWEN: Mr. Examiner, I'd tender Mr. Roe as an
9 expert witness in petroleum engineering.

10 EXAMINER CATANACH: Mr. Roe is so qualified.

11 Q. (By Mr. Owen) Mr. Roe, can you briefly tell me
12 why Dugan has protested Texakoma's Application in this
13 case?

14 A. Just a bottom-line summary is, I agree with Mr.
15 Salzman's assessment that a well in the southeast quarter
16 of Section 16 would accelerate the production activity in
17 the Fruitland Coal Reservoir. And Dugan Production's
18 primary objection to that at this time is, that is being
19 done with an exception to existing pool rules which would
20 -- do prohibit a well in the southeast quarter of Section
21 16 without an exception to the pool rules.

22 And the primary reason for my -- Dugan
23 Production's objection is, Dugan Production has the
24 leasehold interest comprising the north half of Section 22.
25 We have staked an approved APD to drill a well in the

1 northeast quarter of Section 22, and if Texakoma is allowed
2 to drill a well in the southeast quarter of Section 16 I
3 firmly believe that Dugan is going to be in a position that
4 will almost immediately need to drill a protective well in
5 the northwest quarter of Section 22.

6 For us that potentially could be a second well if
7 we've already drilled our Paul Revere Number 93. Until the
8 pool rules are amended, it would require -- I'm sure
9 Dugan's process would be just like Texakoma: We would
10 initially ask for an administrative approval for an off-
11 pattern infill well. But if there was any reason that a
12 hearing was required, we would be here again dealing with
13 an off-pattern location, and this time a second well in a
14 320-acre standard proration unit.

15 We are not opposed to infill drilling, we
16 strongly support that. We've been an advocate of 160-acre
17 spacing since pool rules were initially discussed for the
18 Fruitland Coal. Dugan Production participated in the
19 initial pool rules hearing as strong advocates for 160-acre
20 spacing, particularly in this area, because as Mr. Salzman
21 testified, this is not one of the better areas, it's not
22 the Fruitland Coal that you hear a lot of talk about. We
23 firmly believe 160 acres is the appropriate spacing for
24 this area.

25 But currently the spacing is not 160. Spacing is

1 320, and the pool rules require northeast southwest.

2 Q. Is Texakoma's proposed well an infill well?

3 A. No, this will be the initial well on their
4 spacing unit.

5 Q. All right. Let's go ahead and turn to Dugan
6 Exhibit Number 1. Can you explain that exhibit, please?

7 A. Okay. Well, what I presented is Exhibit 1, and I
8 might mention that I prepared all of these exhibits, but
9 the exhibits reflect input from Maralex and SG. So
10 basically all of the information on here is not necessarily
11 Dugan, it's information I've compiled from a joint effort
12 with the engineering managers of all three companies.

13 Exhibit 1 is nothing more than a color copy of
14 what was included in Texakoma's original request for
15 administrative application dated April 30th. I've taken
16 that map and added some information to it. First, I
17 outlined in blue Dugan Production's leasehold interest.
18 And within these 30 sections, Dugan Production has
19 approximately 6300 acres of leasehold interest. And as
20 I've already indicated, we have to date drilled 15 wells
21 and have an approved APD to drill Well Number 16.

22 Outlined in green is a similar presentation of
23 leasehold interests currently held by Maralex or SG, or
24 jointly by the two companies. In most of the wells there's
25 a shared interest in the wells by SG and Maralex.

1 Q. Now, it looks like Section 16 is outlined in
2 green, but that's not held by either SG or Maralex, is it?

3 A. No, that is correct. It's my understanding
4 Section 16 is owned by Texakoma, and the reason it looks
5 that way is, that's just one of the boundaries for the
6 Maralex acreage or Dugan acreage that also borders Section
7 16.

8 Q. What's the pink line?

9 A. Okay, the pink line would be just nothing more
10 than me tracing a line from the northeast quarter of
11 Section 9 to the southwest quarter of Section 21, which was
12 described as a line that would define the western edge of
13 economic productivity. This is described by Texakoma in
14 their request for administrative for an off-pattern
15 location.

16 Q. Is that set forth in Dugan's Exhibit Number 2,
17 that statement?

18 A. Yes, our Exhibit Number 2 is nothing more than
19 just a copy of their April 30th letter, and in the third
20 paragraph there they describe the basis for me drawing that
21 line. And --

22 Q. Can you read that basis for the Examiner, please,
23 so he can find it?

24 A. Okay, the paragraph that starts with "Exhibit
25 A..." and starting the second sentence down, they're

1 talking about there being "...seven wells outside and to
2 the west of a production trend line running from the
3 northeast corner of Section 9 to the southwest corner of
4 Section 21 are not..." -- he's talking seven wells; four of
5 them are not producing, and there's three that are
6 producing 100 MCF a day or less where thereby this defines
7 "...the west edge of economic production in the Fruitland
8 Coal in this area."

9 Q. Is it your understanding that at the time
10 Texakoma made its administrative application in this case,
11 that that was its basis for its request for this off-
12 pattern well?

13 A. Yes.

14 Q. All right. Did you draw this pink line on
15 Exhibit Number 1?

16 A. Yes, I did.

17 Q. Exhibit Number 1 has a Texakoma header on it.
18 Why is that?

19 A. Well, again, it was their map that was used as
20 Exhibit A in their April 30th application, and rather than
21 generate an additional map to try to tell -- provide some
22 explanation on some of the wells on the map, I didn't get
23 permission from Texakoma, but I took the liberty to copy
24 their map, because it is a map that I want to have some
25 further discussion about.

1 Q. All right, based on your knowledge and expertise
2 and your review of the data in this case, is it your
3 opinion that that pink line that Texakoma indicates that
4 represents the western edge of economic production, in fact
5 represents the western edge of economic production?

6 A. No, I do not share that opinion.

7 Q. Why not?

8 A. Well, I think it's based on some data that is not
9 current or should not be used to draw those conclusions.
10 There are wells to the west of that lone that have been
11 used as evidence of nonproductivity by virtue of them being
12 shut in or low rate, and I have information on all seven of
13 those wells that tells me that there's explanations for
14 their either being shut in or low rate, other than that the
15 wells are producing as good as the can from the Fruitland
16 Coal. In no case is that what I believe to be the
17 circumstance.

18 Q. All right, keeping Exhibit Number 1 in front of
19 you, why don't you turn to Exhibit Number 3 and explain
20 that exhibit for me?

21 A. Okay, Exhibit Number 3 is nothing more than --
22 I've taken the 34 wells, Fruitland Coal wells, and again
23 these are all just Fruitland Coal completions. If you look
24 at the map presented by Texakoma, there are lots of
25 wellbores on that, but this is also right in the heart of

1 the West Bisti-Lower Gallup Unit, which Dugan Production
2 also operates, and so a lot of the wellbores on this map
3 that I'm presenting as Exhibit 1 are Fruitland Coal wells.
4 And so on Dugan's Exhibit 3, we're just looking at
5 Fruitland Coal wells.

6 I've kind of divided the wells into two groups,
7 one that would be what I call the immediate area of
8 interest, and those are at the top part of the tabulation.
9 And that would be basically a summary of the 12 wells that
10 are either within Section 16 or sections adjacent to
11 Section 16. So a total of nine sections are presented in
12 the upper part.

13 And what I showed on this is a listing of the
14 date that these wells were completed and the date that the
15 wells first produced into a pipeline. And as you've
16 already heard, this is an area that many wells -- there's
17 long times between completion date and first production.
18 And as a rule, it's typically a result of getting pipeline
19 right of ways across the surface that pretty much is
20 controlled by the -- This is right in the heart of the
21 Navajo Indian Irrigation Project. And even though in
22 Texakoma's case they're dealing with state minerals, most
23 of Dugan's acreage is federal minerals. The surface has
24 been severed, and any time that happens you always have a
25 problem with the surface owner in getting pipeline right of

1 ways.

2 Q. All right. Now, how many -- In the wells that
3 are in the upper part of this Exhibit Number 3, how many of
4 those wells are to the west of this pink line on Exhibit
5 Number 1?

6 A. Of the wells listed, there's six wells that are
7 to the west. There's an additional well, the seventh well
8 that Texakoma talks about, that I didn't include in my
9 tabulation.

10 Q. Is that illustrated on the map on Exhibit Number
11 1, that seventh well you just --

12 A. Yes, it's on Exhibit 1, and the reason I didn't
13 include it is, that well has been plugged.

14 Q. Okay, how about to the east?

15 A. Okay, to the east there would be six wells also
16 in the upper portion of the tabulation.

17 Q. Okay, of the six wells that are on your
18 tabulation here that are to the west of that pink line, how
19 many of those are producing wells?

20 A. There's four of them that are producing.

21 Q. And of the two that are not producing, why aren't
22 they producing?

23 A. They're not producing, one of them, because it is
24 yet to be completed. They've had it completed -- or
25 they've had it drilled for several years, and they're not

1 going to pursue completion until they obtain a pipeline
2 right of way.

3 Q. All right, which well is that?

4 A. That would be the well in Section 18, the
5 northeast quarter of Section 18.

6 Q. Who's the operator there?

7 A. That would be Maralex.

8 Q. Okay. What about the other well that's not
9 producing?

10 A. Okay, the other well that's not producing would
11 be the northeast quarter of Section 17. It shows to be
12 shut in, and that well is operated by SG Interest. They
13 have plans to re-work the well and re-stimulate the well.
14 They aren't comfortable with the stimulation that was done
15 before. They firmly believe there was damage done as a
16 result of the frac job, and they have plans to re-stimulate
17 the well.

18 Q. Is the reason that well isn't producing right now
19 because of the reservoir's inherent lack of permeability
20 right there?

21 A. We don't believe that. Again, I don't know that
22 there was a microlog recorded on that well, but I'm not an
23 advocate of using micrologs to determine permeability in
24 the Fruitland Coal, so...

25 Q. Why not?

1 A. The Fruitland Coal is -- the microlog is looking
2 at basically exactly what you have at your wellbore. It's
3 a very shallow investigation tool, and it is a very good
4 tool if you're dealing with a formation that can build a
5 filter cake and you have a real shallow depth of
6 investigation.

7 Dugan Production typically does not run micrologs
8 because it's a very expensive piece of information that may
9 or may not tell you much. That's one of the reasons it's
10 so important to stimulate the Fruitland Coal, because a lot
11 of times the permeability you're trying to develop may not
12 be right at the wellbore that it's close to or away from.
13 That's why very few Fruitland Coal wells will produce
14 without some sort of an initial stimulation.

15 Q. All right. Now, you indicated that there's
16 another well on the map, which is Dugan's Exhibit Number 1,
17 that is now represented on Exhibit Number 3, that is
18 plugged, right?

19 A. Right, that would a well in the -- It's operated
20 by SG, it's in the southwest quarter of Section 20.

21 Q. And why is that well plugged?

22 A. Well, basically that well was drilled, it was
23 left idle for eight years, they've -- SG was in a position,
24 they were ready to connect the well up, they went to the
25 well to do the completion work, anxious that --

1 anticipating a reasonable Fruitland Coal completion for
2 this area. They were doing their completion efforts and
3 they discovered that the casing was deteriorated badly as a
4 result of corrosion, a corrosion problem that typically
5 doesn't exist in this area.

6 That well has been plugged, and SG has full plans
7 to re-drill and establish a commercial completion at that
8 location.

9 Q. Why was it idle for eight years before they tried
10 to go back in and complete it?

11 A. It was one of these wells that they were having
12 trouble getting pipeline connection to.

13 Q. Is the reason that well hasn't produced the
14 formation's inherent lack of permeability?

15 A. No, this particular well never was even
16 perforated or stimulated. Like I say, by the time they
17 went out to do the completion work, the wellbore was in
18 such bad shape that the consensus was it should be plugged
19 and redrilled.

20 Q. All right. On the top of Dugan's Exhibit Number
21 1 it states that it's -- indicates production data through
22 11-30-01; is that right?

23 A. Yes.

24 Q. And then on the map itself, in Section 8 it shows
25 a Maralex well that is indicated as never produced; is that

1 right?

2 A. That's correct.

3 Q. Is that data current? Is that currently correct?

4 A. No, that's not correct. No, that is data that
5 would make me suspicious that there was a good Fruitland
6 Coal completion possible there, because, one, you see 37
7 barrels a day of water, which definitely would be a measure
8 of being some permeability in the formation. And contrary
9 to a lot of Fruitland Coal wells, it did have some gas
10 early in the life. So I would be excited about that being
11 a potentially good Fruitland Coal well.

12 Q. All right.

13 A. That well was placed on production in January.

14 Q. Okay. Now, to the west of that pink line on
15 Dugan Exhibit Number 1, how many wells that are represented
16 on the top part of Dugan Exhibit Number 3 are producing
17 wells?

18 A. Eight.

19 Q. Are there eight that are producing?

20 A. Yeah, eight that currently have production.

21 Q. Okay.

22 A. Dugan Production has two wells that we're still
23 waiting on pipeline right of way, have been, one of them,
24 for up -- so far, 97 months.

25 Q. Is that the Dugan well in Section 15?

1 A. The 97 months is the -- Yeah, that's the Paul
2 Revere Number 92, which is in the southwest quarter.

3 Q. Of Section 15?

4 A. Yeah. And in fact, Dugan Production is putting
5 together a gas-gathering system. We're going to deliver
6 that to our own gathering system.

7 Q. Okay. Now, Exhibit Number 4 is a series of well
8 logs; is that right?

9 A. Yes, it is.

10 Q. And you heard Mr. Salzman indicate that the coal
11 thickness is actually fairly uniform throughout the area of
12 review; is that right?

13 A. Yes, and that would be -- our information would
14 agree with that, yeah.

15 Q. The information that's contained in Exhibit
16 Number 4 is consistent with Mr. Salzman's conclusion that
17 the core thickness is relatively consistent; is that right?

18 A. Yes.

19 Q. Okay. Based on your knowledge and experience and
20 your examination of the data in this case, do you have any
21 opinion as to whether the Fruitland Coal formation would be
22 productive if a well was drilled in the southwest quarter
23 of Section 16?

24 A. In my opinion, the southwest quarter offers at
25 least as good a location with respect to reservoir quality

1 as the southeast.

2 Q. Okay.

3 A. In other words, I have no information to tell me
4 the southeast is better, other than you're drilling closer
5 to wells that have the good luck to have obtained a
6 pipeline connection and be on production.

7 Q. All right. And what do you base that opinion on?

8 A. Well, right now we feel that the coal thickness
9 in this whole area is fairly uniform. We for sure don't
10 have much production information to the west of this line.
11 But the reason we don't isn't because the wells can't
12 produce. Of course, we'll only know that after we get the
13 wells on production and see some production.

14 But for instance, the well in the northeast
15 quarter of Section 8 that Texakoma showed as having never
16 produced, it was placed on production in January of this
17 year. It came on at an initial rate of 7 MCF a day and
18 within three months it was all the way up to 13 MCF a day.

19 So those numbers aren't very exciting, unless you
20 work for a company like Dugan Production, but the important
21 point here is, the water production is high and is dropping
22 with cumulative, and gas production started out low and is
23 on an incline, as is very typical of the Fruitland Coal, as
24 dewatering and desorption -- as dewatering increases and
25 desorption starts.

1 Q. Looking back at Dugan Exhibit Number 3, you said
2 there were three wells that were to the west of this pink
3 line on Exhibit Number 1 that are actually producing; is
4 that right?

5 A. Yes.

6 Q. Does the production information from those wells
7 tell you anything about the permeability of the reservoir
8 in that area?

9 A. Well, of course we have production because there
10 is permeability, and of course the higher the production
11 the better the permeability. Or the -- less other issues,
12 such as formation damage resulting from the initial
13 stimulation. And that is the case, or at least the
14 opinion, of the SG people. In at least one of their wells
15 they feel that the initial stimulation actually created
16 damage, and so they have full plans to restimulate and hope
17 to improve production.

18 Q. Do you have an opinion as to whether the
19 Fruitland Coal formation is less permeable to the west of
20 this pink line on Exhibit Number 1 than it is to the east
21 of that pink line?

22 A. Right now my instincts tell me that it isn't
23 decreasing as we go west, but I don't have a lot of
24 information to tell me whether it is or isn't. But I do
25 know the existence of low-rate and nonproducing wells to

1 the west is not information that should be used to come to
2 that conclusion.

3 Q. Okay, and is your instinct that the permeability
4 is not less to the west based on your experience drilling
5 Fruitland Coal wells in this area?

6 A. Yes.

7 Q. And does that also apply to the yellow line that
8 is represented on Texakoma's Exhibit Number 1? Let me show
9 you that exhibit. Remember that the Texakoma witness
10 indicated that the wells to the west of that line had a
11 lower chance of production, commercial production.

12 A. Well, I remember him saying that. But I think
13 this map is presenting cumulative production. And I also,
14 if I didn't know anything else about those wells, would
15 say, yes, this is an area that is either brand-new, hasn't
16 had time to develop a cumulative, or something's happened
17 that we just don't have a cumulative. So the data should
18 not be used to jump to the conclusion that you have low
19 permeability.

20 Q. Did you hear Mr. Salzman's testimony about his
21 construction of -- or why he placed those line where he did
22 and the production rate extended over a five-year period?

23 A. Yeah, I did. I think there's some risk of
24 placing a value, particularly on the Fruitland Coal in that
25 manner. If you have a new Fruitland Coal well, one, you

1 don't have much cumulative.

2 And second, and probably most important, you
3 probably don't have a very good production rate. And
4 there's many, many, many examples to show that, you know,
5 Fruitland Coal wells will incline in production for as many
6 as five or six years.

7 So to pick a current production rate, no matter
8 what point in the incline or decline you are, and hold that
9 for five years, and that -- the cumulative that may be
10 small in the instance of a new well, you're forcing the
11 wells to look bad and you just calculate a bad number.

12 Q. And is the well in the northeast quarter of
13 Section 8, the Maralex well there, is that a new well?

14 A. That's a new well, and that would be a good
15 example. It basically has very little cumulative and a
16 very low rate, but the rate is improving after just three
17 months of production.

18 Q. Would you expect that to be a better rate after a
19 year of production?

20 A. If the rate continues on the trend it will be
21 much better, yes. By Dugan's standards it will be much
22 better.

23 Q. All right, and why don't you turn to Dugan
24 Exhibit Number 5, please? Can you tell me what that
25 Exhibit is?

1 A. Okay, this would be -- the top page of Exhibit
2 Number 5 would be the C-102 that was attached to our APD.

3 Second page is the APD that was submitted and --
4 Actually, it was submitted in 1998. And you can see the
5 C-102 was actually surveyed August of 1998.

6 The APD was approved by the BLM in February of
7 1999. And that's for the drilling, the Paul Revere 93, to
8 develop the Fruitland Coal with a standard-pattern well in
9 the northeast quarter of Section 22.

10 Q. All right. And if the current Application by
11 Texakoma is granted before the Fruitland Coal gas wells are
12 amended, what will Dugan need to do to protect its
13 correlative rights?

14 A. Well, we will be in a position that, one, you've
15 got a state lease in Section 16, drilling into a reservoir
16 that has been producing since August of 2000 in the well to
17 the south. So as Mr. Salzman has already said, there will
18 be some benefit from dewatering that has occurred. The
19 accelerated dewatering that will be provided by the
20 Texakoma well will benefit probably both the wells. And it
21 will probably even benefit Dugan's well in the southwest of
22 15, once we get that connected to a pipeline and producing.

23 But it also is probably going to serve as a
24 drainage of the northwest quarter of Section 22. And until
25 the Fruitland Coal well -- Fruitland Coal Pool rules are

1 amended and an order issued, Dugan is not going to be able
2 to drill a well in the northwest quarter of 22 to protect
3 that acreage, unless we go through the same process
4 Texakoma is doing here today, and Mr. Dugan would rather
5 not do that.

6 Q. All right. Are you aware of any topographical or
7 any other reason why the well in the -- why Texakoma's
8 proposed well couldn't be moved to the southwest quarter of
9 Section 16?

10 A. I have -- In fact, it appears to me, based on the
11 topography, the southwest offers at least a good a position
12 as the southeast quarter.

13 Q. And could a well -- In your opinion, could a well
14 be drilled in the southwest quarter of Section 16 which
15 would have the same chance of commercial success as
16 Texakoma's current proposed well?

17 A. You used the word "commercial". They have equal
18 chance of developing as good a well. I would agree that
19 their pipeline costs are probably going to be a little
20 higher from the southwest quarter. But for all of the
21 wells Dugan has drilled, that's never been a criteria for
22 getting an off-pattern location.

23 Q. Okay. Is Dugan opposed to infill drilling in the
24 Basin-Fruitland Coal Gas Pool?

25 A. Oh, no. In fact, our conversation with Texakoma

1 is, Gosh, we wish you guys would wait until the pool rules
2 are amended, and then we're right behind you, we'll drill
3 our wells too.

4 Q. Okay. What action would Dugan like to see the
5 Division take in this case?

6 A. One of two things. Of course, the Examiner
7 hasn't got the authority or power to get the Fruitland Coal
8 Pool rules amended, but we'd like that to happen. And once
9 that's done, then the issue that we have is no longer an
10 issue.

11 In the absence of that, we think that there
12 should not be an off-pattern location approved in the
13 southeast quarter of Section 16 until we have an equal
14 opportunity to develop our acreage. And bearing in mind,
15 if we do it in the north half of 22, it would not only be
16 an off-pattern but it probably will be a second well in the
17 spacing unit.

18 Q. All right. Let's take a look at Dugan Exhibit
19 Number 6. What is that exhibit?

20 A. Okay, this is nothing more than just a Xerox copy
21 from the Moncisco Wash topography map. It's the
22 conventional topography map that everybody uses.

23 Q. All right. Does it show Texakoma's proposed
24 well?

25 A. Well, I've added the location that they've

1 presented in the southeast quarter, and I've also outlined
2 the south-half spacing unit that would be proposed for the
3 well.

4 Q. Where does that well fall in relation to the
5 Moncisco Wash?

6 A. It looks to me like it's awful close to the Wash,
7 if it's not in the Wash, but it's fairly close to it. The
8 map actually has the Moncisco Wash label right there.

9 Q. Right in the middle of where the location is?

10 A. Well, kind of just above it a little, yeah.

11 Q. Okay. Does it appear that, based on this topo
12 map, that Texakoma could move its well to the southwest
13 quarter and have the same issues with the wash as it
14 currently has?

15 A. Again, it always looks different when you're out
16 there. But this map would certainly suggest that you
17 shouldn't have any topography problems, and you're sure not
18 going to be dealing with the Wash.

19 Now again, the washes around here aren't, in my
20 mind, the major issue. I've got to be aware that it will
21 carry water sometimes, but for the most part we deal with
22 those issues all the time.

23 MR. OWEN: Okay. That's all I have, Mr.
24 Examiner.

25 EXAMINER CATANACH: Mr. Bruce?

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BRUCE:

Q. Mr. Roe, why don't you just keep your Exhibits 1 and 3 in front of you there, please?

A. Okay.

Q. Now, let's start up to the north in Section 9, the well in the southwest quarter of Section 9. Looking at both your exhibits, I understand that that well was completed in June of 1993, did not produce until December of 2000; is that correct?

A. Yes, sir.

Q. About --

A. -- 90 months.

Q. Seven -- What, seven and a half years?

A. When I counted it up it was 90 months --

Q. Okay --

A. -- whatever that --

Q. -- was that due to difficulty in getting a pipeline connection?

A. Yes.

Q. Or, I should say, right of way?

A. It would be very important to a pipeline connection, yes.

Q. Okay. So you had difficulty dealing with -- or SG Interest or Maralex had difficulty in obtaining a right

1 of way from the Navajo Tribe?

2 A. Basically, probably more accurately, the Navajo
3 Agricultural Products Industry, but the Tribe has to go
4 through the approval process also.

5 Q. NAPI is a subsidiary of the tribe, is it not?

6 A. Yes, but they don't -- They operate completely
7 separate.

8 Q. Okay, you're basically dealing with the same
9 folks?

10 A. No, we're not. Well, let me clarify that.
11 There's two separate groups that you're dealing with. One
12 is the NAPI people, and they don't always get along with
13 the people in Window Rock.

14 Q. Okay. Is ultimate approval at Window Rock?

15 A. Yes. But it's highly contingent upon what
16 happens at NAPI.

17 Q. Okay. Now, the well in Section 8, that well was
18 drilled in March of 1990 and hooked up 12 years later?

19 A. 144 months.

20 Q. And that was due to lack of a right of way from
21 NAPI?

22 A. That's what the Maralex people are telling me,
23 yes.

24 Q. Okay, let's move on to Section 17. That well was
25 completed in April of 1997, and three and a half years

1 later it started producing, right?

2 A. That's correct.

3 Q. And again, was that pipeline-related?

4 A. It's my understanding that's the case, yes.

5 Q. Okay. Now, in -- And I missed something, I was
6 looking at something else when you were testifying. Now,
7 the well in the northeast quarter of Section 18, it has
8 never been completed; is that what you're saying? I'm
9 looking at your Exhibit 3, and --

10 A. Yes.

11 Q. -- it doesn't have a completion date.

12 A. Right, and that is correct.

13 Q. It was originally drilled but not completed,
14 what, in 1993?

15 A. Yes.

16 Q. Now, why has that well not been completed and
17 produced?

18 A. The Maralex people tell me that they have not
19 been able to get the necessary right of ways to produce the
20 well, and they've postponed completion efforts until they
21 have some comfort that they'll be able to produce the well.

22 Q. Okay. Now, in Section 20 you have one of the
23 wells on here, and maybe -- one of them, which is the
24 northeast quarter of Section 20, that well was completed in
25 August of 2000, and you were able to pretty shortly hook it

1 up; is that correct?

2 A. Yes.

3 Q. Was there a difference in obtaining the pipeline
4 right of way in that well?

5 A. You bet. This is an area that depends where your
6 well rests with respect to where NAPI has their planned --
7 If you've been up in the area, you see the little pivotal
8 irrigation systems, and if you're inside one of those
9 pivotal areas or very close to it or have to cross, you
10 have a whole different set of circumstances than if you're
11 outside of those pivot -- the farm areas.

12 Q. Okay, got you.

13 A. So, you know, there's -- you'll probably notice
14 all of the wells in the eastern part of this pink line,
15 they're the ones primarily presented in the bottom part of
16 my graph. The average time to hook those wells up is three
17 to four months.

18 Q. Okay.

19 A. As we get closer to the area we're talking about,
20 the average time easily exceeds 40 months.

21 Q. Now, there's a well in the southwest quarter of
22 Section 20. That was drilled in 1994?

23 A. Right.

24 Q. And that well has never been produced?

25 A. Yeah, that's --

- 1 Q. Is that the well that had the corrosion problems?
- 2 A. Yes, sir.
- 3 Q. Okay.
- 4 A. Yeah.
- 5 Q. So that one will never be produced?
- 6 A. That particular set of casing -- the wellbore
- 7 identified there will never produce, that is correct. But
- 8 not because of anything to do with the Fruitland Coal;
- 9 because of the mechanical condition.
- 10 Q. Now, if you have to drill a well and spend --
- 11 What do these wells cost, roughly?
- 12 A. Well, we spent a lot less drilling them than a
- 13 lot of people. It's real easy to spend \$200,000 on one of
- 14 these wells.
- 15 Q. Okay, so \$200,000, plus or minus, would be
- 16 reasonable?
- 17 A. Right.
- 18 Q. If you can't get a pipeline connection for six,
- 19 eight, ten, twelve years, does that adversely affect the
- 20 economics of drilling a well?
- 21 A. Yes, it does.
- 22 Q. One final well on this chart. In Section 15,
- 23 that well was completed in May of 1993. Why is that well
- 24 not producing?
- 25 A. Are you talking about Dugan's Paul Revere 92 in

1 the southwest quarter?

2 Q. The Number 92 well in the southwest quarter.

3 A. Initially -- Basically, it's a right-of-way
4 problem. We actually put together a small gas-gathering
5 system, submitted it to the OCD and BLM for approval. We
6 have that approved for a central-delivery gas-gathering
7 system, but believe it or not, we're needing to get all of
8 our right of ways in order to install that.

9 Q. So again, that's another nine years at this
10 point?

11 A. Actually, yeah, the Paul Revere 92 has been 97
12 months, and I'm regularly reminded that that well is not
13 producing.

14 Q. I won't ask who's reminding you.

15 A. I get a lot of pressure from that person.

16 Q. And then the Maralex well in the northeast
17 quarter of Section 25, that well should be right just --
18 almost on a pipeline, right? I mean, the same pipeline
19 that cuts through the southeast southeast of Section 16?

20 A. Now, Mr. Bruce, I'm not sure. Which well are you
21 talking about?

22 Q. The Maralex well in the northeast quarter of
23 Section 21.

24 A. Yeah, El Paso actually has a wellhead connection
25 to that well, I believe, and that would be probably the El

1 Paso line that Texakoma would be hoping to connect with.

2 Q. Okay. Now, you do agree that the dewatering
3 benefits generally everyone in the area?

4 A. Oh, yeah. In fact, that's a big interest for
5 amending the Fruitland Coal Pool Rules.

6 Q. And will Dugan Production Corp. be at the July
7 9th hearing voicing its support in favor of infill drilling
8 in the Fruitland Coal?

9 A. You bet.

10 Q. Mr. Roe, I think your testimony was something to
11 the effect that your instincts tell you that the
12 permeability isn't decreasing as you move west, say, from
13 your Section 15. You don't have any data to present today
14 to counter the micrologs that Texakoma presented, do you?

15 A. Well, other than, say for instance, the
16 production from the Rick Wells Number 1 in the northeast
17 quarter of Section 8. It again is dated, it tells me
18 there's probably a pretty decent Fruitland Coal well
19 wanting to be there, based on production that we have seen
20 since January.

21 Even the tests presented on Texakoma's map tells
22 me that it's probably a pretty decent place in the
23 reservoir.

24 But no, I don't --

25 MR. BRUCE: That's all I have, Mr. Examiner.

EXAMINATION

BY EXAMINER CATANACH:

Q. Okay, Mr. Roe, I take it that you don't agree with my decision that I issued back in 1988 to allow 160-acre spacing in this area?

A. Well, as you may recall --

Q. I think --

A. -- there was some discussion --

Q. -- involved in every case.

A. -- there was some discussion that -- you know, 320-acre may have been appropriate for part of the Fruitland Coal, and that's one of our concerns right now, is, that issue still is a hurdle. And if there's going to be anything that delays an order for the Fruitland Coal Pool Rule Amendments, it could well be what you do with the area between the high-perm area and the low-perm area. And there is not a consensus as to how to handle that right now.

If that issue didn't exist, and I think Dugan would expect a fairly rapid order amending the pool rules, we'd be happy to see 160-acre development. I mean, we're happy, we just hope that it happens sooner than later. But we know how things go when you've got BP and Burlington fighting about how we're going to deal with adjacent areas.

Q. Okay. Mr. Roe, are you familiar with the south

1 half of Section 16 with regards to the location of any
2 irrigation projects in that half section?

3 A. Yes, I am.

4 Q. Are there any present in that half section?

5 A. I'm glad you asked that. We have, and would be
6 happy to enter as an exhibit, a copy of NAPI's current farm
7 map, and on that map I've spotted Texakoma's well.

8 MR. OWEN: Excuse me, let me interrupt. I'd like
9 to mark this as Dugan Exhibit Number -- 7, I believe we're
10 on.

11 THE WITNESS: Yes, 7.

12 MR. OWEN: If you could all make appropriate
13 marks. And I'll offer it into evidence.

14 MR. BRUCE: No objection.

15 EXAMINER CATANACH: Okay, Exhibit Number 7 will
16 be admitted.

17 THE WITNESS: And Mr. Catanach, what's presented
18 here, the circular areas would be their planned irrigation
19 plots. Just as -- It shows where their farm is, it shows
20 where their canal is. You know, and it really doesn't show
21 anything in the southwest quarter of Section 16 that would
22 be indication...

23 In fact, the cross-hatched area is NAPI's way of
24 telling us that they have no plans to farm that area. They
25 call it a deleted area. Typically they delete it either

1 for topographical reasons or some other reason. From our
2 topo map we don't see topography as being a reason, but you
3 can see the cross-hatched area in the southwest. At least
4 at the time they prepared this map, there weren't any plans
5 to farm in the southwest quarter, and the only farm field
6 would be kind of there centering the south line of the
7 Section 16.

8 Now, I might add, you know, the well there in
9 Section 22, you can see I've got there in the northwest
10 quarter that 93. That's one of the reasons we haven't
11 drilled that well yet, is, it's -- We've got actually four
12 fields that we're going to have to deal with on that well
13 and the associated production facilities. And so, you
14 know, we just delayed drilling until we can be ready to
15 produce it.

16 Q. (By Examiner Catanach) So according to this map,
17 you don't see a problem with connecting to a pipeline from
18 the southwest quarter of Section 16?

19 A. Well, I agree with Mr. Salzman, it's going to
20 cost more money. I mean, it's going to be further away.
21 But no, there's no problem other than somebody's going to
22 have to pay a little more for a longer pipeline.

23 Q. And you don't think it would be delayed for a
24 considerable amount of time?

25 A. I didn't mean to say that. It's certainly

1 possible, but Mr. Catanach, that's never been a reason for
2 asking for an exception of the pool rules. I mean, gosh,
3 if that should be a factor, I mean, I'd be before you with
4 almost every well Dugan drills.

5 Q. Well, I guess my question is, if you drill a well
6 in the southwest quarter of Section 16, I mean, are we
7 looking at the three to four months, or are we looking at
8 the eight to nine years? I mean, which category would it
9 fall into?

10 A. You'll probably have some time, because you've
11 got a farm field you're going to have to cross, so there
12 will be a longer time for right of way.

13 But I might counter that. If the Fruitland Coal
14 Pool Rules are amended, ultimately you're going to be
15 drilling in the southwest of 16 anyway. I mean, it's not
16 that it's not going to happen ever. So the issue is, when
17 are you going to drill it?

18 I would speculate if 160-acre development happens
19 around the southwest quarter of Section 15, Texakoma should
20 be in there developing that, just like everybody else.

21 Q. Okay. If we approve the well in the southeast
22 quarter, say, within 60 days, and within say 90 to 100 days
23 we approve infill drilling in the coal, does it really
24 affect your correlative rights in Section 22 for maybe a
25 two-month period until you're allowed to drill?

1 A. No. And if you could give us some assurance that
2 that schedule was realistic, this wouldn't be an issue.

3 Again, we started this whole thing out by asking
4 Texakoma to put this off till after the hearing, and then
5 it's no longer an issue. I'm not sure I see anything
6 forcing the urgency of drilling this well in the southeast
7 quarter right now, because there is not an expiring lease,
8 there's not any economic harm coming if nothing is -- if
9 there isn't a well drilled. I would agree a well in the
10 southeast quarter is going to be easier to connect to a
11 pipeline.

12 It just sets up a potential drainage lease for
13 Dugan's federal lease in the northwest quarter of Section
14 22, and then I'm going to be back here asking you for
15 permission to drill an infill well at a nonpattern location
16 if you're not -- if you don't keep that schedule you just
17 offered.

18 EXAMINER CATANACH: I'm not promising anything.

19 MR. BRUCE: Texakoma won't object.

20 THE WITNESS: Yeah, if there's no objection, then
21 it's an administrative process, yeah.

22 EXAMINER CATANACH: Unfortunately, it looks like
23 there may be more controversy with this case, certainly
24 than there was with the original Fruitland Coal case, and
25 it looks to be getting a little worse every day from what I

1 understand.

2 MR. OWEN: "This case" means the pending rule-
3 change case?

4 EXAMINER CATANACH: Yes --

5 MR. OWEN: Not the one before you?

6 EXAMINER CATANACH: -- yes, the pending rule-
7 change case.

8 MR. BROOKS: That's what I understand also. And
9 I understand next week it's going to get a lot more
10 complicated.

11 THE WITNESS: And that's the basis for our
12 objection here. I mean, if we had confidence that we would
13 be afforded the freedom to -- not freedom, opportunity to
14 develop the northwest quarter -- If you look at Exhibit 1,
15 I mean, if Texakoma's well is drilled, we basically have
16 three wells all crowding Dugan's undeveloped northwest
17 quarter of Section 22.

18 And the BLM is getting faster about, Hey, guys,
19 you've got to prove to us drainage isn't occurring. And if
20 it is, and if you've allowed it, we're going to charge you
21 compensatory royalty. So that's just not a good situation.

22 Q. (By Examiner Catanach) Okay. Mr. Roe, did you
23 examine the Exhibits Number 5 and 6 submitted by Texakoma?

24 A. Just briefly.

25 Q. Do you agree with the assessment that in this

1 particular instance that the permeability appears to
2 decrease as you move toward the west?

3 A. I first off don't like using micrologs to assess
4 permeability in the Fruitland Coal. I think you're setting
5 yourself up for lots of misinterpretation. I can't argue
6 that the microlog recorded in the two wells, there is a
7 difference. Whether that's the result of lower
8 permeability, I can't say. I will say Dugan Production has
9 never run a microlog in any of our Fruitland Coal wells,
10 and we're a big Fruitland Coal producer. And I don't know
11 of a lot of operators that do run micrologs. I mean, that
12 is not a basis for running pipe. I mean, I don't know of
13 any well that's ever -- the decision to not run pipe was
14 based on a microlog, unless maybe Texakoma.

15 EXAMINER CATANACH: Okay.

16 EXAMINATION

17 BY MR. JONES:

18 Q. I'll try to be brief. Mr. Roe, the current coal
19 spacing out there, what would be the -- developing these
20 1300-foot coal wells, what would be the peak time for your
21 -- the time to the peak production on your wells? How many
22 years? Just a guess.

23 A. Dugan Production, actually, we've produced nearly
24 2.8 billion cubic feet from the Fruitland Coal in this
25 area. We've observed inclines ranging from 12 to 36

1 months.

2 Q. Is that 320 acres per well?

3 A. Yes.

4 Q. 1300 feet?

5 A. Yes.

6 Q. So -- Okay, what would be the peak rate that it
7 would hit after that time?

8 A. None of these wells are good like you think of
9 Fruitland Coal wells, and that's one of the reasons that
10 I -- on my Exhibit 3 I presented what would be an annual
11 rate.

12 And you can see -- Bearing in mind, probably the
13 highest annual rate, or among the highest, would be some of
14 the wells that aren't in the immediate vicinity. They're
15 producing -- oh, there's about -- fourth well down is
16 Calpine's well in Unit M of Section 14. It's got an annual
17 production of about 85 million, which, in MCF per day would
18 be about 300, 300 MCF a day.

19 Q. Okay.

20 A. And that is after production of the -- we'll get
21 435 million cubic feet of gas, so it's --

22 Q. Okay.

23 A. But a really good well in this area, I don't
24 know. Mr. Salzman might have a better handle on it. I
25 think 300 would be a big well for Dugan's wells.

1 Q. Okay. What about the -- I guess what I'm getting
2 at here is the -- speculating the payout. What about water
3 production, first of all, water production from the east to
4 the west? Does it vary a lot on the IP's of the wells, the
5 reported IP?

6 A. Well, one of the things that Dugan likes this
7 area about is, we don't have the high volumes of water
8 associated with the Fruitland Coal that you see typically
9 in the higher perm areas. A big volume of water in this
10 area is 40, 50 barrels a day --

11 Q. Okay.

12 A. -- just because it's easy to look at. You know,
13 the Maralex well in the northeast of 8, the Rick Wells
14 Number 1, 10 MCF a day and 37 barrels of water per day was
15 the initial potential. Actual potential during January was
16 7 MCF a day, and the water was, I think, about 20 barrels a
17 day.

18 But water from there is dropping off, and gas in
19 March was 13 MCF a day.

20 Q. Okay, I think I remember you talking about that.

21 A. And again, that particular well has exhibited a
22 decline -- it's actually -- I have data, two more months of
23 data from Maralex, and it's actually showing an incline for
24 the first five months of production, although only three
25 months of that is publicly available, through like *Dwight's*

1 or ONGARD or something like that.

2 Q. So your payout on a \$200,000 drilled well that's
3 going to peak in 36 months at 300 MCF a day, what would
4 that be? Five years?

5 A. Well, that's one of the reasons Mr. Dugan keeps a
6 lot of pressure on us to not spend \$200,000 drilling these
7 wells --

8 Q. Right.

9 A. -- is -- We don't spend that much. But likewise,
10 we don't put as big a frac on the well, and we cut some
11 corners that other operators aren't willing to cut. Our
12 payouts are three to five years, yes. And again, that's
13 highly dependent on what the gas price is.

14 Q. Right. So current gas prices are a lot better
15 than it was five or ten years ago also?

16 A. It's not as good as it was this time last year,
17 though.

18 (Laughter)

19 Q. (By Mr. Jones) How would it affect your payout
20 if you had to spend more to hook a well up?

21 A. Those are real issues. If you spend more to get
22 it connected it adds to your payout, there's no question.
23 And that's not a unique -- You know, Texakoma's concern is,
24 it's unique. I mean, we all deal with that. But I don't
25 come and ask for an off-pattern location every time I think

1 I could save some money with my flow line.

2 And again, I might just restate, I mean, once the
3 pool rules are amended, we're not talking about southeast
4 versus southwest. There probably will be a well in the
5 southwest also.

6 So you're not eliminating the need to put a more
7 expensive flow line in, you're just delaying when that's
8 going to happen.

9 Q. Yeah, that's --

10 A. It won't be on their first well, it will be on
11 their second well.

12 MR. JONES: All right, thank you.

13 EXAMINATION

14 BY MR. BROOKS:

15 Q. Do you agree with the assessment that this is
16 unambiguously not in the fairway?

17 A. There's absolutely no question. Very far
18 removed.

19 MR. BROOKS: That's my only question.

20 EXAMINER CATANACH: Anything further of this
21 witness?

22 This witness may be excused.

23 MR. OWEN: That concludes my case, Mr. Examiner.

24 I do -- Actually, I do have one remaining
25 question for this witness, Mr. Examiner.

FURTHER EXAMINATION

BY MR. OWEN:

Q. Mr. Roe, were Dugan Exhibits 1 through 7 prepared by you or under your direction and supervision?

A. Yes, they were.

MR. OWEN: Mr. Examiner, I offer into evidence Exhibits 1 through 7.

EXAMINER CATANACH: Any objection?

MR. BRUCE: No, sir.

EXAMINER CATANACH: Exhibits 1 through 7 will be admitted as evidence.

Okay, Mr. Bruce, do you have anything further?

MR. BRUCE: I have nothing further. I have a short closing.

EXAMINER CATANACH: Do you?

MR. BRUCE: Yes.

EXAMINER CATANACH: Okay. Mr. Owen, do you have any closing?

MR. OWEN: I do.

EXAMINER CATANACH: You may proceed.

MR. OWEN: Wouldn't it be more appropriate for the Applicant to proceed, Mr. Examiner?

MR. BRUCE: Not under Mr. Carr's rules.

EXAMINER CATANACH: Is it all right if I make the rules, Mr. --

1 MR. BRUCE: Well, yeah.

2 MR. OWEN: Fine, I'm happy to do that. I'm not
3 meaning to pass the buck.

4 MR. BROOKS: Well, in court we always, of course,
5 let the petitioner open and close, but --

6 EXAMINER CATANACH: I believe we've let the
7 opposition go first before.

8 MR. BROOKS: It is appropriate for the petitioner
9 to go last.

10 MR. OWEN: I'm happy to conclude, Mr. Examiner.

11 At the outset, I'd like to emphasize that Dugan
12 is not opposed to infill drilling. In fact, this is not an
13 infill case. This is an initial well on a 320. We're not
14 coming here to offer evidence in opposition to the rule
15 changes, we're not coming here to offer evidence that would
16 indicate that infill drilling is not warranted by the
17 conditions in the area.

18 Instead, what Dugan is here to argue, Dugan and
19 Maralex and SG are here to argue, is that this Application
20 is untimely. If in fact the rules are changed, then this
21 Application will not even be necessary. In fact, that has
22 been part of Texakoma's position in this case.

23 What I would liken that to is getting stopped for
24 speeding on Interstate 25 because you were going 75 a week
25 before the speed limit was changed and telling the officer,

1 Well, the speed limit is going to change to 75 next week,
2 don't give me a ticket. It's going to change anyway.

3 Well, Mr. Examiner, it is your duty to apply the
4 rules as written today, not as they're going to be written
5 six months from now, but as they are written today.

6 And as they are written today, Rule 7 of the
7 special pool rules only allows the wells in the northeast
8 quarter or the southwest quarter and allows exceptions to
9 that in very specified instances.

10 We've heard a lot of testimony about the extra
11 cost to be added to the project because of moving the well
12 farther away from this El Paso line, and we've heard some
13 other testimony. But in fact, there are specific standards
14 that the Examiner can use to assess whether or not to grant
15 the Application in this case. Those standards are set by
16 Rule 8 of the special pool rules.

17 Rule 8 states that an exception to the pattern
18 location should only be granted for topographic reasons, or
19 if it's a recompletion of a deeper well into a shallower
20 zone, or if it's an intentionally deviated horizontal
21 wellbore. Not one of those conditions is presented in this
22 case.

23 Those conditions apply to the Division's
24 consideration of administrative applications, and of course
25 we're here as a case fully on the merits after notice.

1 However, those are the standards which the Division has set
2 for itself in considering whether to grant an application
3 for an off-pattern well.

4 There have been allusions to the fact that there
5 are other off-pattern wells allowed in this area. Not one
6 of those wells is before you today. Not one of the
7 conditions presented in those cases is before you today.
8 What we do have in this case is a well that doesn't have an
9 off-pattern location justified by topographic reasons, by
10 recompletion from a deeper horizon or an intentionally
11 deviated wellbore. All we have is a well that seeks to get
12 closer to the existing production directly to the south.

13 Now, there are some other standards that the
14 Division has set for itself in considering nonstandard
15 locations. Those standards are set in Order Number
16 R-11,364. It's a Marbob case. The Order was issued in
17 April, 2000, I believe.

18 Those standards which the Division set for itself
19 in considering all unorthodox well locations state that the
20 Division should consider whether all locations within a
21 standard window have been eliminated, number one; number
22 two, if there is a geologic justification for the
23 nonstandard location; number three, if it's necessitated by
24 surface features, why the applicant can directionally drill
25 which, of course, is not applicable in this case; and

1 number four, if the operator is contemplating developing
2 shallower zones with different well-location requirements.
3 That's not an issue in this case.

4 What is at issue is whether all locations within
5 the standard window have been eliminated. They have not.

6 The testimony that's before you is ambiguous at
7 best. And in fact, it's my position that the evidence
8 indicates that the Fruitland Coal formation in the area is,
9 number one, uniform in thickness and, number two, not
10 declining in permeability as you turn westward.

11 The geologic justifications are simply not there.
12 The factors for granting a nonstandard location are simply
13 not there.

14 Essentially, Texakoma has three arguments.

15 First, the rule will be changed anyway, so let us
16 drill the well now. Well, again, Mr. Examiner, if the
17 rules are changed anyway, then let them apply after the
18 rules have changed. The rules as they stand today allow a
19 well in the southwest quarter. They do not allow a well in
20 the southeast quarter.

21 Number two, Texakoma's essential argument Number
22 two is that everybody else is doing it. There are a bunch
23 of other wells. Well, Mr. Examiner, just because everybody
24 else is doing it doesn't make it right. The standards
25 exist for a reason. If the Division and the Commission

1 feel it is appropriate to change, then it would be
2 appropriate for Texakoma to revisit its Application in this
3 case.

4 And the third reason is that the right of ways
5 are very difficult to obtain in this area, and therefore
6 Texakoma should be allowed to drill its well. The
7 difficulty of obtaining a right of way is not an enumerated
8 reason for granting an on-pattern location, either within
9 the special pool rules or under the Division-specified
10 conditions for granting an unorthodox well location.

11 Mr. Examiner, Texakoma is jumping the gun in this
12 case. It's seeking to get down next to a well that's
13 already producing and take advantage of the dewatering
14 before anybody else in the area has the opportunity to do
15 so. If the rules are going to be changed, then let them be
16 changed and let Texakoma drill its well at that time.

17 I request that Texakoma's Application be denied.

18 Thank you.

19 EXAMINER CATANACH: Okay, Mr. Owen.

20 Mr. Bruce?

21 MR. BRUCE: Let me correct a few things here, Mr.
22 Examiner.

23 Mr. Owen said we're here today asking it because,
24 well, the rules will change anyway. Mr. Salzman never
25 testified to that.

1 Mr. Owen says we're here because everyone else is
2 doing it. Once again, Mr. Salzman never claimed that. We
3 did refer to a case, the Coleman case, where an exception
4 was granted, but he's merely pointing that out because it
5 was beneficial in the end to everyone involved that the
6 unorthodox Location was granted.

7 Mr. Owen also said we're here saying we only want
8 the location because it will reduce costs. We never said
9 that.

10 One thing he did say was about the right of way,
11 and that is part of our reason.

12 But simply put, the data shows that wells west of
13 the proposed location are uneconomic. Our opponents cannot
14 point to any well west of Section 16 that's economic.
15 Clear and simple. They talk about their instincts, talk
16 about their hopes for future production. They can't show
17 one.

18 Even if wells eventually prove to be economic
19 west of Texakoma's proposed location, it's undisputed that
20 drilling this well and dewatering this area will benefit
21 everyone. It will benefit Dugan, Maralex, SG Interest,
22 Texakoma. What's the beef? I don't know.

23 We're not here to save money on a flow line, and
24 Texakoma has never been in front of the Division asking for
25 an unorthodox location in the Fruitland Coal simply to save

1 money.

2 This Application has a geologic and engineering
3 basis, and I submit it also has a topographic basis. Mr.
4 Roe presents the map showing all of the farming areas on
5 the NAPI lands. If that's not topographic, I don't know
6 what is.

7 Significantly, what our opponents are saying is
8 that Texakoma should go drill a well and then wait eight,
9 ten, twelve years to get a right of way for its pipeline.
10 That's not being prudent, that's being senseless.

11 Now, as far as the need to drill well, every
12 company is different, but Texakoma has drilling programs
13 and it needs to drill these wells. It has leases to
14 develop, and why should it be stopped in this particular
15 instance? The Division General Rules allow a company a
16 company to apply for an unorthodox location. This one is
17 based on three reasons, or four: geology, engineering,
18 topographic, and you could say, I suppose, cost, but only
19 in the sense that if we drill a quarter-million-dollar well
20 or a \$200,000 well, we're going to have to sit there for a
21 long time without producing it, and that's uneconomic.

22 The Division Rules allow you to apply for
23 unorthodox locations and this case warrants one. Simply
24 waiting for a general rule change which may never happen is
25 irrelevant to this case.

1 We'd ask you to approve the location.

2 EXAMINER CATANACH: Thank you, Mr. Bruce.
3 Anything further?

4 MR. BRUCE: No, sir.

5 MR. OWEN: I have an administrative matter. I
6 don't think it's necessary to wait and submit a cross-
7 section at the next hearing, I think the case is completed
8 as it is.

9 EXAMINER CATANACH: There being nothing further,
10 Case 12,875 will be taken under advisement.

11 And this hearing is adjourned.

12 (Thereupon, these proceedings were concluded at
13 3:55 p.m.)

14 * * *

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that I am typing in
a complete record of the proceedings of
the Examiner hearing of Case No. 12,875,
heard by me on July 27, 2002.

David L. Catnach, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 3rd, 2002.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002