

dearnley-meier reporting service, inc.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO

BEFORE THE  
NEW MEXICO OIL CONSERVATION COMMISSION  
Santa Fe, New Mexico  
November 18, 1970

EXAMINER HEARING


IN THE MATTER OF: )

Application of Tenneco Oil Company )  
for the creation of a new pool, )  
assignment of discovery allowable, )  
and promulgation of special pool )  
rules, McKinley County, New Mexico. )

Case No. 4457

BEFORE: Elvis A. Utz, Examiner.

TRANSCRIPT OF HEARING



1 MR. UTZ: Case 4457.

2 MR. HATCH: Case 4457. Application of Tenneco Oil  
3 Company for the creation of a new pool, assignment of discovery  
4 allowable, and promulgation of special pool rules, McKinley  
5 County, New Mexico.

6 MR. BATEMAN: Mr. Commissioner, I'm Ken Bateman of  
7 White, Gilbert, and Kelly, appearing for the applicant.

8 MR. UTZ: Any other appearances?

9 MR. STEVENS: I'm Don Stevens of McDermott, Conley and  
10 Stevens, appearing for Allen J. Atweil. We will have no  
11 witnesses, we don't think.

12 MR. UTZ: Other appearances? You may proceed.

13 MR. BATEMAN: I have one witness. I'd like him  
14 sworn, please.

15 (Witness sworn)

16 (Whereupon, Applicant's  
17 Exhibits 1 through 8  
18 were marked for identi-  
19 fication.)

20 MR. BATEMAN: Mr. Hatch, I understand there's been  
21 some difficulty with the advertisement of this case. Accord-  
22 ingly, if the Commission please, I'd make a motion that testimony  
23 be heard at this time, that the case be readvertised for the  
24 next available date in order to issue after the completion of  
the readvertisement.

25 MR. UTZ: There was a mistake in the advertisement

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 of this case. Accordingly, if the Commission please, I'd make  
 2 a motion that testimony be heard at this time, that the case be  
 3 readvertised for the next available date in order to issue  
 4 after the completion of the readvertisement.

5 MR. UTZ: There was a mistake in the advertisement  
 6 in the local newspaper. Therefore, we will hear the case at  
 7 this time, readvertise and call the case at the next --

8 MR. HATCH: The next examiner hearing will be  
 9 advertised and will be December the 16th.

10 MR. UTZ: December the 16th, '69.

11 MR. HATCH: I hope I'm correct.

12 MR. UTZ: We'll call the case on examiner hearing on  
 13 December the 16th in the event that anybody cares to make an  
 14 appearance --

15 MR. BATEMAN: Thank you.

16 MR. UTZ: -- before the order is released.

17 A. DEAN RIAL

18 having been first duly sworn, was examined and testified as  
 19 follows:

20 DIRECT EXAMINATION

21 BY MR. BATEMAN:

22 Q State your name and occupation and place of residence.

23 A A. Dean Rial. I work for Tenneco Oil Company, district  
 24 geological engineer. I live at 2685 U Concord in Denver.

25 MR. UTZ: Would you spell that name, please.

1 THE WITNESS: R-i-a-l.

2 MR. UTZ: First name?

3 THE WITNESS: A. Dean.

4 MR. UTZ: How do you spell it?

5 THE WITNESS: Oh. Initial A, then Dean.

6 MR. UTZ: Oh. Dean?

7 THE WITNESS: Right. Dean. Right. D-e-a-n.

8 MR. UTZ: For me you should say A.

9 Q (By Mr. Bateman) Mr. Rial, have you previously testified  
10 before the Commission?

11 A No, I haven't.

12 Q Would you state your educational background and work  
13 experience, please.

14 A All right. I graduated from Texas A & M in 1957 with a  
15 BS degree in Geological Engineering and a BS degree in  
16 Petroleum Engineering. With the exception of just a brief  
17 tour in the armed forces, I've been continually employed in  
18 the oil and gas business in area of geology and related  
19 petroleum engineering.

20 Q Are you personally familiar with the area in question, the  
21 application today?

22 A Yes, I am.

23 MR. BATEMAN: Are the witness's qualifications  
24 acceptable?

25 MR. UTZ: Yes, sir, they are.

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

239 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Q Mr. Rial, refer to Applicant's Exhibit No. 1 now and state  
2 what Tenneco seeks by its application.

3 A Tenneco Oil Company seeks to establish a new pool, a  
4 special pool rule and the assignment of discovery allowable  
5 to the discovery well, the Don Ne Pah No. 1, which is  
6 located in the northwest of the northwest of section 18,  
7 seventeen north and eight west of McKinley County, New  
8 Mexico. We also propose limits as shown on exhibits  
9 outlined in red on the Exhibit No. 1. And we intend to  
10 present the available information to indicate that this  
11 is a new common source of supply and underlines this area.

12 Q What other information appears on Exhibit 1 relative to  
13 your application?

14 A This is a -- it shows a geographic limits of the proposed  
15 Lone Pine Dakota D zone or zone pool, and this is outlined  
16 in red. We show the location of the discovery well, the  
17 Don Ne Pah No. 1, and this is notated by the red arrow.  
18 The total depth of all dry holes are shown in the area, and  
19 we show all producing wells within the two mile radius of  
20 the Don Ne Pah No. 1. Circled in red on this exhibit are  
21 oil wells that have penetrated at least the top of the  
22 Dakota D zone. And we have also indicated by code down  
23 in the legend here the producing arisance of oil wells.  
24 We also note the locations of the Hospah field and also the  
25 south Hospah field in relationship to the proposed Lone Pine

dearnley-meier

1 Field.

2 Q All right. Now, regarding the -- just for the record,  
3 the well circled in red, are all of those wells productive  
4 in the D zone?

5 A No, they aren't. Now, this represents just wells that  
6 have penetrated. The wells that are now producing from  
7 the Dakota D zone are the Tenneco Hospah Well No. 10,  
8 which is located just about in the center of the north  
9 half of section 12 and --

10 MR. UTZ: Just a minute. I want to catch these as  
11 you --

12 THE WITNESS: We have these producing wells identified  
13 on the next exhibits specifically, but --

14 MR. UTZ: Oh, do you? All right. Well, perhaps it  
15 would be well to refer us to that.

16 Q All right. What are the vertical limits of the Dakota D  
17 zone?

18 A Well, I'd like to refer to Exhibit 2. This is a copy of a  
19 dual induction lateral log of the discovery well, the Don  
20 Ne Pah No. 1. It was measured to a depth of 2946. Noted  
21 on the log is the vertical limits of the Dakota D zone as  
22 shown on the two inch scale as being from 2792 to 2834.  
23 Also shown on this log are the vertical limits of the  
24 other producing zones in this immediate area.

25 MR. UTZ: Would you repeat those?

1 THE WITNESS: Okay. Excuse me. We're on the -- we  
2 have it on the small scale, or the two-inch scale.

3 MR. UTZ: All right.

4 THE WITNESS: All right. The top of the Dakota D  
5 zone is at 2733, and the -- no. It's B zone. The top of the  
6 B zone is 2792 to 2834.

7 Q (By Mr. Bateman) All right. Now, Exhibit No. 2 is a log  
8 of the discovery well; is that correct?

9 A Yes, it is.

10 Q Do you have anything further to say about Exhibit No. 2  
11 before we go on?

12 A We also show on the log the perforations in the D zone,  
13 which are from 2802 to 21 and also from 2827 to 29.

14 Q All right. Mr. Rial, refer to your Exhibit No. 3 and  
15 state what that relates regarding the application. Also  
16 identify it, if you would.

17 A All right. Exhibit No. 3 is a structure map drawn on the  
18 top of the Dakota D zone as defined in the Exhibit No. 2.  
19 On this we see the relative locations of the Hospah field,  
20 which is just north of Fault B, and Fault B actually  
21 separates the north Hospah from the south Hospah. Fault  
22 A is shown, which is a normal down to the south fault  
23 running more or less northeast southwest. This fault  
24 separates the production in the south Hospah field from  
25 the proposed Lone Pine Field. We see here noted in red or

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 249-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 underlined in red right along or just north of Fault A we  
2 have noted the fault cuts and the location on a subsea  
3 depth of the position of that fault in each particular  
4 well. This fault, for instance, let's take a Tosoro 17  
5 well, which is located by the red dot in the north half of  
6 section seven of 17 north and 8 west. Here we have  
7 identified the fault as being a hundred and seventy-five  
8 feet and the location of the cut on the fault as a plus  
9 6228. We also have identified on here all wells that are  
10 now presently producing from the Dakota D zone. They are  
11 notated by both the red and the green dots. The red dots  
12 are significant in that they produce only from or have been  
13 completed only in the Dakota D zone.

14 The green dots are wells that are completed, have been  
15 perforated in the Dakota D zone and also are commingled with  
16 the Dakota A, the B and the girasic morrison. We see here --  
17 we have identified fault as being the separating barrier  
18 between the south Hospah production and the proposed Lone  
19 Pine field in the Dakota D zone. We see here that we have  
20 identified on the left-hand portion of the western portion  
21 of the field, we have dashed a permeability barrier. Now,  
22 the well -- the Santa Fe Pacific Railroad No. 2, which is  
23 located in the northwest of the southwest of section 13 is  
24 structurally favorable for production from the D zone.  
25 However, on completion it may just be a slight amount of

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 oil and a considerable amount of water. We also find in  
 2 the A one which is located in the northwest of the north-  
 3 east of section 23 of 17 north and 9 west, this well also  
 4 was extremely tight in the Dakota D zone. Both of these  
 5 wells have been completed in the Dakota A zone. We  
 6 interpret as being a permeability barrier of some nature  
 7 or some -- of either permeability barrier or stratigraphic  
 8 barrier that exists along the western portion of the  
 9 field south of the Fault Block A. Also noted on the  
 10 structure map of significance to the field we show a  
 11 contour which we have identified as oil down to plus 4205  
 12 feet. Now, this is identified as the limits of our  
 13 production from the Gigosa No. 1, which is located in the  
 14 northwest of the southwest of section 18 of 17 north and  
 15 8 west. We have also identified a gas cap present in the  
 16 reservoir and we have presently located that at plus 4260,  
 17 as shown by the dashed line with the X on it.

18 Q What is the nature of the production in the D zone wells  
 19 to the north of Fault A?

20 A Do you want to go to the next exhibit, then?

21 Q Not just yet.

22 A What is the relationship?

23 Q No. The nature of the production.

24 A Oh, excuse me. The nature of the production in the south  
 25 Hospah field is gas. We have no oil production in the south

1 Hospah Dakota D zone.

2 Q All right. Would you refer to Exhibit 4 and identify  
3 that and state what that has to do with the application.

4 A I would like to go back to just Exhibit 3 a minute before  
5 we look at Exhibit 4. Also shown on here are two cross  
6 section lines lettered A to A Prime and also B to B Prime.

7 There is also an index map in the lower portion of Exhibit --

8 Q 4?

9 A -- 4 which shows the cross section. This is a cross  
10 section that was drawn -- subsurface cross section was  
11 drawn from Tenneco Wiggam No. 3, located in Section 11 of  
12 17 north and 9 west through Tenneco Hospah Unit No. 23 in  
13 section 12 of 17 north and 9 west. Across the Fault A  
14 into the CTV Hospah A5 Section 12 of 17 9 west and into  
15 the discovery well of the Don Ne Pah No. 1, then on down  
16 to the Tenneco Gigosa No. 1, located in Section 1817 and  
17 north 9 west. Essentially what we show here is the  
18 separation of the Hospah field to the north where we have  
19 the gas and the proposed Lone Pine field to the south where  
20 in the vicinity of the discovery of the Don Ne Pah No. 1.  
21 We see that we've shown on the Hospah Unit 23 the  
22 completions as designated by the gas symbols in all three  
23 zones. We see in -- which is producing out of Oil Dakota  
24 A, the Dakota B and then the Dakota D. Of real significance,  
25 we feel, is the CTV Hospah A5. Although this did not get

1 to the Dakota D zone its structural relationship strongly  
2 supports the presence of the fault and the separation of  
3 the two reservoirs.

4 Q All right. Mr. Rial, let's move on to Exhibit No. 5, if  
5 you would identify that and again state what relevance  
6 that has to the application.

7 A Exhibit No. 5 is cross section BB prime, which is more or  
8 less a north-south cross section that runs from Tosoro  
9 Santa Fe Pacific Railroad No. 17 in Section 7 of 17 north  
10 and 8 west through the Walker Brothers or Tosoro, now unit  
11 Santa Fe Pacific Railroad No. 11, also located in Section  
12 7 of 17 north and 8 west down to Tenneco Don Ne Pah No.  
13 1, the discovery well.

14 As noted here that the Tosoro Santa Fe Pacific No.  
15 17 was completed in the Dakota D sand. As we also show  
16 the structural relationship from one side of the fault  
17 to the other, also shows the fault cut in the Santa Fe  
18 Pacific Railroad No. 17. Of significance, as in the other  
19 cross sections of Walker Brothers, shows the relationship  
20 of the shallower beds and as we cross the fault.

21 Q Do you have anything further to state about the last three  
22 exhibits?

23 A Only that they tend to demonstrate and indicate the  
24 presence of the fault and the separation of the production  
25 and producing area from the north to the south and the area

1 of the proposed Don Ne Pah Lone Pine Fields.

2 Q All right. If you'd move on to your Exhibit No. 6 and  
3 identify that and state what significance it has and  
4 particularly relative to the discovery well.

5 A This is a -- Exhibit No. 6 is the tabulation of the  
6 completion data available on the Dakota D zone in the  
7 McKinley County, New Mexico. This compares the Don Ne  
8 Pah No. 1, the pertinent data, as far as data completion,  
9 subsea tops, the perforations, initial potential, gas-oil  
10 ratio, oil gravity, bottom hole pressure and average  
11 porosity.

12 This compares these with the Tosoro Santa Fe  
13 Pacific No. 17, which was also completed in D zone, along  
14 with Tenneco's Hospah 10 and Hospah 23. The significance  
15 is that the wells in the fault block to the north are all  
16 gas.

17 Q All right. Mr. Rial, backing up just a little bit on the  
18 Don Ne Pah Well No. 1, have you made any inquiries as to  
19 whether or not there is other oil production at the depth  
20 in the County?

21 A According to the Oil Conservation Commission records, this  
22 is the deepest oil production in the County and would be  
23 subject to the appropriate discovery allowable under the  
24 rulings.

25 Q All right. Moving on to Exhibit No. 7, please identify

1 that and state what significance that has.

2 A Okay. No. 7 is a summary of the average reservoir data  
3 from the three primary producing wells. Now, let me regress  
4 a minute to exhibit -- refer back to Exhibit No. 3. We  
5 show on here locations of three red arrows and the locations  
6 of point two, the Don Ne Pah No. 1, the Gigosa No. 1,  
7 located in Section 18 and also to the Santa Fe Pacific  
8 Railroad No. 1, which is located in the northwest of the  
9 southwest of Section 13.

10 These wells were the initial three wells that were  
11 drilled in the development program and they represent the  
12 more or less are base of knowledge as far as reservoir  
13 properties and flood properties for this area, and also  
14 represent the majority of the production data to date.

15 Summarized here is what we consider average reservoir  
16 data and representative of the field of the reservoir  
17 itself. We have an average cost of twenty-four -- twenty  
18 point four percent, or saturation of thirty-five,  
19 permeability.

20 Now, this is permeability to reservoir fluid of  
21 thirty to fifty millidarcies; reservoir temperature of a  
22 hundred and eight degrees; original formation -- original  
23 reservoir pressure of a hundred and ten PSIG, oil gravity  
24 of fifty-four degrees, APE solution, gas-oil ratio of nine  
25 hundred and seventy standard cubic foot per barrel, and

1 an average thickness of twelve feet. These perimeters  
2 were taken from data based on core analysis, bottom hole  
3 pressure build-up test, crude samples and TVT data.

4 Q All right. Continuing on to Exhibit No. 8, please identify  
5 that and state what significance that has.

6 A All right. The Exhibit No. 8 is a plot of the bottom hole  
7 pressure in the Dakota D reservoir. It is pressure shown  
8 on the left as at a datum of forty-two hundred fifty feet,  
9 and time by months is along the bottom.

10 The wells plotted here are noted. The Santa Fe  
11 Pacific Railroad No. 3, the Don Ne Pah No. 1, the Santa Fe  
12 Pacific Railroad No. 1 and the Gigosa No. 1, the Santa Fe  
13 Pacific No. 5 and the Don Ne Pah No. 2 and the Santa Fe  
14 Pacific Railroad No. 6.

15 Now, based on the pressure data taken on the Don Ne  
16 Pah during the early part of June, 1970, we had initial  
17 pressure of one thousand and ten pounds. Now, on the  
18 latter part of June, a bottom pressure was -- build-up  
19 was taken, and it had declined to approximately nine  
20 hundred and seventy-nine to eighty pounds.

21 Upon the drilling of the Gigosa, we took a bottom  
22 hole pressure at that point, which is approximately nine  
23 hundred and eighty pounds. That is the green triangle.  
24 Upon the completion of the Santa Fe Pacific Railroad No.  
25 3, we had a bottom hole pressure of just about nine hundred

1 and forty-nine to nine hundred fifty pounds. That was  
2 represented by the blue dot. A bottom hole field was shut  
3 in during the latter part of October, 1970, and we took a  
4 bottom hole pressure survey on the Don Ne Pah and the  
5 Santa Fe Pacific Railroad No. 1 and the Gigosa No. 1, and  
6 they were represented by their respective pressure in the  
7 latter part of October.

8 We can see by this that the Don Ne Pah No. 1 had  
9 declined to about nine hundred and twenty pounds. Follow-  
10 ing the second development phase in which wells No. 3,  
11 Santa Fe Pacific No. 3, No. 5, No. 6 and the Don Ne Pah  
12 No. 2 were drilled, we took bottom hole pressures of these  
13 wells.

14 It's interesting to note and particularly significant  
15 to the -- understanding the reservoir conditions that the --  
16 most all our productions have been obtained from the three  
17 wells, the Don Ne Pah, the Gigosa and the Santa Fe Pacific  
18 No. 1, and this is represented by the cumulative oil  
19 production in barrels which, as of about the 7th of  
20 November, had produced about -- almost 36,500 barrels from --  
21 primarily from three different wells.

22 We note here the location and the pressure of Santa  
23 Fe Pacific Railroad No. 5 which is just about twenty-five,  
24 I mean, excuse me, 925 pounds. We also note the pressure  
25 on the Don Ne Pah No. 2 which we were taking last week

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 and were there also at 925 pounds.

2 This indicates that the Santa Fe Pacific Railroad No.  
 3 5 had not produced and neither had the Don Ne Pah No. 2  
 4 and the Santa Fe Railroad No. 6 and they indicate very  
 5 strongly that we have very excellent reservoir continuity  
 6 in the wells that we have drilled.

7 I think that in discussing the reservoir at this  
 8 time that it should be pointed out that by its pressure  
 9 we -- by the presence of the gas cap we do have a saturated  
 10 reservoir. And, I think that we feel now that the reservoir  
 11 mechanic or primarily that of the solution gas drive, we  
 12 should see some benefit from gas cap expansion because of  
 13 the steady decline in our reservoir pressure with cumulative  
 14 production we see no indications of water influence at this  
 15 time.

16 I think that these conditions suggest to us early  
 17 consideration for pressure maintenance there and our  
 18 secondary recovery for optimum oil recovery from this  
 19 field.

20 Q Mr. Rial, from present available information, do you  
 21 believe that the wells in the proposed pool can effectively  
 22 drain eighty acres?

23 A Yes, I think that they can very easily effective draining  
 24 of eighty acres. We have good permeabilities and good  
 25 pressure distribution distributed even at this early time

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 204 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 in other development programs.

2 Q Should the Commission see fit to grant your application,  
 3 what pool rules would you propose?

4 A We would propose a new pool designation as Lone Pine  
 5 Dakota D Pool. We would propose that eighty acre spacing  
 6 be applicable with provision for oversize proration units.

7 We propose fixed locations with the well to be located  
 8 in the northwest and southeast of each 160 acre governmental  
 9 quarter sections. Within this location we would propose  
 10 the standard tolerance of 330 feet from the eastern forty-  
 11 acre tract, from the boundaries of the forty acre tract in  
 12 which the fixed well location was.

13 We also propose double allowable based on one hundred  
 14 percent average participation. We propose a gas-oil ratio  
 15 limit of 2,000 to 1 with provisions for quarterly well  
 16 tests. We are proposing field results, these as temporary  
 17 field results to cover a period of one year from date of  
 18 order.

19 Q Why are fixed locations desirable?

20 A Tenneco, we feel at this point in the reservoir that vixed  
 21 location provide an orderly and uniform development. We  
 22 see no strong topographic obstacles that would prevent  
 23 otherwise.

24 We feel that a -- since we have excellent reservoir  
 25 communications present at this time that there is not a

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

269 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 problem of reservoir withdrawals or competition within a  
 2 reservoir. We feel that <sup>orally</sup> ~~orally~~ well spacing will enhance  
 3 both the primary and secondary recovery of oil and gas from  
 4 this reservoir, and we also feel that it will protect  
 5 correlative rights and prevent undue pressure drawdown  
 6 which is extremely critical in the type of reservoir in  
 7 local areas.

8 It will also help us to efficiently define, and  
 9 adequately define, the boundaries and limits of the  
 10 reservoir at an early date.

11 Q In your opinion, will the wells produce the requested  
 12 allowable?

13 A Yes, they will.

14 Q And finally, in your opinion, would the granting of your  
 15 application be in the interest of conservation and would  
 16 it prevent waste and would it protect correlative rights?

17 A Yes, it would.

18 Q Were Exhibits 1 through 8 prepared by you or under your  
 19 direction?

20 A Yes, they were.

21 MR. STEVENS: Mr. Commissioner, I offer Exhibits 1  
 22 through 8 at this time.

23 MR. UTZ: Without objection, Exhibits 1 through 8  
 24 will be entered into the record in the case.

25 MR. STEVENS: Mr. Rial, do you have anything further

1 to offer at this time?

2 THE WITNESS: No, I don't.

3 MR. STEVENS: That concludes our direct testimony.

4 MR. UTZ: Any questions of the witness?

5 CROSS EXAMINATION

6 BY MR. KENDRICK:

7 Q Mr. Rial, I believe in your direct testimony you testified  
8 that the original reservoir pressure was 110 pounds.

9 A Yes, that's correct.

10 Q Plat says 1,010 pounds instead of 110.

11 A Excuse me, 1,010 pounds is correct.

12 Q On Exhibit 8, I think your test for the first pressure  
13 with the blue dot was identified as Santa Fe Pacific  
14 Railroad No. 3. The plat shows that to be Santa Fe  
15 Pacific Railroad No. 1.

16 A Test in August, right.

17 Q With your proposed 80-acre repattern, do you propose to  
18 set out the specific 80-acres of a quarter section to be  
19 dedicated or would you leave that to the flexibility of  
20 the operator?

21 A We have designated on the Exhibit 1 a specific alignment  
22 of the 80-acres. However, we have no real strong feelings  
23 as to the alignment as long as they are restricted to each  
24 80-acres representing one quarter section, quarter section.

25 Q Do you mean that 240 would lie north and south from each

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 208 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 other to be delegated to the same well?

2 A Yes, they would. Yes, they would.

3 Q This might propose a bit of a problem in the vicinity to  
 4 the east half of the east half of Sections 13 and 24 where  
 5 that the additional fractional lots would be added in such  
 6 that both lots would be added into one drill tract instead  
 7 of into two drill tracts?

8 Does your footage proposal of 330 feet from the  
 9 boundary of the 40-acre tract in the instance of the east  
 10 half of the east half of Sections 13 and 24, is it your  
 11 intent that it would be 330 feet from the edge of that  
 12 half of the drill tract where these partial lots would be  
 13 added on or would that be 330 feet from the boundary of  
 14 the 40-acre tract which is the full standard 40-acre  
 15 tract?

16 A It was our intent for this to be -- have the tolerance  
 17 within 330 feet of the lease line whether it would be in  
 18 the over-size units or in a regular sized unit?

19 Q Three hundred thirty feet from the tract line?

20 A Right, from the tract line.

21 MR. KENDRICK: I believe that's all.

22 THE WITNESS: This doesn't really pose a problem  
 23 in the event that we have already drilled two of the wells  
 24 under the normal 40-acre location of the Santa Fe Pacific  
 25 Railroad No. 5 and No. 6.

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 269 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 Q (By Mr. Kendrick) The reason I considered that it might  
 2 pose a problem is that in the well, an oil well drilled  
 3 in northwest of the northeast of Section 13, which would  
 4 be below the gas-oil contact would be an oil well with an  
 5 80-acre plus a fractional lot. As it is, you have 80 acres  
 6 plus two fractional lots dedicated to a gas well singularly  
 7 in the southeast portion.
- 8 A Excuse me. I misunderstood your initial point. Would you  
 9 repeat that, please?
- 10 Q Santa Fe Pacific Railroad No. 6 --
- 11 A Right.
- 12 Q -- would have 80 acres plus two fractional lots dedicated  
 13 to No. 6 as a gas well?
- 14 MR. UTZ: Which 80 acres?
- 15 MR. KENDRICK: Being the east half of the east half  
 16 plus two fractional lots along the section.
- 17 If an oil well is drilled in the northwest of the  
 18 northeast of Section 13 and the north half dedicated to that  
 19 oil well that would offer on oil allowable of 80 acres plus one  
 20 fractional lot if the north half of the northeast quarter is  
 21 dedicated. Similarly the Santa Fe No. 5 in the southeast south-  
 22 east of Section 13 would have 80 acres plus two fractional lots  
 23 if the east half of the southeast quarter is dedicated; if the  
 24 south half of the southeast quarter is dedicated 80 acres and  
 25 one fractional lot would be dedicated to the No. 5 well. And

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6681 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 eighty acres and one fractional lot would be dedicated to the  
2 No. 1 which is in the gas cap area.

3 So there is a substantial difference in the amount of  
4 oil allowable assigned to wells if a rigid acreage dedication  
5 pattern is established here. Well, we have no strong objection  
6 or strong position as to the alignments of the unit. We felt  
7 there should be some conformity to them.

8 I believe that's all my questions.

9 MR. UTZ: You are proposing in the rules a rigid  
10 proration unit pattern?

11 THE WITNESS: No, we have not -- I don't -- we did  
12 not propose that. It was indicated on our map, but we do not  
13 necessarily feel that this is a -- should become a part of the  
14 rules, themselves.

15 MR. UTZ: In other words, it is satisfactory with  
16 you to dedicate the north -- or north-south, east or west?

17 THE WITNESS: Right, as long as they are restricted  
18 to the quarter quarter sections of no more than two units per  
19 quarter quarter section -- quarter section, excuse me.

20

21

22

23

24

25

1 MR. UTZ: Other questions?

2 MR. STEVENS: Mr. Rial, do you --

3 MR. UTZ: Would you identify yourself for the court  
4 reporter?

5 MR. STEVENS: Donald Stevens with the firm of  
6 McDermott, Conley and Stevens, representing Alan Antweil.

7 CROSS EXAMINATION

8 BY MR. STEVENS:

9 Q Mr. Rial, do you propose to add the lots along the east  
10 side of Sections 12, 13 and 24 to the existing wells to  
11 obtain an increased allowable based on overage and acreage?

12 A Yes, we do.

13 Q Could you tell us if the Pazo and Tosoro No. 17 well in  
14 Section 7 zippers producing out of the D which produces  
15 oil in your proposed field area?

16 A Yes. It's producing out of the same interval as what we're  
17 producing out of in the Don Ne Pah, yes.

18 Q Do you notice any pressure differentials, or do you know  
19 of any pressure differentials between that well and your  
20 oil wells?

21 A We have no data to indicate -- we have no data on the  
22 pressure on the Tosoro 17. The well was -- there is no  
23 gas market in the area, and the well was essentially shut  
24 in.

25 Q Was there any oil produced out of that well to your

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

249 SIMMS BLDG. • P.O. BOX 1092 • PHONE 248-8691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 knowledge?

2 A Not to my knowledge, no.

3 Q Was there any other gas producing out of the D zone in any  
4 of these other wells you've marked as gas wells?

5 A This is something that's extremely difficult for us to  
6 determine, because in the completion of the gas and the  
7 completion of the Tenneco Hospah 23 and 10, all zones  
8 were -- although treated separately were tested as -- they  
9 were all tested together. So we do not really know whether  
10 there was any contribution or how much contribution came  
11 out of the D zone, itself. Our feeling is that primarily  
12 most of the gas came out of the A zone in both the 10 and  
13 the 23.

14 Q You're proposing only to have rules applicable to the D  
15 zone; is that correct?

16 A That's correct.

17 Q If you find oil in any of these other wells in the B or  
18 C or A, would you seek a discovery allowable and new pool  
19 designation?

20 A Yes. I think we would at this time, because we feel that  
21 this D zone is a common source of supply and separated from  
22 the other zones.

23 Q Would you propose to dual complete a well in which more  
24 than one of those zones was completed? In other words,  
25 suppose you have the D and the B producing. Would you

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 propose to dual that well or drill two wells to that zone?
- 2 In other words, you do not propose to commingle them?
- 3 A No. I do not propose to commingle them.
- 4 Q And yet the 17 is commingled as far as gas is concerned;
- 5 is that correct?
- 6 A No. The 17 is a single completion in the D zone.
- 7 Q That's only in the D?
- 8 A Only the D, yes. The gas zones in the 10 and the 23 are
- 9 commingled.
- 10 Q The D and other zones?
- 11 A Right.
- 12 Q Would you have any objection to commingling all of these
- 13 zones together in one well board to avoid waste of drilling
- 14 new wells and so forth if they should develop?
- 15 A I think that -- yes. I think that we would not initially,
- 16 unless we have made a determination whether this is
- 17 initially a separate reservoir. I do not feel that we
- 18 should commingle the oil production if found in the A zone
- 19 or the B zone with that of the D zone.
- 20 Q Are you familiar with the other Dakota field in the basin
- 21 and whether they are, in fact, commingled or are separate?
- 22 A We have -- yes. We have -- our correlation is based -- or
- 23 nomenclature here of the A -- of the B and the D zones are
- 24 based on a network of cross sections on a subsurface
- 25 correlation. Yes. To our knowledge, there are other

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 209 SIMMS BLDG. • P. O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 areas within the basin where these zones are commingled.
- 2 Q Do you note any deleterious effects from this?
- 3 A There are to my knowledge no oil wells. Most all of
- 4 these are gas. There are no oil wells that are commingled.
- 5 Q The Rattlesnake Dakota Pool is one zone?
- 6 A To the best of my knowledge, yes, it is.
- 7 Q Referring to your structure map, Exhibit No. 3, if we
- 8 can read that for a moment, would you give us your --
- 9 you have stated the fault A you have observed in the wells
- 10 and in your Exhibit No. 2 the electric or was it the --
- 11 A Dual --
- 12 Q No. It was the cross section. Your second cross section.
- 13 A All right.
- 14 Q You showed that in the Well No. 17?
- 15 A Yes.
- 16 Q What was your evidence of the fault in that particular
- 17 well? That was thickening or thinning of the zone?
- 18 A No. The evidence was the thing of the zone in the Santa
- 19 Fe Pacific Railroad -- Tosoro Santa Fe Pacific Railroad
- 20 No. 17. As we show there, it actually has a hundred and
- 21 seventy-five feet missing.
- 22 Q In other words, from your orange line on the Tosoro well to
- 23 the orange line to the left on your other wells there's
- 24 one hundred seventy-five feet missing, right?
- 25 A Approximately, yes.

dearnley-meier

1 Q Does that apply also down in the Dakota? In other words,  
2 you'll have the same one hundred seventy-five feet missing?

3 A You should have recently, yes.

4 Q I note, then, that you have marked on here the amount of  
5 footage flow, I would presume, in each case, along the  
6 line of that cross section or that fault. The 2-F in the  
7 northeast northeast of 7 you show to have a hundred twenty  
8 feet of growth with a greater amount of the other three  
9 wells. Further down on the west side of this fault I note  
10 that the last contour line you have on the south side of the  
11 so-called faults, and then the north side it's 4200 in  
12 each case. On that basis would you presume that down dip  
13 to the southwest and to the northeast there's no fault?  
14 Since these contour lines are practically together here,  
15 it would show, I would guess, maybe twelve feet of fault --  
16 flow. Pardon me. And you show yours from the center of  
17 the field off to the northeast a lessening in the flow.  
18 From this could you presume that as you go further down dip  
19 to the northeast and further down dip to the southwest  
20 that the fault disappears?

21 A Although this is probably what is indicated here, a fault  
22 of this size -- one we do not have -- we cannot find the  
23 fault identified in any of the wells to the south. We see  
24 the throw of variable along the data that we have shown here,  
25 and this is possibly because of the poor correlation, give

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 or take a few feet, maybe some stratigraphic changes in  
 2 these -- in the wells, and it's also conceivable that there  
 3 may be more faulting in the area. Now, we do not know  
 4 when we have no control over the faulting or faulting  
 5 pattern to the southeast. I would presume that a fault  
 6 of the size should continue and be a major fault in the  
 7 area.

8 Q But your structure map, as shown, would not so indicate  
 9 that, would it, inasmuch as you show only about twelve  
 10 feet of throw in the southwest portion along Fault A and  
 11 a lessening in the amount of throw going to the northeast.

12 A No. It does not indicate that I do not think that the  
 13 fault dies out, though.

14 Q Do you believe that fault is an effective seal between  
 15 the gas well in Section 17 and other wells in that north  
 16 area and the proposed field under discussion?

17 A Yes, I do.

18 Q You have no pressure to justify that, though?

19 A No. We do not have any positive pressure information that  
 20 would indicate that it's a sealing fault.

21 Q In other words, it could be, then, that these wells in  
 22 Section 13, 18 and 24 would be connected with the wells  
 23 producing in Section 7 reservoir.

24 You mean the one well in the Tosoro 17 and also at this  
 25 case -- let me rephrase my question. Are you familiar

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 248-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 with Well No. 16 in the northeast or northwest of Section  
2 7?

3 A Yes, I am.

4 Q Could you tell us what produces from this and when it was  
5 completed?

6 A I do not know when it was completed. It did -- it's  
7 producing out of our nomenclature Dakota B zone. Right.  
8 I do not know the date of completion.

9 Q If there is communication across this fault, then you  
10 could presume that the B, C, D and A zones would be in  
11 communication with each other if there's communication  
12 across the fault.

13 A You mean by the present the fact that they're open only  
14 in the Tenneco Wells No. 13 and 10?

15 Q No. Really what I'm asking is if, in fact, there's  
16 communication across this fault as shown, since you had  
17 A, B, C and D all in contact with the fault would there,  
18 in fact, be communication between A, B, C and D on the  
19 north side of the fault and on the south side of the  
20 fault?

21 A Well, I would assume, then, the only way that we could  
22 have communication between the north side is for the  
23 fault not to be a sealing fault. We find that -- and if  
24 it's not a sealing fault, then it's possible for the  
25 zones to be in communication. Although it does not

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 necessarily prove that because one is in communication  
2 that all of them are in communication. I seriously doubt  
3 because of the magnitude of the fault as indicated where  
4 we can find it that a fault of this nature is not a  
5 sealing fault.

6 Q Do you find any evidence of a sealing fault between the  
7 north half and the south half or the north Hospah and the  
8 south Hospah of the Gallup level? Are there any pressure  
9 differences or are you familiar with that?

10 A No. I'm not familiar with the Gallup.

11 Q I'll withdraw that question. Your evidence for North Dip  
12 from Well No. 6 in Section 13 is based, is it not, on  
13 just your opinion of countour? There is no well up there  
14 proving north or northwest dip, is there?

15 A The only basis for the northwest dip is the -- let's go  
16 back to our Exhibit No. -- I believe it was 3. 3 is the  
17 structure map. All right. 4, which is the long cross  
18 section. And this is really one of the things that is the  
19 presence of the well or the shallow well, which is Wiggam  
20 CTV Hospah A-5. Although it didn't get all the way to  
21 Dakota, it does indicate that at a structural datum on the  
22 upper Hospah it's lower. Therefore, we do have to honor  
23 a reversal back in to the northwest.

24 Q How much lower is that? Do you have that figure offhand?

25 A No, I don't. About seventy-five feet.

1 MR. STEVENS: I don't believe I have anymore  
2 questions. Just a moment. Just one point of clarification.

3 Q Is the three hundred thirty acre tolerance from a forty  
4 acre subdivision? In other words, you could locate your  
5 well anywhere within that forty acres three hundred thirty  
6 feet from any subdivision line; is that correct?

7 A That was our intent, yes.

8 Q Yes?

9 MR. STEVENS: No further questions.

10 MR. UTZ: Other questions of the witness?

11 CROSS EXAMINATION

12 BY MR. UTZ:

13 Q Mr. Rial, looking at Set No. 3, it would indicate to me  
14 that Tenneco is the owner of this pool. Is that a correct  
15 assumption?

16 A We're probably the major owners of the pool. The pool  
17 limits have not been defined, as yet. The exact size and  
18 so forth is going to have to come about as subsequent  
19 drilling. But right now I would say, yes, we will  
20 probably own in excess of seventy-five percent of the  
21 pool.

22 Q Well, now, you say your pool hasn't been defined. You  
23 mean to the southwest?

24 A The pool has not been defined to the southwest and it  
25 has not necessarily been defined to the northeast or to

dearnley-meier

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 to the east. We show only a lower limit to define the oil  
2 down to or the limits of a proven production at this  
3 point. It could be much bigger and extend much farther.
- 4 Q In other words, you're saying that you feel that this  
5 productive down to your limits shown on Exhibit No. 3 and  
6 may extend further?
- 7 A Yes. The only -- I need to bring out one point here in  
8 clarification of the Lone Pine No. 1. This well, when  
9 we made these exhibits up -- we have just recently drilled  
10 it and are in the process of completing it. This well, to  
11 date, is not productive in the Dakota D reservoir, although  
12 we're structurally high. And so it may indicate that we  
13 have some separation or separations, but something unusual  
14 is happening in this south area or southeast area. We may  
15 also have mechanical problems with the well, but I think  
16 that it should be brought out at this point.
- 17 Q Referring to Exhibit No 8, is the blue square indicated  
18 the Santa Fe Pacific Railroad No. 3?
- 19 A Yes, it is. Which is located in the northeast of -- I  
20 mean -- excuse me. The northwest and northeast of Section  
21 24, 17 north and 9 west.
- 22 Q Now, was the pressure taken the first part of November to  
23 establish the pressure?
- 24 A Yes, it was.
- 25 Q And that reads, then, at a thousand and ten pounds?

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 A Right. A thousand and ten pounds, yes, sir.
- 2 Q Now, this exhibit purports to show drainage. Now, what  
3 would this late pressure as compared to your initial pressure  
4 of a thousand and ten indicate to you?
- 5 A It indicates one of two things. Either that we're in an  
6 area that has not been affected by drainage that we may  
7 be moving into an area of, say, poor rock properties in  
8 which transmissability of pressure and we haven't drawn it  
9 down as much in this area as we have in the others. Most  
10 of the other points here are what we consider as infilled  
11 points. And they should logically have been expected to  
12 be lower. This is more or less on the edge and had not  
13 produced and therefore, we don't really know what the  
14 reason is. It could be separated, it could be -- but more  
15 likely, it's just probably an area of poor rock properties  
16 and has not been affected by the pressure draw down for  
17 this part of the reservoir.
- 18 Q So you might have a tight area or some other reservoir  
19 condition there?
- 20 A Yes. It doesn't appear -- the rock does not appear to be  
21 necessarily tight, though.
- 22 Q According to the logs?
- 23 A Right. It's difficult for us to tell, because we find  
24 no direct comparison between porosity and permeability in  
25 this area.

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-8691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 MR. UTZ: Do you have something?

2 MR. KENDRICK: In line with that, is this pressure of  
3 the Number 5 pressure without production in the well?

4 THE WITNESS: Yes.

5 MR. KENDRICK: Right after completion at that time?

6 THE WITNESS: Right. We completed the -- swabbed it  
7 back and kicked off and we ran a bottom low pressure.

8 MR. KENDRICK: Thank you.

9 Q (By Mr. Utz) Now, the blue circle is for your Don Ne Pah  
10 No. 2 and the No. 6?

11 A That's right. We have -- we just got the pressure  
12 information in yesterday, and we just added on the Don Ne  
13 Pah No. 2 was 924 pounds and the Santa Fe Pacific Railroad  
14 No. 6 was 920 pounds at this date.

15 Q Now, what date was that pressure?

16 A That pressure was taken -- let's see, it was taken this  
17 weekend.

18 Q 11-14? Is that close enough?

19 A 13, Friday, 11-14, right.

20 Q Now, your discovery date on your No. 1 Don Ne Pah was what?

21 A It was 6-2, June the 6th -- June the 2nd, 1970.

22 Q How much production did you have between those two dates?

23 A The production between the two dates has been sixty-three  
24 thousand -- about five hundred barrels.

25 Q Now, the pressure dropped -- it's been ninety pounds,

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

259 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 according to your testimony; is that correct?
- 2 A Approximately ninety pounds, yes.
- 3 Q Okay. Now, are all these pressures shown on Exhibit 8
- 4 proported to be stabalized pressures?
- 5 A Yes, they are.
- 6 Q And how long --
- 7 A With -- yes. They are stabalized pressures. Some of the
- 8 build ups -- okay. They are all -- they all are in
- 9 excess of seventy-two hours, with the exception of the
- 10 initial pressure, which is the Don Ne Pah No. 1, which
- 11 was a drill stem test measurement pressure, and it was
- 12 shut in ninety-nine minutes. However, it did stabalize.
- 13 Q Now, it's your contention that there is a gas capping
- 14 field?
- 15 A Yes, there is.
- 16 Q Now, do you propose to complete any of these oils in the
- 17 gas cap?
- 18 A No, sir. We do not.
- 19 Q Not perforate it below the gas in all cases?
- 20 A In all cases. In the event that sometime down the road
- 21 we want to consider reinjection, we would probably reinject.
- 22 Possibly reinjection into the gas cap, we'd have to
- 23 perforate it then.
- 24 Q We reiterate your request here as far as the pool rules
- 25 are concerned. You're asking for eighty acres spacing

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
 209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 credit for oversized units; is that correct?

2 A That's correct.

3 Q And flexible proration units north, south, east or west?

4 A Yes.

5 Q Proration factor of two?

6 A That's correct.

7 Q GOR two thousand to one?

8 A With provision for quarterly well tests.

9 Q Right.

10 A Okay. Yes, sir.

11 Q And a spacing within the proration unit of 330 feet from  
 12 a quarter to quarter section line?

13 A That's correct.

14 Q Did I miss anything?

15 MR. KENDRICK: In line with these proposed lots he  
 16 asked from the tract line instead of the forty acre line in  
 17 response to one of my questions where that twelve acre lot  
 18 would be added to a forty acre tract. He asked for 330 feet  
 19 from the tract line instead of forty acre line.

20 Q (By Mr. Utz) Do you know how wide these lots are?

21 MR. KENDRICK: They're about 300 feet.

22 A They're about 300 feet, something like that.

23 Q So that would put them right almost on the quarter section  
 24 line, wouldn't it?

25 A Possibly.

dearnley-meier

1 Q Is that an indication --

2 A This does not really present a problem unless it --  
3 because all our wells that have been drilled at this  
4 point have been drilled in the normal forty acre location.  
5 And as I can see right now, we are the only ones that  
6 would be affected. I see no real problem at this point.

7 Q I think I missed one stipulation that you made in regard  
8 to the rules. You want fixed spacing northwest and  
9 southeast?

10 A Yes, sir.

11 MR. UTZ: Other questions of the witness?

12 MR. STEVENS: If you do decide to reinject the gas  
13 produced into the gas cap do you think that you would be  
14 reinjecting all the gas produced in the field at that time?

15 THE WITNESS: This is one of the considerations that  
16 we're now making on what to do with the gas and exactly how to  
17 do it, which is most beneficial. I would imagine we -- that one  
18 of the things we're considering are reinjecting not only produced  
19 gas, but also reinjecting makeup gas from the field. And also  
20 from the south Hospah.

21 MR. UTZ: Further questions?

22 MR. STEVENS: One more, if I might. In your opinion,  
23 would eighty acre spacing be adequate for possible secondary  
24 recovery in the future? For example, water floods. For  
25 example, the spots. Would there be a considerable amount of

1 oil left in the cusps on eighty acre spacing as opposed to  
2 forty?

3 THE WITNESS: No. In our opinion -- and this is one  
4 of the primary reasons that we're desiring of the eighty acres  
5 and of the fixed spacing is that it's probably more desirable  
6 for a secondary recovery. We find that the -- say the recovery,  
7 percent recovery, for breakthrough is greater than of the --  
8 the greater the distance between the wells. I think our overall  
9 efficiency would be much improved with the wider spacing and,  
10 yes, I think there's no problem as far as -- we feel that this  
11 is the optimum spacing for a secondary or pressure maintenance  
12 program at this time.

13 Q (By Mr. Utz) Do you have any data as to your producing  
14 GOR pressure cap?

15 A Yes, we do. Actually, the field gas oil ratio as of  
16 October was probably 2437 to one. Now, that's a total  
17 with all the gas produced in the oil. The Don Ne Pah, the  
18 current gas oil ratio average during the month of -- 5067  
19 to one.

20 Q This is Don Ne Pah No. 1?

21 A Right.

22 Q 5067?

23 A Yes, sir. To one. The gigosa was 996 to one. The Santa  
24 Fe Pacific Railroad was 2805 to one.

25 Q That's the No. 1?

dearnley-meier

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 A Right. Santa Fe Pacific Railroad No. 1 and the Santa Fe  
2 Pacific Railroad No. 3 was 708 to one. And I have no  
3 other individual tests on the recent wells other --  
4 specific information other than they are in the 900 to  
5 one range. All the rest of the wells are less than a  
6 thousand to one, with the exception of No. 6, which we're  
7 presently completing and we have mechanical problems with  
8 it, and we're still really in the process of completing  
9 working it over.

10 Q Won't your No. 1 be a penalized well?

11 A It probably would be this month, yes.

12 Q Is that the highest month that you've already noted on it?

13 A Yes. We've seen the gradual increase since its completion.  
14 During the month of August it was 1112 to one. During  
15 the month of September it was 1608 to one. This is based  
16 on a very -- this is gross gas versus gross oil.

17 Q Thank you.

18 MR. UTZ: Other questions of the witness? You may be  
19 excused. Do we have further testimony?

20 MR. STEVENS: Mr. Examiner, I'd like to ask you a  
21 question. We'd like to get in the record the fact that one well  
22 was completed on a certain date. Should I call Mr. Williams and  
23 ask him to present that evidence? It's in your file, or would  
24 you like to send Commission Notice of it?

25 MR. UTZ: Well, tell us which well it is. We can

1 take administrative notice of it.

2 MR. STEVENS: It's Tosoro No. 16, and it's Unit  
3 C of Section 7 and it was completed November 25th, 1968 with  
4 eighty-one barrels of oil plus eleven barrels of water per day  
5 through perforation 2520 to 50 out of the Dakota formation.

6 MR. UTZ: Completed when, now?

7 MR. STEVENS: November 25, 1968.

8 MR. UTZ: What was the location again?

9 MR. STEVENS: It's C of Section 7.

10 MR. UTZ: 25 what?

11 MR. STEVENS: 2521 to 2538.

12 MR. UTZ: I believe I excused the witness, didn't I?  
13 If I didn't, I do so now. No further testimony? I'll have  
14 statements in this case, please. Do you have a statement?

15 MR. STEVENS: I'd like to make a statement.

16 MR. UTZ: Go right ahead.

17 MR. STEVENS: Mr. Examiner, I'm representing Alan  
18 Antweil. Mr. Antweil has pointed out that Well No. 16 in  
19 Section 7 was completed in 1968 as a producer in the Dakota.  
20 Testimony of the witness was that it was the Dakota B. Other  
21 pools in New Mexico, perhaps many of them, perhaps most of them  
22 cover hundreds of feet of vertical section all commingled with  
23 various pressures and minor pressure differences. We feel  
24 this pool probably should be spaced the same way that the  
25 discovery should be considered the same, and that these various

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

200 SIMMS BLDG. • P. O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 sands come and go. We think also that there's evidence  
 2 submitted that there's communication of the various A, B, C  
 3 and D zones of the Dakota and as much as there's no proof that  
 4 the fault is a sealing fault, plus this is some evidence that  
 5 the faults northeast and southwest may be in contact sufficient  
 6 to provide communication and, therefore, pressure interchange.  
 7 Therefore, in this basis, this well No. 16 was completed by  
 8 Tosoro in 1968. It, then, would be the discovery well for the  
 9 Dakota formation, even though it might be different from the  
 10 Dakota D, it's only a few feet, or a few dozen feet, separated  
 11 from it vertically.

12 Mr. Antweil has no objection to eighty acre spacing  
 13 as long as the usual Commission rule is in that additional  
 14 wells can be drilled on the eighty, but there would be no  
 15 increase in the allowable. Other than that the eighty acre  
 16 spacing would be acceptable to him. But he does feel, however,  
 17 that the discovery allowable for the field should be considered  
 18 to be Well No. 16 of Tosoro since it was completed earlier in  
 19 the Dakota formation.

20 Alan Antweil's interest in the field, he has bid for  
 21 a lease in the southwest quarter of Section 18 from the Navajo  
 22 Tribe and presumably will be issued that lease soon.

23 MR. UTZ: I've been looking for that name throughout  
 24 the hearing. I just found it.

25 MR. STEVENS: That was your question, wasn't it?

1 MR. UTZ: Are there other statements?

2 MR. BATEMAN: Mr. Commissioner, I believe that the  
3 testimony today strongly indicates that the fault of the sealing  
4 fault, there is no evidence of any commingling in the Dakota  
5 zones south of the fault. I do not believe that Well No. 16  
6 was completed into the D zone, which would put it in a category  
7 with Discovery Well in the D zone. There's also strong  
8 evidence of pressure communication and ability to effectively  
9 drain the eighty acres south of the fault. And with regard to  
10 the rigid well location that's requested by the applicant, I  
11 think it was well pointed out that the request that was made  
12 with the view toward conservation, particularly with the view  
13 toward secondary recovery in this particular situation and that  
14 all of the testimony warrants the Commission's granting the  
15 application on a temporary basis requested for a year. Nothing  
16 further.

17 MR. UTZ: Any other statements? The case will be  
18 taken under advisement. We'll reopen the case. There's a  
19 letter to be read in the record.

20 MR. HATCH: Telegram from Gulf Oil Corporation  
21 addressed to the Oil Conservation Commission, dated November the  
22 16th, 1970, regard Case No. 4457, Examiner Hearing November 18,  
23 1970. Gulf Oil Corporation is an offset operator of Tenneco's  
24 Don Ne Pah Well No. 1, Unit D Section 18, 17 south, 8 west,  
25 McKinley County, New Mexico. And we object to the proposed

dearnley-meier

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 field rule providing for fixed well locations. We recommend  
2 that a well be located within 150 feet of the center of either  
3 quarter section. I think that probably should be either  
4 quarter quarter section. We do not object to the eighty acre  
5 spacing provision on a temporary basis.

6 MR. UTZ: Is there a representative of Gulf Oil Company  
7 here? The case will be taken under advisement again.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E XWITNESSPAGE

A. DEAN RIAL

Direct Examination by Mr. Bateman	3
Cross Examination by Mr. Kendrick	19
Cross Examination by Mr. Stevens	23
Cross Examination by Mr. Utz	31

E X H I B I T S

Applicant's Exhibits 1 through 8	2
----------------------------------	---

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-8691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 871081  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS  
209 SIMMS BLDG. • P. O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 STATE OF NEW MEXICO )  
2 ) SS  
3 COUNTY OF BERNALILLO )

4 I, LINDA MALONE, Court Reporter, do hereby certify that  
5 the foregoing and attached Transcript of Hearing before the New  
6 Mexico Oil Conservation Commission was reported by me; and that  
7 the same is a true and correct record of the said proceedings  
8 to the best of my knowledge, skill and ability.

*Linda Malone*  
\_\_\_\_\_  
Court Reporter

10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Bernalillo hearing of Case No. 4457  
heard by me on *1/18/70*.  
*Linda Malone*  
\_\_\_\_\_  
Court Reporter  
New Mexico Oil Conservation Commission