

dearnley-meier reporting service, inc.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Santa Fe, New Mexico

February 23, 1971

REGULAR HEARING


IN THE MATTER OF:

Application of Tenneco Oil Company
for the creation of a new pool,
assignment of discovery allowable,
and promulgation of special pool
rules, McKinley County, New Mexico.

Case No. 4457
(De Novo)

BEFORE: Mr. A. L. "Pete" Porter
Mr. Alex J. Armijo

TRANSCRIPT OF HEARING



1 MR. PORTER: We'll take up, next, Case 4457.

2 MR. HATCH: Case 4457, continued from the February
3 17th, 1971 hearing. Application of Tenneco Oil Company for
4 the creation of a new pool, assignment of discovery allowable,
5 and promulgation of special pool rules, McKinley County,
6 New Mexico.

7 (Whereupon, Applicant's Exhibits
8 Numbers 1 through 17, inclusive,
were duly marked for identification.)

9 MR. PORTER: Mr. Bateman, Mr. Hatch will swear your
10 witnesses.

11 (Witnesses sworn.)

12 MR. BATEMAN: If the Commission please, I have a
13 brief statement to read into the record before we begin.

14 MR. PORTER: You may proceed, Mr. Bateman.

15 MR. BATEMAN: Thank you. Tenneco Oil Company, by
16 its application in this case, seeks primarily to create a new
17 oil pool in a designated area, McKinley County, New Mexico.
18 In addition to the application, it concerns the assignment of
19 an oil discovery allowable, Tenneco's discovery well, the
20 Don-ne-pah well number 1 located in the northwest of the
21 Northwest Quarter, Section 18, Township 17 North, Range 8 West,
22 of course, in McKinley County.

23 In conjunction with the creation of a new pool,
24 special rules for the regulation of the pool are requested.
25 These proposed rules principally provide for the development

1 of the pool on 80-acre spacing in proration units.

2 Before proceeding with the testimony, however, it
3 should be pointed out that there has been a change in circum-
4 stances that has occurred since the application in this case
5 was originally filed. The application was filed in October of
6 1970. Considerable development has taken place in the pool
7 since that time, and the original application contained
8 provisions for fixed locations for wells drilled on the 80-acre
9 proration units.

10 Those locations were designated to be in the
11 northwest and the southeast quarter of each quarter section.

12 In the ensuing period of time, however, two wells
13 have been drilled in off-pattern locations, and the third is
14 being drilled in at the present time. Since off-pattern wells
15 have been drilled in the pool, correlative rights are
16 definitely affected.

17 We feel that it would not be equitable to exempt
18 these off-pattern wells from the requirements of fixed
19 locations and proceed to impose a rigid standard and outline
20 for future wells to be drilled in the pool. Tenneco therefore
21 is waiving its request for fixed locations.

22 MR. PORTER: All right.

23 MR. HATCH: May I say something here. You're not
24 wanting to foreclose the Commission if --

25 MR. BATEMAN: No.

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 MR. HATCH: If they wish to have fixed locations?

2 MR. BATEMAN: That's correct, Mr. Hatch. That's
3 correct.

4 MR. HATCH: And you're not suggesting, or are you,
5 that the Commission would have to grant 80-acre spacing on
6 those wells that are not on --

7 MR. BATEMAN: No, I'm not suggesting that at all,
8 sir. I'm just pointing out that there has been, in fact, the
9 change of circumstances that significantly affect the question
10 of fixed locations; that is, the drilling of off-pattern wells.

11 Since the application in this case was originally
12 filed in October of 1970, we feel that we should point this
13 out to the Commission before proceeding. Does that clarify it?

14 MR. HATCH: I think so.

15 MR. PORTER: I believe what you are saying now, is,
16 actually, you are revising your application to make it
17 flexible because of the fact that three wells are drilled off
18 pattern. Now, as I understand it, if the Commission should
19 desire to grant the 80-acre spacing and retain the fixed
20 pattern, then the Commission itself will determine what they'll
21 do with four of the wells that are off pattern.

22 MR. BATEMAN: That's correct.

23 MR. PORTER: Okay.

24 MR. BATEMAN: The first witness is Mr. Dean Rial.
25

DEAN RIAL

1
2 called as a witness, having been first duly sworn, was
3 examined and testified as follows:

DIRECT EXAMINATION

4
5 BY MR. BATEMAN:

6 Q Mr. Rial, have you previously testified before the
7 Commission?

8 A Yes, I have.

9 Q Have you stated your qualifications into the record?

10 A Yes, I have.

11 MR. BATEMAN: Are the witness's qualifications
12 acceptable?

13 MR. PORTER: Yes, they are.

14 Q Mr. Rial, would you refer to your Exhibit Number 1 and
15 tell the Commission what is reflected in that exhibit.

16 A Exhibit Number 1 is a data map and shown on here by the
17 red arrow is the location of the Don-ne-pah Number 1,
18 the discovery well for the proposed Lone Pine Pool
19 located in the Northwest Northwest of Section 18 of
20 17 North and 8 West in McKinley County, New Mexico.

21 Shown within a radius of the circle here, a radius
22 of two miles, are the locations of all wells drilled and
23 all locations of record within this two-mile area.

24 We also show here the producing oil and gas wells
25 and the formation from which each well is presently

1 producing. The formation code is located in the legend
2 at the bottom of the map.

3 We've shown here all locations and total depth of
4 all dry holes in the area. All wells completed in the
5 Dakota "D" Zone are identified by the green dots, and
6 all wells completed in the other Dakota Zone, the
7 Dakota "A" or "B," are shown by the red dots.

8 Shown here in the proposed pool is the outline of
9 the Lone Pine Pool as reflected by Commission Order
10 R-4084 dated December the 22nd, 1970.

11 We show here the names of all lessees of record
12 and all operators within this area. The most that should
13 be noted here I believe is that the land is composed of
14 Indian allotted lands leased from the federal government
15 and the fee lands leased from Santa Fe Pacific Railroad.

16 Q Mr. Rial, continue to Exhibit Number 2. It appears to
17 be a log of Don-ne-pah Number 1, and tell the Commission
18 what relevance Exhibit Number 2 has to the application.

19 A Exhibit Number 2 is a copy of a dual induction log,
20 lateral log of the discovery well, the Don-ne-pah
21 Number 1. This log was measured to a total depth of
22 2946 feet.

23 Now, noted here are the vertical limits of what we
24 define as the Dakota "D" Zone. This is the zone from
25 2792 to 2834. Now, this is the zone of question and

1 the zone of reference in our related testimony in our
2 application today.

3 Also shown here are the vertical limits of what
4 we've classified the Dakota "A" and the Dakota "B" and,
5 also, upwards 1738 feet, we see the other producing
6 zones in the immediate area, the Upper Hospah Zone and
7 the Lower Hospah Zone.

8 Also shown are the initial perforated intervals in
9 the Dakota "D" Zone of 2802 to -21, and 2827 to -29.
10 This is the first oil production in the "D" Zone in this
11 immediate area and is the deepest oil production in
12 McKinley County.

13 As we have noted here, the Dakota "A" and the "B"
14 and the "D" are all distinct sand intervals. They are
15 separated by more or less a shale zone. This defines
16 that throughout the area, that there's no vertical
17 communication or coalescence of the sands, that they
18 are distinct and separate intervals that can be
19 correlated across the area.

20 We are therefore defining the vertical limits of
21 the Dakota "D" Zone as they are shown on this log in
22 the Don-ne-pah Number 1 from 2792 to 2834.

23 Q The gray area on Exhibit Number 2 then indicates
24 impermeable shale units, is that correct?

25 A Yes. This shows the separation between the distinct sand

1 units.

2 Q Continue then to Exhibit Number 3 which is a structure

3 map and indicate its significance to the application.

4 A Exhibit Number 3 is a structure map drawn on the top of

5 the Dakota "B" Zone as defined in Exhibit 2. This map

6 is primarily presented to exhibit the separation, the

7 structural configuration and separation of the proposed

8 Lone Pine Pool from the existing Hospah Pool located

9 up in Section 1 of 17 North and 9 West, and the South

10 Hospah Pool essentially located in Section 12 of

11 17 North, 9 West.

12 Shown on here is Fault B which is a normal down

13 to the north fault. That fully separates the production

14 from the Hospah Pool in Section 1 and the South Hospah

15 Pool in Section 12.

16 Shown here also is Fault A which is a normal down

17 to the south fault which separates the proposed Lone

18 Pine Pool and the South Hospah Pool. Fault A is

19 identified in actually five wells.

20 Now, these wells are located or identified by the

21 orange notations just to the north along the northeast

22 portion of Fault A.

23 What we see here is that the fault has a throw of

24 a hundred and, about, seventy-five feet and then

25 followed by that is the subsea depth at which the fault

1 was identified in each specific well. The fault has a
2 displacement as can be seen here about 120 to 175 feet
3 in the northeast portion.

4 As you will notice in the southwest portion of the
5 fault, across our contour lines, that the fault only has
6 a displacement of about 50 feet at that point. To under-
7 stand this, let's look at Fault C. This fault is a
8 normal down to the north fault that acts as a relief
9 fault to Fault A. It's identified in the subsurface
10 in Tenneco's Santa Fe Pacific Railroad Well Number 10
11 located in the northwest of the northeast of Section 13
12 of 17 North and 9 West. Shown there in orange is the
13 fault at a plus 6041 having a throw of about 110 feet.

14 The net result of this fault is to reduce the throw
15 of the Fault A in the southwest portion to approximately
16 in the neighborhood of 50 feet. The wells presently
17 producing from the Dakota "D" Zone are noted again in
18 green; the Don-ne-pah Number 1 which is located in the
19 northwest northwest of Section 18 is the first well that
20 was drilled in this pool.

21 Three gas wells located north of Faults A and C
22 were completed in the Dakota "D" Zone prior to the
23 drilling and completion of the Don-ne-pah Number 1.

24 These are the Tesoro, Santa Fe Pacific Railroad
25 Number 17 in the southeast of the northwest of Section 11,

1 17 North and 8 West, and Tenneco's Hospah Number 10 and,
2 also, the 23 identified by the red dots in Section 12 of
3 17 North and 9 West.

4 It should be noted that the gas production in the
5 Hospah 23 and 10 are commingled with the Dakota "A" and
6 the "B" Zones, and oil production occurs in the
7 Dakota "D" Zone north of Fault A. Also shown here, and
8 that would set a reference as far as the productive
9 limits within the testimony, shown here is the limits
10 of the Dakota "D" Zone and oil-water contact shown at a
11 subsea datum of plus 4212.

12 This oil-water contact is based on the perforations
13 in the Kagosa Number 1. That's located in the northwest
14 of the southeast of Section 18, and Gulf's Connelv
15 Federal Number 1 which is in the northwest southwest of
16 Section 17, 17 North and 8 West.

17 The Gulf's well was a dry hole and has been plugged
18 and abandoned.

19 Also shown here is a transition zone that exists
20 between the oil-water contact and the free-oil producing
21 areas. Now, this is designated in the cross hatched
22 areas.

23 A gas cap is also present, the contact is shown at
24 a subsea datum of plus 4260. This is based on core
25 analysis and completion data from Santa Fe Pacific

1 Railroad Number 6 in the southeast northeast of
2 Section 13, 17 North and 9 West. We feel that this is a
3 separate and distinct pool, accumulation of oil, and that
4 Faults A and C are both sealing faults and separates
5 any production from the north fault in the Faults A and
6 C in the South Hospah.

7 To show the existence of the sealing fault between
8 the proposed Lone Pine Pool and the South Hospah Pool,
9 I'd like to show you two cross-sections. The lines
10 shown here are A to A prime and B to B prime. These
11 will be discussed in Exhibits 4 and 5.

12 Q Let's continue then to Exhibits 4 and 5.

13 A Exhibit A is a cross-section from Tenneco's Wiggam
14 Number 3 to Tenneco's Don-ne-pah Number 1.

15 Q That's Exhibit 4.

16 MR. PORTER: I believe he meant Exhibit 4, AA prime.

17 THE WITNESS: Right. Exhibit 4, AA prime. This
18 shows Fault B and also the location of Fault A and the sub-
19 surface location of Fault C. Shown in crossover column here
20 are the gas-producing zones colored in yellow and the oil
21 colored in green. The producing zones are colored, but the
22 nonproducing are not colored.

23 The Exhibit Number 5 cross-section, BB prime is a
24 north-south cross-section connecting the Santa Fe Pacific
25 Railroad, Tesoro Oil Company, Santa Fe Pacific Railroad

1 Number 17 which was completed as a gas well in the Dakota "D"
2 Zone to the Don-ne-pah Number 1 which was completed as an
3 oil well in the "D" Zone.

4 Here, we show the subsurface positions of Fault A
5 and Fault C and again showing the separation of production.

6 Q To re-emphasize, Mr. Rail, I believe Exhibits 4 and 5
7 indicate you have a separate source of supply here.

8 A Yes, they do.

9 Q All right. Continue to Exhibit Number 6 which is
10 completion data on the Dakota "D" Zone, please. Explain
11 these data to the Commission.

12 A Exhibit Number 6 is a tabulation of the completion data
13 of the Don-ne-pah Number 1, and the other three existing
14 Dakota "D" producing wells in this two-mile radius.

15 These three wells were completed prior to the
16 drilling of the Don-ne-pah Number 1. It is of importance
17 to note that all three wells are located north of
18 Fault A and C and are all gas producing wells. The
19 Don-ne-pah Number 1 is an oil well.

20 Exhibit Number 7 is a tabulation of the reservoir
21 data, the Dakota "D" Zone in the Lone Pine Pool. This
22 was taken as representative of the reservoir properties,
23 and is taken from a core analysis, bottom-hole pressure
24 build ups and crude oil samples and PVT data.

25 Q As I understand it, the next witness will have more to

1 say about Exhibit 7, is that correct?

2 A Yes. He will go into the reservoir properties in more
 3 detail.

4 Q All right. Would you summarize your testimony, so far.

5 A We have shown, identified the vertical limits of the
 6 Dakota "D" Zone. We have shown that there's vertical
 7 separation between the "A" and the "B" Zones and we have
 8 established that the Don-ne-pah Number 1 is the first
 9 and deepest oil production in McKinley County.

10 Q Were Exhibits 1 through 7 prepared by you or under your
 11 direction?

12 A Yes, they were.

13 MR. BATEMAN: All right. This concludes Mr. Rial's
 14 direct testimony and we'll give the Commission an opportunity
 15 to cross examine.

16 MR. PORTER: You will submit all your exhibits, I
 17 assume, at the same time?

18 MR. BATEMAN: Yes.

19 MR. PORTER: Any questions?

20 CROSS EXAMINATION

21 BY MR. NUTTER:

22 Q Mr. Rial, up here in the north fault of Fault A, you
 23 mentioned that you had three wells that produced gas
 24 from the "D" Zone. Is this correct?

25 A That's correct.

1 Q The one green one to the east and then these two that
2 are colored in red, and the reason of them being colored
3 in red is because they are commingled in the well bore
4 with the Gallup, is that it?

5 A No. They are commingled with the Dakota "A" and "B"
6 Zone and they are all gas. There's no oil being produced
7 in the commingled wells.

8 Q Was there created a gas-oil pool for the "A" and "B"
9 up there?

10 A No, not to my knowledge.

11 MR. PORTER: Mr. Kendrick, would you shed some
12 light on that point?

13 MR. KENDRICK: We created an oil pool; that was the
14 oil pool created last week by the "A" and "B" Zones and the
15 Marsh's Zone. There's an oil well in Section 7 of 17/8,
16 Tesoro's Santa Fe Number 16 in Unit C. There's an oil well
17 in Unit P of Section 11, 17/9 being Texaco's Wiggam Number 2
18 which produced oil downdip from this gas in other zones than
19 the "D" Zone, but as an overall picture, I considered all this
20 gas cap for oil lying downdip. I have not yet found downdip
21 oil wells in the "D" Zone to the east or to the southwest,
22 but the current use of the gas of the area is below what the
23 gas would be as an oil pool.

24 MR. PORTER: Thank you.
25

1 MR. NUTTER: So you don't feel that there's any high
2 withdrawals then from the gas zone than there should be --

3 MR. KENDRICK: No. No, there are no gas pool facili-
4 ties in the area so the only gas that's used is lease-used gas
5 within the pools, so their own use at this time is not being
6 curtailed by this being an oil pool.

7 MR. NUTTER: Okay.

8 Q (Mr. Nutter continuing) Now, I have just one other short
9 question, Mr. Rial. Is there any production at all between
10 the fault of Fault C and A, or --

11 A No. No production.

12 MR. NUTTER: That's all. Thank you.

13 MR. PORTER: Does anyone else have a question of
14 Mr. Rial? You may be excused.

15 MR. BATEMAN: The next witness of Tenneco is
16 Mr. Bill Melnar.

17 WILLIAM C. MELNAR

18 called as a witness, having been previously duly sworn, was
19 examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. BATEMAN:

22 Q Mr. Melnar, will you state your full name and occupation
23 and place of residence.

24 A My name is William C. Melnar. I'm the District
25 Petroleum Engineer in Denver for Tenneco Oil Company.

1 I live at 7908 West Harvard Drive in Denver.

2 Q Have you previously testified before the Commission?

3 A No, I haven't.

4 Q Would you state briefly into the record your educational
5 background and work experience.

6 A I graduated from the University of Texas, Bachelor of
7 Science degree in petroleum engineering on January, 1958.

8 Since graduation or for the past 13 years, I have
9 worked for Tenneco Oil Company as a petroleum engineer;
10 the majority of this experience has been in reservoir
11 engineering.

12 Q Are you familiar with the area in question in the
13 application today?

14 A Yes, I am. I have been involved with this field since
15 its discovery.

16 MR. BATEMAN: Are the witness's qualifications
17 acceptable?

18 MR. PORTER: Yes, they are.

19 Q All right, Mr. Melnar. Would you refer to Exhibit
20 Number 8 and identify it and state what relevance it has.

21 A Exhibit Number 8 is a core analysis report on the
22 Dakota "D" Zone in Santa Fe Pacific Railroad Number 6.
23 Based on all the available data, I believe this report
24 represents typical rock properties for the reservoir.

25 As described, the rock is a white to gray, very fine,

1 medium silty sandstone. The porosity is very good,
2 and averaging 21.7 percent. The permeability is also
3 very good and averages 243 millidarcies.

4 As you can see, it generally ranges from about 50
5 to 600 millidarcies, and the rock is not fractured. In
6 summary, it's a very excellent rock.

7 Q How does the porosity and the permeability in the
8 Hospah and South Hospah Pool compare with the proposed
9 Lone Pine Pool?

10 A Exhibit 9 shows this comparison real well. As you can
11 see, the porosity for the deep D zone in the Hospah Pool
12 and South Hospah Pool is about 20 percent and similar
13 to the Lone Pine field.

14 However, the permeability ranges only from one to two
15 millidarcies, whereas, in the Lone Pine Pool, permeability
16 ranges from 67 to 221 millidarcies.

17 Q Would you refer again to Exhibit Number 7 that was
18 discussed and discuss the reservoir oil properties.

19 A As shown on Exhibit 7, the reservoir temperature is 108
20 degrees Fahrenheit. The original reservoir pressure is
21 1010 psig. This pressure is also the bubble point
22 pressure.

23 The oil has an API gravity point of 54 degrees and
24 contains 970 standard cubic feet of gas in solution per
25 barrel at above the 1010 psig bubble point.

1 The reservoir viscosity is a very favorable .25
2 centipores. This low viscosity results in the Dakota
3 "D" oil being a very mobile oil.

4 For comparison, the reservoir viscosity of the
5 Lower Hospah oil in the South Hospah field just north
6 of the Lone Pine field is 55 centipores or, in other
7 words, 220 times more viscous than the Dakota "D" oil.

8 Q All right. Now, Mr. Melnar, let's move on to Exhibits
9 10 and 11 and, first, identify both of these exhibits.

10 A Exhibit Number 10 is a well location map of the Lone
11 Pine field shown by the circled numbers above the well,
12 the order in which the wells were completed, and below
13 the well are initial well bottom-hole pressure and this
14 pressure is at a plus 4250 datum. It's located on the
15 top left, the date of the pressure, below the line, and
16 the cumulative oil production from the reservoir at the
17 time of the pressure survey in the top right portion.

18 Exhibit 11 is a pressure production history of the
19 Lone Pine field. The curve that is declining is a plot
20 of reservoir pressure at a datum of plus 4250 versus time
21 and the curve that is inclining is a plot of cumulative
22 oil production versus time.

23 Can I go on back to Exhibit Number 10? Okay.
24 Going on back to Exhibit Number 10, you can note that
25 the first well completed, the Don-ne-pah Number 1 which

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 is indicated by the red circle with the number one in
2 it, had an initial pressure of 1010 psig on June the
3 2nd, 1970.

4 The second well completed, the Kagoso Number 1
5 located 3700 feet to the southeast of the Don-ne-pah
6 Number 1, or on 160-acre spacing, had initial pressure
7 of 980 psi on July the 21st, 1970, at which time the
8 cumulative oil recovery from the reservoir was 5000
9 barrels of oil.

10 Now, this shows that 5000 barrels of oil production
11 from the Don-ne-pah Number 1 lowered the reservoir
12 pressure 30 psi over a distance of 3700 feet. Now, I
13 say that this is excellent pressure communication.

14 Now, the third well, the Santa Fe Pacific Railroad
15 Number 1 was then completed 3500 feet southwest of the
16 Don-ne-pah Number 1 and approximately one mile west of
17 the Kagoso Number 1. Its pressure on August the 12th,
18 1970, was 949 psi, or a decrease of another 31 psi.
19 Cumulative recovery at this time was 9100 barrels of oil.
20 This, too, shows drainage over areas of at least
21 equivalent to 160-acre spacing.

22 Now, let's refer to Exhibit Number 11. Let's refer
23 to the curve that is declining. The pressures for the
24 Don-ne-pah Number 1, the Kagoso Number 1 and the Santa
25 Fe Pacific Railroad Number 1 which we just discussed

1 are shown on the curve as a square, triangle, and circle.
 2 This is in the months of June, July and August.

3 Now, the next point on the curve which is colored
 4 green is an average pressure taken from a fieldwide
 5 shut-in on October 27th, 1970. This pressure is 926 psig.

6 Then on November the 9th, 1970, we completed the
 7 Santa Fe Pacific Railroad Number 5 as a diagonal 80-acre
 8 offset to the Number 1. We'll refer to Exhibit 10 and
 9 see the relationship.

10 Number 5 is indicated with a green dot, and the
 11 pressure for Number 5 was 930 psi or almost the same as
 12 the fieldwide pressure taken a few days earlier. This
 13 is another example of excellent drainage on a spacing
 14 greater than 40 acres.

15 Q Mr. Melnar, please continue to Exhibit Number 12 and
 16 identify that and discuss its relevance.

17 A Exhibit 12 shows the results of a fieldwide pressure
 18 survey taken December the 31st, 1970. The letter, or the
 19 circled letter above each well designates the type of
 20 survey. The B for subsurface pressure taken with a bomb,
 21 and FL for a fluid level measurement with a sonometer
 22 (son-o-log) device.

23 MR. PORTER: What was the date of this survey?

24 THE WITNESS: December 31, 1970.

25 The number to the right of the well is the pressure.

1 reservoir pressure at a datum of plus 4250. The
2 numbers below the well are, from left to right, the
3 cumulative oil, cumulative water, and cumulative gas
4 production as of December 31st, 1970.

5 Now, in this survey, all the wells were shut-in,
6 all the wells in the reservoir were shut-in at the same
7 time for a minimum of 48 hours. We know from experience,
8 with pressure buildups in this field that the reservoir
9 static pressure is reached in four to twenty -- from
10 four to twenty-four hours. Therefore, the 48 hour
11 shut-in was more than sufficient to reach a static
12 pressure.

13 Now, analysis of this pressure survey again indicates
14 the reservoir to be acting as a unit. The individual
15 pressures in the productive area only range from 900 to
16 926 psig and average 915 psig. I believe a big portion
17 of this 26 psig range is probably due to pressure
18 measurement accuracy.

19 Two other points I would like to make in this
20 exhibit are, one, Santa Fe Pacific Railroad Number 9
21 which is located in the Southeast of the Northwest of
22 Section 13, without any production, had a pressure
23 similar to its offsets. Its pressure was 906 and its
24 offsets all in production had pressures ranging from 900,
25 922.

1 Secondly, the Bah-E Wells located in the Southwest
2 Section or Southwest Quarter of Section 18, with only
3 300 to 400 barrels of oil production prior to the survey,
4 also had pressures similar to their offsets. The fact
5 that Well Number 1 is essentially offset on 80-acre
6 spacing units and Well Number 2 is offset on 40-acre
7 spacing did not affect their pressures.

8 To further illustrate the fact that the reservoir
9 is acting as a unit, that it can be drained on 80-acre
10 spacing, let's refer to Exhibit Number 11 again.

11 The average pressure on December 31, 1970, was
12 915 psi as denoted by the green triangle-shaped figure.

13 The initial pressure from the two Bah-E Wells
14 completed just prior to the survey are described by the
15 red circle and the red square-shaped symbols. Their
16 initial pressures are simply the average reservoir
17 pressure.

18 Q What is the significance of this excellent pressure
19 communication?

20 A It means we have a good reservoir rock with uniform
21 permeability.

22 If any of these wells had encountered lower
23 permeabilities, their initial pressures would have been
24 much higher than their offset wells and could have even
25 approached the original pressure.

1 Secondly, I believe the significance of the good
2 rock and fluid properties and the excellent pressure
3 communication means we can efficiently drain 80 acres
4 with one well.

5 Q Mr. Melnar, let's continue to the next three exhibits
6 which would be Exhibits 13, 14 and 15. Please identify
7 those and state their relevance to the application.

8 A Exhibits 13, 14 and 15 are graphical presentations of the
9 results of the study to determine the effect of 40-acre
10 development with 100 barrels of oil per day per well
11 allowable versus 80-acre development and 200 barrels of
12 oil per day per well allowable on production performance
13 and ultimate recoveries.

14 To perform this study, we analyzed a typical 160-
15 acre section of the reservoir, using a two dimensional
16 three-phase reservoir model computer program. The data
17 required to make this analysis was PVT data, porosity,
18 permeability, net pay, saturations, et cetera. All of
19 this data was measured, was obtained by actual measurements
20 on reservoir rock and fluid properties.

21 Now, Exhibit 13 shows the pressure and cumulative
22 productive performance versus time. The 80-acre develop-
23 ment and 200 barrels of oil per day per well allowable
24 case is shown by a solid line.

25 The 40-acre spacing case is shown by a dashed line,

1 and this same nomenclature is used for these next three
2 exhibits.

3 Referring to the bottom-hole pressure curves, the
4 lower curves, you will note that for the first one and
5 one-half years, the bottom-hole pressures are approximately
6 the same for both cases. Thereafter, they begin to
7 diverge. The middle curves are plots of cumulative oil
8 production versus time. Again, we see that the performance
9 on either spacing is the same for the first one and one-
10 half years.

11 These curves also show that at depletion, the 160-
12 acre tract on 40-acre development would recover 266,000
13 barrels of oil. Cumulative oil recovery on the 80-acre
14 spacing is approximately the same or 260,000 barrels of
15 oil.

16 The upper set of curves are a plot of cumulative gas
17 performance versus time. Again, we see that the
18 performance on either spacing is the same for the first
19 one and one-half years, and ultimately, is a slightly
20 high recovery for the 40-acre case.

21 The next exhibit, Exhibit 14 shows the gas-oil ratio
22 and pressure as a function of time. The lower curves are
23 a plot of pressure versus time and are the same as shown
24 on the previous exhibit.

25 The upper set of curves are a plot of gas-oil ratio

1 for the two cases. For both the 40-acre and 80-acre
2 case, gas-oil ratios are approximately the same for the
3 first one year and eight months.

4 During this time, the gas-oil ratios increased
5 from 1000 cubic feet per barrel to 2700 cubic feet per
6 barrel.

7 The curves also show that it will take one year and
8 five months for the gas-oil ratio for either case to
9 reach 2001.

10 At depletion, ratio for both cases is approximately
11 7000 cubic feet per barrel.

12 The next exhibit, Exhibit 15, shows bottom-hole
13 pressure and gas-oil ratio as a function of cumulative
14 oil recovery. As would be expected from analyzing the
15 past two exhibits, the bottom-hole pressure and gas-oil
16 ratio performance versus cumulative oil recovery are
17 approximately the same for both the 40-acre and 80-acre
18 development.

19 Q Mr. Melnar, would you please summarize then the
20 significance of the last three exhibits.

21 A The model study has shown that for a 40-acre, 100 barrels
22 of oil per day per well development, versus 80-acre,
23 200 barrels of oil per day per well development, the
24 performance for the first one and one-half years is
25 almost identical.

1 Also, as would be expected from this type of
2 reservoir, the ultimate recoveries are almost identical.

3 The actual numbers show the 40-acre case recovering
4 one-half of one percent more of the oil in place or 6000
5 barrels of oil in the 80-acre case. This is on 160 acres.

6 Q How many additional wells do you require for 40-acre
7 development?

8 A 17.

9 Q You testified that an additional recovery of one-half of
10 one percent would result from a 40-acre development.
11 What would be the economic consequences of this
12 additional drilling?

13 A The economic significance of the additional development
14 is shown as Exhibit 16. You can say it would take 17
15 additional wells. These wells would have a total primary
16 oil recovery of 51,000 barrels of oil or a net, after
17 royalty, of 41,820 barrels, for an investment of
18 \$858,900.

19 This is a cost of \$20.50 per barrel.

20 The net income before federal income tax would be
21 at \$112,000 for a net loss of \$746,900.

22 Q Do you believe that the development on 40-acre spacing
23 would result in economic waste?

24 A Yes. It is economic waste because it requires the
25 drilling of unnecessary wells and diverts funds which

1 otherwise could be invested in finding and developing
2 additional reserves which are needed to meet future
3 energy requirements.

4 For example, Tenneco has under lease in the immediate
5 area, over 600,000 acres in which these funds could be
6 utilized for exploratory drilling.

7 Q And all the wells in the field produce, of course, an
8 allowable of 200 barrels of oil a day per 80 acres?

9 A Yes. All except Santa Fe Number 9 which is on the edge
10 of the field and it is limited in capacity.

11 Q Please identify Exhibit 17 and explain its significance.

12 A Exhibit 17 shows the productivity index; that is, two
13 barrels of production per day per psi drawdown for six
14 wells that geographically cover the Lone Pine field.
15 As you can see, the psi's are all greater than one, and
16 range from 1.07 barrels per day per psi on the
17 Don-ne-pah Number 2, to 2.45 barrels per day per psi in
18 the Kagoso Number 1.

19 This means that for a well to produce at 200 barrels
20 of oil per day allowable, the pressure drawdown will
21 range from only 82 psi to 187 psi, and this is not an
22 excessive drawdown.

23 Q How much gas, at present, is produced per day?

24 A Approximately one and one-half million cubic feet per day.

25 Q How much gas would be produced if the field were

- 1 entirely developed on 80-acre spacing with double
2 allowable?
- 3 A Approximately three million cubic feet per day.
- 4 Q Well then, how much gas would be produced if it were
5 developed on 40-acre spacing?
- 6 A Based on past testimony, it would be approximately the
7 same or three million cubic feet per day.
- 8 MR. PORTER: That's for the pool?
- 9 THE WITNESS: For the pool, yes, sir.
- 10 Q Now, there's no market for the gas, is that correct?
- 11 A No, sir. No market.
- 12 Q How far away is the nearest pipeline?
- 13 A The nearest pipeline is approximately 22 miles from the
14 field.
- 15 Q Does Tenneco have any plans for the beneficial use of
16 this gas?
- 17 A Yes, we do. Our plans are to unitize the pools as soon
18 as possible and initiate pressure maintenance operations.
19 Based on our studies to date, it appears that gas
20 reinjection will result in the highest ultimate recovery.
- 21 We plan to call a meeting of the working interest
22 owners in the pool within 30 days to discuss unitization
23 and pressure maintenance.
- 24 We plan to unitize and initiate gas reinjection
25 before the end of the year. In addition, we are

1 investigating the economic feasibility of a gasoline
2 plant and a gas line from the area. We are presently
3 negotiating with a potential gas purchaser on possible
4 rates of take.

5 Q What pool rules do you propose?

6 A One, provision for 80-acre spacing units consisting of
7 two contiguous governmental quarter quarter sections,
8 with no more than two spacing units per governmental
9 quarter section, with provision for nonstandard proration
10 units where the unorthodox size or shape of tract is due
11 to variation in the legal subdivision of the United
12 States Public Land Survey.

13 Two, each well will be located within 330 feet of
14 the exterior line of the quarter quarter section.

15 Three, a standard 80-acre proration unit shall be
16 assigned a 200 percent allowable factor with provision
17 that the allowable assigned to a nonstandard proration
18 unit shall bear the same ratio to the standard allowable
19 as the acreage in such nonstandard unit bears to the
20 80-acre unit.

21 Four, limiting gas-oil ratio of 2000 to one.

22 Five, rules and regulations to be effective for a
23 period of one year from date of order.

24 Q Do you believe that the development of the pool on the
25 basis recommended by Tenneco will prevent waste and

1 protect correlative rights of all the parties involved?

2 A Yes, I do.

3 Q Do you have anything further you'd like to add to your
 4 testimony?

5 A No.

6 Q Were Exhibits 8 through 17 prepared by you or under
 7 your direction?

8 A Yes, they were.

9 MR. BATEMAN: If the Commission please, I offer at
 10 this time Exhibits 1 through 17.

11 MR. PORTER: Exhibits 1 through 17 will be admitted.

12 (Whereupon, Applicant's Exhibits
 13 1 through 17 were duly admitted
 into evidence.)

14 MR. PORTER: At this time, I'd like to ask, does
 15 anyone else desire to present testimony in this case today?

16 We'll take a very short recess.

17 (Whereupon, the hearing stood
 18 in a brief recess.)

19 MR. PORTER: The hearing will come to order, please.
 20 The witness is now available for cross examination, if anyone
 21 has anything. Mr. Utz.

22 Oh, did you have a question?

23 MR. COOLEY: I'll accede to Mr. Utz. I do have
 24 some questions, Mr. Commissioner.

25 MR. PORTER: Since I called Mr. Utz, I'll start

1 with him.

2 CROSS EXAMINATION

3 BY MR. UTZ:

4 Q Mr. Melnar, your Exhibit Number 7, I gather, is the
5 result of several cores in the field.

6 A Yes. That's based on three or four cores, three or four
7 wells which we have cored.

8 Q You did core three or four wells?

9 A Yes, we did.

10 Q How many? Three, or four?

11 A I think it's shown on Exhibit Number 9. We cored one,
12 two, three, four wells.

13 MR. UTZ: Well, that answers my question. That's
14 all the questions I have.

15 MR. PORTER: Mr. Cooley.

16 MR. COOLEY: May it please the Commission, I'm
17 appearing in this case on behalf of Beard Oil Company and
18 Gilbert S. Maxwell, both operators in this pool. I would
19 request permission to cross examine this witness.

20 MR. PORTER: Yes, sir. You may proceed.

21 CROSS EXAMINATION

22 BY MR. COOLEY:

23 Q Mr. Melnar, at the opening of this case, some opening
24 remarks were made by your counsel wherein reference was
25 made to off-pattern well locations. Would you identify

- 1 those locations on one of your exhibits, say, possibly
2 your Exhibit Number 10.
- 3 A Okay. These off-pattern wells would be Maxwell's
4 Bah-E Number 2, Beard's Desh-E-P-Henio Number 2, and
5 Beard's Toledo Number 1.
- 6 Q By referring to these wells as off-pattern wells, what
7 was your understanding of this nomenclature by reference?
8 Was this simply that they were contrary to the fixed
9 pattern that was proposed by the original application?
- 10 A Yes, sir.
- 11 Q At the time they were drilled, however, they were
12 drilled in accordance with the then existing regulations
13 of the Oil Conservation Commission, were they not?
- 14 A Yes, sir.
- 15 Q Would you state the name or names of the offset operators
16 to these wells.
- 17 A The offset operator of all these wells is Tenneco Oil
18 Company.
- 19 Q In your opinion --
- 20 A And, let's see -- that would be all. Just Tenneco.
21 Just Tenneco Oil Company, yes, sir.
- 22 Q Just Tenneco. In your opinion, would the fact that these
23 wells were drilled in a different pattern than those
24 drilled by Tenneco in any way adversely affect the
25 correlative rights of Tenneco Oil Company?

1 A I wouldn't think so.

2 Q In your opinion, will the 80-acre tracts which are
 3 dedicated to these wells be efficiently and effectively
 4 drained by these wells?

5 A I think they will.

6 Q In your opinion, is there any reason for purposes of
 7 correlative rights to restrict or otherwise penalize
 8 these wells because of their locations?

9 A As long as they're just -- as long as there's only one
 10 well per 80 acres, I wouldn't think so.

11 Q Then your answer to that question is "No"?

12 A Yes, is "No," that's right.

13 MR. COOLEY: No further questions.

14 MR. PORTER: Does anyone else have a question?

15 Mr. Kendrick, I believe you had some information to make a
 16 statement, but you were not going to ask any further questions
 17 of the witness?

18 MR. KENDRICK: No.

19 MR. PORTER: Then the witness may be excused and
 20 we'll recognize Mr. Kendrick. As I indicated, he's about to
 21 make a statement.

22 MR. KENDRICK: Mr. Arnold at the Aztec office and I
 23 have discussed this at length. We have no objection to the
 24 80-acre spacing.

25 We do object to the allowables being increased from

1 100 barrels per day up to 200 barrels per day until such time
2 as gas going back to the ground or secondary recovery or
3 maintenance program is initiated because at the current rate of
4 gas production as testified here, approximately one billion
5 feet of gas would be lost in the period of a year. And we'd
6 like to call the Commission's attention to the fact that along
7 the east side of Sections 31 and 24 in Township 17 North,
8 Range 9 West, there's a series of ten or eleven acre lots
9 which would be added to the 80-acre tracts in those sections
10 along the east side.

11 MR. PORTER: What size lots are those?

12 MR. KENDRICK: Ten and eleven acres, each.

13 MR. PORTER: So you'd have about 90 to 91 acres?

14 MR. KENDRICK: Providing the dedication was the
15 north half or the south half of the quarter section because
16 the east section would be two forty plus two lots, which
17 would approximate a hundred acres.

18 MR. PORTER: I see. Is there any reaction from
19 anyone here to this statement of Mr. Kendrick's, as far as
20 restriction of allowables until such time as pressure
21 maintenance might be instituted?

22 MR. MORRIS: Mr. Porter.

23 MR. PORTER: Mr. Morris.

24 MR. MORRIS: I'm Richard Morris of Montgomerv,
25 Federici, Andrews, Hannahs & Morris, Santa Fe, appearing

1 on behalf of Tesoro Petroleum Corporation. We support the
2 application of Tenneco Oil Company for 80-acre proration
3 units and for flexible well location requirements.

4 I would like to inquire what type of restriction
5 Mr. Kendrick had in mind with respect to the allowables.

6 MR. KENDRICK: We'd like to maintain the present
7 rate at 100 barrels per day until such time as the unitization
8 can be accomplished and the injection wells either converted
9 or drilled and injection started on it so that the gas can
10 be recycled rather than lose a billion feet of gas and, if
11 it takes a year, we'll still lose a half billion feet accord-
12 ing to the testimony in this case.

13 MR. PORTER: Now, we'll put Mr. Kendrick on the
14 stand and swear him in if some of you would like to cross
15 examine him as to how he arrived at that.

16 MR. BATEMAN: If the Commission please, Mr. Wayne
17 Nance would like to make a statement in reply.

18 MR. NANCE: I'm Wayne Nance, Production Superintendent
19 for Tenneco in Denver. I'd like to comment on Mr. Kendrick's
20 suggestion as to the restricted allowable for 80-acre spacing.

21 Tenneco has no serious objections to this, although
22 we feel like the testimony that was entered in the case here
23 today shows that there will be no appreciable damage to the
24 reservoir for a period of one year which is the time we have
25 requested temporary spacing order, and we also believe that

1 this is probably premature and not necessary at this time,
2 that we could take this step at such time as the field gas
3 production might increase to a rate which would be excessive,
4 and we could curtail at whatever rate, to conserve the
5 reserves, both oil and gas. The value of the gas, at the
6 rate that Mr. Kendrick indicated, would be approximately
7 \$200,000, and this is not sufficient to build a gas line --

8 MR. PORTER: Twenty-seven --

9 MR. NANCE: -- in this area at this time.

10 MR. PORTER: 27, 22 miles?

11 MR. NANCE: 27 miles.

12 MR. PORTER: I'd like to ask Mr. Kendrick, how did
13 you arrive at this figure of a billion cubic feet loss and
14 over what period of time are you talking about?

15 MR. KENDRICK: Mr. Melnar testified that the
16 current rate of production at approximately one and a half
17 million feet per day was being vented at this time. If we
18 double the allowable, three million feet per day would be
19 vented, and over a period of a little over 300 days, this
20 amounts to a billion feet of gas.

21 MR. PORTER: You're talking about helium?

22 MR. KENDRICK: Yes. It's not that we wish to
23 curtail production here. What we wish to do is expedite
24 time or cause Tenneco to expedite time in getting the unit
25 started.

1 MR. PORTER: In other words, you were using the
2 figures he gave to arrive at your total, what you thought
3 might be wasted?

4 MR. KENDRICK: Yes, according to the testimony.

5 MR. PORTER: Mr. Cooley, I believe you have a
6 comment.

7 MR. COOLEY: May it please the Commission, both
8 Beard Oil Company and Gilbert S. Maxwell fully support the
9 application of Tenneco in this case for 80-acre spacing with
10 flexible wells locations. Furthermore, we have no serious
11 objection if the Commission finds that it will be wasteful
12 to increase the allowable to 200 barrels at this time to
13 restrict the allowable as suggested by Mr. Arnold and Mr.
14 Kendrick.

15 MR. PORTER: May I ask Mr. Nance -- well, does that
16 conclude your statement?

17 MR. COOLEY: Yes, sir.

18 MR. PORTER: How long do you anticipate it might
19 take you to communitize and start your injection program?

20 MR. NANCE: We feel like this can be accomplished
21 in eight months to a year, given the concerted all-out effort
22 and cooperation of all of the bodies that -- well, operators
23 and regulatory bodies that would be affected by the
24 unitization in the field.

25 MR. PORTER: Thank you. Mr. Utz.

1 MR. UTZ: Well, I think, Mr. Porter, we should
2 determine whether or not they intend to reinject some of this
3 gas before they can unitize. Can you answer that question,
4 Mr. Nance?

5 MR. NANCE: Before unitization?

6 MR. UTZ: Yes.

7 MR. NANCE: I can only state that we have looked
8 into it, or are considering the possibility of storage of
9 gas in some of the gas zones. If it becomes excessive during
10 the period of time in which were awaiting a formal approval
11 of the unit --

12 MR. UTZ: Do you --

13 MR. NANCE: -- put it back into the reservoir.

14 MR. UTZ: Do you know at this time whether or not
15 you have some storage area in this vicinity?

16 MR. NANCE: Well, there's a storage area in the
17 A Zone in the Lone Pine Dakota area.

18 MR. UTZ: How long would it take you to inject from
19 this well?

20 MR. NANCE: Well, it would probably take, depending
21 on delivery of compressors and working out satisfactory
22 agreements of gathering the gas and putting it back in, I
23 would say it would take four to six months.

24 MR. PORTER: Is there anything further that anyone
25 would like to offer in the case?

1 MR. COOLEY: My only comment, Mr. Commissioner,
2 was as far as Beard Oil Company and Gilbert S. Maxwell are
3 concerned, I see no reason why the pool rules should be
4 temporary.

5 MR. PORTER: For the one-year period?

6 MR. COOLEY: I see nothing to be gained by
7 temporary rules in this particular pool, except as it would
8 necessitate another hearing on the part of the Commission and
9 the parties involved a year hence.

10 MR. PORTER: Of course, the Applicant has requested
11 temporary rules in the case. I don't know whether the
12 Applicant objects to temporary rules or not.

13 MR. NANCE: May it please the Commission, I might
14 comment on this.

15 MR. PORTER: Yes, sir.

16 MR. NANCE: The purpose of requesting temporary
17 rules is primarily to give the Commission a fixed review
18 period in which to review the conservation of the resources
19 that we have here and give all parties an opportunity to
20 review it at a later date.

21 MR. PORTER: This has been done many times on other
22 pools, as you know.

23 MR. NANCE: And not that the Commission needs
24 temporary rules to do this, but that was the purpose, is just
25 so that other operators would know that there would be an

1 opportunity to review the total field performance at the end
2 of the year. Also, our unitization happens at that time.

3 MR. KENDRICK: Mr. Porter, may I ask Mr. Nance a
4 question, please.

5 MR. PORTER: Yes.

6 MR. KENDRICK: Is it your intention, your requesting
7 these pool rules that only one well be drilled on each 80-acre
8 tract, that it be restricted to one well per tract?

9 MR. NANCE: That was indicated, I believe, in some
10 of the testimony. I don't believe that was our official intent,
11 to restrict the number of wells per 80 acres, but restrict
12 the allowable.

13 MR. PORTER: In other words, as far as Tenneco is
14 concerned, if you drilled two wells, you'd still be restricted
15 to the one allowable from the 80 acres --

16 MR. NANCE: Yes, sir.

17 MR. PORTER: -- which, if it were restricted to 100
18 barrels for any reason for a temporary period, then they
19 would get 50 barrels each?

20 MR. NANCE: Yes, sir.

21 MR. PORTER: That's the main idea?

22 MR. NANCE: Yes, sir.

23 MR. PORTER: Is there any other comments that
24 anyone would like to make?

25 MR. BATEMAN: No further comment.

1 MR. PORTER: Gentlemen, since there's a quorum
2 present, I'm going to depart from the usual custom of taking
3 this entire matter under advisement which has been heard once
4 before. It's announced that the quorum here has agreed that
5 we will allow the 80-acre flexible spacing pattern for an
6 indefinite period; if the Commission feels that the matter
7 should be brought back if conditions indicate this, we can,
8 at any time, as you know.

9 As to the matter of allowables, the Commission would
10 like to give that some further consideration, and the reason
11 I'm announcing this here now is so that all interested parties
12 in this will know that the 80-acre pattern will exist from
13 this day forward.

14 Is there any question about the ruling, the
15 80-acre flexible pattern?

16 MR. COOLEY: Flexible pattern is what?

17 MR. PORTER: Yes. There was one allowable to each
18 40 acres, whatever that allowable may be. We'd like to give
19 some consideration to the matter that Mr. Kendrick has
20 brought to our attention prior to issuing a formal order.

21 MR. COOLEY: May I ask the Commissioner, in light
22 of Mr. Melnar's testimony that in his opinion the correlative
23 rights of Tenneco Oil are not adversely affected by the
24 particular wells that were brought to our attention and were
25 offered the proposed fixed pattern, I would assume that

dearnley-meier reporting services

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

silence on the part of the Commission means that these wells will not be penalized.

MR. PORTER: There will not be restriction for allowables, or regardless of the storage unit to be drilled on

If there's no further questions concerning the order or the ruling, the hearing is adjourned.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E XWITNESSPAGE

DEAN RIAL

Direct Examination by Mr. Bateman
 Cross Examination by Mr. Nutter

5
 13

WILLIAM C. MELNAR

Direct Examination by Mr. Bateman
 Cross Examination by Mr. Utz
 Cross Examination by Mr. Cooley

15
 31
 31

EXHIBITMARKEDOFFERED AND
ADMITTED

Applicant's Exhibits 1 - 17

2

30

