

dearnley, meier & mc cormick

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
OIL CONSERVATION COMMISSION CONFERENCE ROOM
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
April 11, 1973

EXAMINER HEARING

IN THE MATTER OF:

Application of Twinlakes Oil
Company for the reinstatement of
pool rules, Chaves County, New
Mexico.

Case No. 4497

BEFORE: Elvis A. Utz
Examiner

TRANSCRIPT OF HEARING

1 MR. CARR: Case 4497 reopened, Application of Twinlakes
2 Oil Company for the reinstatement of pool rules, Chaves County,
3 New Mexico.

4 MR. STEVENS: If the Examiner please, I'm Donald G.
5 Stevens, Attorney from Santa Fe, New Mexico, representing the
6 Applicant. We have one witness to be sworn.

7 MR. UTZ: Are there any other appearances in the case?

8 (No response)

9 MR. UTZ: You may proceed.

10 WILLIAM J. LeMAY

11 appeared as a witness, and after being duly sworn, testified
12 as follows:

13 DIRECT EXAMINATION

14 BY DONALD G. STEVENS:

15 Q Would you state your name, your occupation, residence,
16 please?

17 A My name is William J. LeMay, I am a consulting geologist
18 in Santa Fe, New Mexico.

19 Q Have you testified before the New Mexico Oil Conservation
20 Commission before?

21 A Yes, I have.

22 MR. STEVENS: Mr. Examiner, are the witness' qualifi-
23 cations acceptable?

24 MR. UTZ: Yes, sir.

25 Q (By Mr. Stevens) Mr. LeMay, would you briefly state what

1 is sought by this application?

2 A Yes. Twinlakes requested that the Commission reinstate
3 the field rules as set out in Order R-4102-A, dated
4 February 8, 1971, which provides for 40-acre oil well
5 spacing in the San Andres formation and 160-acre gas
6 well spacing with a limiting gas-oil ratio of 4,000 to 1.
7 The Applicant seeks reinstatement of this rule with a
8 provision that the gas-oil ratio limitation be reduced
9 to the state-wide 2,000 to 1 limitation.

10 Now, the purpose of this reinstatement is based upon
11 some new information concerning Twinlakes Oil Company's
12 Well Number CH. This well is located approximately 1980
13 feet from the South line and 660 feet from the West line
14 of Section 36, 8 South, 28 East. It was originally felt
15 that the well would not produce sufficient gas to require
16 160-acre spacing. However, it is now determined that the
17 well is capable of producing such gas and that 160-acre
18 spacing for gas wells, with the resultant increase in
19 allowable necessary. Also, communitization agreement
20 covering the West half of the West half of Section 36,
21 which is a CH proration unit, initially approved by the
22 Commission, this is based upon the Commission order and
23 thus the Commission order is necessary to maintain the
24 communitization agreement.

25 Q Referring to what has been marked as Exhibit No. 1, would

1 you identify that for the Commission?

2 A Exhibit No. 1 is a structure map contoured on top of the
3 PS porosity in the San Andres field. It is also a well
4 location map and acreage ownership map. This map generally
5 shows that all the wells are producing or dry holes in the
6 San Andres, with the exception of the one sole Devonian
7 producer in the Southwest of the Southwest of Section 1.
8 This well is a Devonian producer. All other wells shown
9 as oil wells produced from the field pay, PS of the San
10 Andres.

11 Now, the only real gas well in the Twin Lakes field
12 as defined by the Commission, is the Number 1 CH, as
13 previously mentioned, and this well has a gas-oil ratio
14 in excess of 30,000 to 1. All other wells are considerably
15 below this figure. I might say in analyzing the geology
16 of the field as portrayed in Exhibit No. 1 that the
17 controlling factor for the San Andres production in the
18 field is the sharp Southeast plunging structural nose.
19 The structure contours are not designated as such, but
20 the nose, the high part of the field, is in Section 35,
21 and the plunge of the nose is Southeast so that the fall-
22 off is rather rapid in all directions and the highest
23 well in the field is the gas well, the previously mentioned
24 Number 1 CH. Also, there are conflicting factors to the
25 porosity of the PS, being a hydrodynamic condition which

1 result in a tilted oil-water contact and variations
2 in the porosity of the San Andres, which accounts for
3 the variation in the wells.

4 Q Referring to what has been marked as Exhibit No. 2, would
5 you identify it for the Commission?

6 A Exhibit No. 2 is a typical set detailed section of San
7 Andres porosity which is type P-1, the upper slaughter
8 porosity. This Citgo State Number 4 Well was roddeed 1980
9 feet from the North and West line. Its characteristics are
10 such that you can see on the radioactivity log that there
11 is approximately 40 feet of pay interval. This is one well
12 that has probably more pay than other wells. In other
13 wells, variations occur within this P-1 pay interval,
14 but some of the porosity is usually present to produce
15 hydrocarbon.

16 Q Referring to what has been marked as Exhibit No. 3, would
17 you identify it for the Commission?

18 A Exhibit No. 3 is well history in the Twin Lakes field and
19 it shows the cumulative production of all the current
20 producing wells in the field. Note the wells in Section 35
21 and Section 2 were high-water cut and this was due to the
22 previously mentioned hydrodynamic condition existing pro-
23 ducing a tilt on the oil-water contact in an East, Southeast
24 direction. So, even though these wells which are plugged
25 out in Section 35 and Section 2 are structurally high

1 enough to produce when compared with the wells in Section
2 36, the activated oil-water contact which I mentioned
3 erroneously before as far as the tilt goes, the oil-
4 water contact is such that on the West end of the field
5 water is encountered at a higher structural elevation than
6 on the East end, and, therefore, the oil-water contact does
7 activate in an East, Southeast direction. The gas-oil
8 ratios compared to the original gas-oil ratios, these were
9 taken last summer and indicated increasing gas-oil ratios
10 in wells near the gas cap, being Wells Number 2, 3, and 5,
11 referring back to Exhibit No. 1. These wells are in close
12 proximity to the gas well and the further away you get from
13 this gas well, which is in the gas cap, the less increase
14 you see in the gas-oil ratios, as exhibited by, say, the
15 O'Brien Number 4, which has not seen any increase in gas-
16 oil ratios.

17 The new well, the Number 3 O'Brien in the Northeast of
18 the Northwest, some distance from the gas cap --

19 Q Excuse me, Mr. LeMay, I believe that is the Northeast of
20 the Southwest of Section 1, is it not?

21 A O'Brien Number 3?

22 Q Yes.

23 A That's correct. The Northeast of the Southwest of Section
24 1. This is some distance from the gas cap and also some
25 distance from older production, and this well recorded virgin

1 pressures on drill stem test, being 764 pounds and a ratio
2 of 697 to 1. In conclusion, the Twin Lakes field is an
3 oil field with an associated gas cap as evidenced by the
4 number 1CH and the increasing gas-oil ratio in wells near
5 the gas cap.

6 Q Mr. LeMay, could you describe a few of the changes in the
7 production history of this State CH Well which warrants
8 reinstatement of the rules for the field?

9 A Well, the Commission originally established an associated
10 pool, and I think this was correct, the Number 1 CH is in
11 the gas cap, the original pressure on the CH declined from
12 the commencement of production in October, 1971, to 232
13 pounds of cubic pressure and 293 pounds bottomhole pressure
14 taken August 25, 1972. Production since September, 1972,
15 has been reduced. The purpose of this reduction was to
16 allow a build up of bottomhole pressure and to prevent
17 the up-dip migration of oil into the gas cap.

18 As of April 9, 1973, the tubing pressure had risen in
19 the CH to 350 pounds and it is possible that in the future
20 when the pressure increases to a higher point, that produc-
21 tion might be increased sufficiently to justify the allow-
22 able applicable to 160-acre spacing.

23 Q What is that allowable on 40-acre spacing as opposed to
24 160-acre gas spacing in an associated gas?

25 A Well, 40-acre spacing on a 80-acre allowable, it would be

1 160,000 cubic feet gas per day. On 160, this would be
2 times 4, which would be 640,000 cubic feet of gas per day.

3 Q Mr. LeMay, in your opinion, will the granting of this
4 application protect correlative rights and help to prevent
5 waste?

6 A Yes. it will.

7 Q Were Exhibits 1 through 3 prepared under your direction?

8 A Yes, sir, they were.

9 MR. STEVENS: Mr. Examiner, I would like to introduce
10 into evidence Exhibits 1 through 3.

11 MR. UTZ: Without objection, Exhibits 1 through 3 will
12 be entered into the record of this case.

13 MR. STEVENS: We have no further questions of the witness.

14 CROSS EXAMINATION

15 BY MR. UTZ:

16 Q This order had expired, am I correct?

17 A That's correct, sir.

18 Q Now, you are asking for reinstatement of the order as it
19 was with a GOR change?

20 A Yes, sir, to the statewide 2,000 to 1.

21 Q What was it originally?

22 A It was listed as 4,000 to 1 initially, and we feel there
23 is no need for this additional provision.

24 Q All you want is the order reinstated at 2,000 to 1?

25 A Correct, classified as an associated pool which it was

1 previously.

2 Q And prorate that one gas well?

3 A To date, only one; maybe in the future more, who knows.

4 MR. UTZ: Are there other questions of the witness?

5 (No response)

6 MR. UTZ: If there are not, the witness may be excused.

7 Are there statements in the case?

8 (No response)

9 MR. UTZ: The case will be taken under advisement.

10 * * * *

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I N D E X

1			
2	<u>WITNESS</u>		<u>PAGE</u>
3	WILLIAM J. LeMAY		
4	Direct Examination by Mr. Stevens		3
5	Cross Examination by Mr. Utz		8
6			
7	<u>EXHIBITS</u>	<u>Offered</u>	<u>Admitted</u>
8	Exhibit No. 1 - structure map	5	9
9	Exhibit No. 2 - San Andres porosity detailed section	6	9
10	Exhibit No. 3 - well history	6	9
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 STATE OF NEW MEXICO)
2 COUNTY OF BERNALILLO) ss.

3 I, JOHN DE LA ROSA, a Certified Shorthand Reporter,
4 do hereby certify that the foregoing and attached Transcript
5 of Hearing before the New Mexico Oil Conservation Commission
6 was reported by me; and that the same is a true and correct
7 record of the said proceedings to the best of my knowledge,
8 skill, and ability.

9
10 John De La Rosa
11 CERTIFIED SHORTHAND REPORTER
12
13
14
15
16
17
18
19
20
21
22

23 I do hereby certify that the foregoing and attached Transcript
24 of Hearing before the New Mexico Oil Conservation Commission
25 was reported by me on April 27, 1973 at 4497
[Signature], Examiner
New Mexico Oil Conservation Commission

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
MORGAN HALL, STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
Wednesday, February 14, 1973

EXAMINER HEARING

IN THE MATTER OF:

Case 4497 being reopened pursuant to the provisions of Order No. R-4102-A which order established temporary special rules and regulations for the Twin Lakes-Devonian Pool, Chaves County, New Mexico.

Case No. 4497

BEFORE: Daniel S. Nutter,
Examiner

TRANSCRIPT OF HEARING

dearnley, meier & mc cormick

209 SIMMS BLDG., P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

dearnley, meier & mc cormick

209 SIMMS BLDG. • P. O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 MR. NUTTER: We will call next Case Number 4497.

2 MR. CARR: Case 4497 reopened, in the matter of Case
3 4497 being reopened pursuant to the provisions of Order Number
4 R-4102-A which order established temporary special rules and
5 regulations for the Twin Lakes-Devonian Pool, Chaves County,
6 New Mexico.

7 MR. NUTTER: The Commission has been advised by the
8 only operator in this pool that there would be no appearance
9 made and that the operator had no objection to the pool
10 reverting to the state-wide rule. Therefore, the Examiner will
11 recommend that the special rules for the Twin Lakes-Devonian
12 Pool will be abolished and it will revert the state-wide pool
13 and regulations.

14 STATE OF NEW MEXICO)
15) ss
16 COUNTY OF BERNALILLO)

17 I, JOHN DE LA ROSA, a Court Reporter, in and for the
18 County of Bernalillo, State of New Mexico, do hereby certify
19 that the foregoing and attached Transcript of Hearing before
20 the New Mexico Oil Conservation Commission was reported by me;
21 and that the same is a true and correct record of the said
22 proceedings to the best of my knowledge, skill and ability.

23 I do hereby certify that the foregoing is a true and correct record of the proceedings in
24 the above mentioned case No. 4497
25 _____
2/14 1973
COURT REPORTER

John De La Rosa
Examiner
New Mexico Oil Conservation Commission

dearnley-meier reporting

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P. O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103

FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
CONFERENCE ROOM, STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
February 2, 1972

EXAMINER HEARING

IN THE MATTER OF:
Special rules and regulations
for the Twin Lakes-San Andres
Pool, Chaves County, New
Mexico

Case No. 4497

BEFORE: Elvis A. Utz,
Alternate Examiner.

TRANSCRIPT OF HEARING

1 MR. UTZ: Case 4497.

2 MR. HATCH: Case 4497: In the matter of Case 4497
3 being reopened pursuant to the provisions of Order No. R-4102.

4 MR. STEVENS: With McDennett, Connelly & Stevens
5 representing the applicant, Twin Lakes Oil Company.

6 We have one witness to be sworn.

7 MR. UTZ: Are there any other appearances?

8 The witness will be sworn.

9 H. N. SWEENEY

10 a witness, having been first duly sworn according to law, upon
11 his oath, testified as follows:

12 DIRECT EXAMINATION

13 BY MR. STEVENS

14 Q Could you state your name and occupation and your
15 association with the applicant in this case?

16 A I am H. N. Sweeney, Geologist and President of Twin Lakes
17 Oil Company.

18 Q Have you previously testified before the New Mexico Oil
19 Conservation Commission and had your qualifications accepted?

20 A Yes.

21 Q Will you accept the witness' qualifications?

22 MR. UTZ: Yes.

23 Q (By Mr. Stevens) Could you state briefly what the purpose of
24 this hearing is and the annual history say since the last
25 hearing we had on this case?

1 A The hearing is the review of the special rules for the
2 Twin Lakes-San Andres Field, involving primarily 4,000 to
3 1 GOR, which was, we asked for a year ago to permit us to
4 produce gas economically from the gas cap with the aim of
5 reducing the GOR's in our oil wells and prevent the
6 continued expansion of the gas cap.

7 Q Within this past year, could you briefly summarize what has
8 been done in accordance with these rules which were
9 granted last year as far as physical equipment is concerned?

10 A We have put the gas well on production, one additional well
11 on production.

12 We have built the pipeline from Twin Lakes to a site
13 in the Dakota Field and have installed a compressor, and
14 are taking and delivering gas from the Field.

15 Q When did you start the production of gas from the Field?

16 A In the last week of October, '71.

17 Q So basically you have got three months production under
18 the rules which are granted last year?

19 A Right.

20 Q Last February, I believe.

21 According to what has been marked as Exhibit 1, would
22 you explain it to the Commission?

23 A Oh, this is a structure map showing the location of the
24 wells and the general structure of the Field, showing the
25 gas cap and the oil rim with the reversal to the west.

1 The Field is undefined to the north.

2 Q The purpose of this exhibit is principally to give
 3 reference as to the position of the wells which you will
 4 discuss individually?

5 A Yes.

6 Q Referring to what has been marked as Exhibit No. 2, would
 7 you discuss it and refer to the Exhibit No. 1 for the
 8 purposes of identification?

9 A It is a tabulation of GOR's from initial completion of the
 10 producing wells in the Field, and in general it shows a
 11 gradually increasing GOR through the history of the wells,
 12 and somewhat erratic oil production, although actually the
 13 oil production has been, if anything, increasing, due in
 14 part to putting some of the flowing wells on the pump.

15 At the present time we have just two wells still
 16 flowing in the Field and they probably should be put on the
 17 pump.

18 Q Noting the gas-oil ratios of the various wells and compar-
 19 ing them with the structural position of the wells on your
 20 structure map in Exhibit A, is there an absolute
 21 correlation between the gas-oil ratio and structural
 22 position, or are there variations from what would be a norm?

23 A I think in general the State 2 and 3 are the two highest
 24 and the CO-2, which is a special case, those two of the
 25 high wells are the ones with the highest GOR's, and while

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
 208 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 the last GOR's which were taken, oh, just last week, I
 2 believe, within the last couple of weeks, show a continuing
 3 increase in general and in the GOR's, I think that the
 4 program actually hasn't been in effect long enough to
 5 produce positive results.

6 It will probably take another year to show what is
 7 happening here.

8 Q Was it your intention by this program to produce gas, one,
 9 to save gas being flared, but, two, to produce gas from
 10 the State CM, the northwest quarter of the southwest
 11 quarter--northwest, southwest quarter of Section 36, was
 12 it the intention by the taking of the gas from what is
 13 principally a gas well to prevent the encroachment of gas,
 14 the gas cap into the oil wells?

15 A Yes.

16 Q You have not had sufficient time on production to determine
 17 whether this has any effect; is that correct?

18 A That is right.

19 Q Is it your opinion that it would be in the best interest
 20 of conservation to continue this hearing and these rules
 21 for another year in order to determine if said gas cap
 22 expansion can be decreased?

23 A Definitely.

24 Q Do you have any other information for the Examiner concern-
 25 ing these two exhibits?

1 A I don't believe so.

2 MR. STEVENS: We have no further questions, Mr.
3 Examiner.

4 CROSS-EXAMINATION

5 BY MR. UTE

6 Q Mr. Sweeney, did I understand you to say that neither of
7 the gas wells had been connected?

8 A No, the gas, the one gas well, the C-2 in Section 1,
9 northwest, northwest of Section 1 has been somewhat
10 erratic.

11 It was put on production just last April, I believe,
12 and in that particular well it was originally completed,
13 both in our production zone, where the other wells are
14 producing from, and from a lower zone which carries water
15 in this area, and I am just not real sure what is happening
16 in that well. It hasn't performed as we expected.

17 We have a pump on it and it hasn't acted as a gas well,
18 but it appears the water is going down and oil production
19 is going up just within the last three weeks. The one gas
20 well, the State CH in Section 36, which we are producing.
21 Q What kind of production are you getting out of that well?

22 A At the moment it is running about 4,000 cubic feet per day.

23 Our tuck pressures have dropped somewhat since we
24 started producing, and I am inclined to think that the well
25 tends to load up with fluid and probably would need swabbing

1 to regain maximum production, but I just don't know whether
2 we have actually reduced pressures or not.

3 Our last bottom-hole pressures were run, oh, prior to
4 the time we started producing the gas, and they had shown
5 relatively small drop from the pressures that were taken
6 about two years previously.

7 It has been something like a hundred pounds, a little
8 more than that, about 120 pounds pressure drop in the field
9 since it was completed since the initial discovery well.
10 Q You have both gas wells connected and producing?

11 A Yes.

12 Q Where are you marketing the gas?

13 A Cities Service is taking the gas at a point on their
14 Gathering System in the Dakota Field.

15 Q Now, as I recall your temporary order, it requires you to
16 return a 2,000 to 1 until connections; am I correct?

17 A That is right.

18 Q And you have all of your wells connected now?

19 A No, there are three wells which haven't been connected as
20 yet, but will be within the next month or so.

21 Q So, in effect, you are producing the pool under a 4,000
22 GOR rule?

23 A Yes. The only west well that would actually make any
24 difference is the gas well, and that not at the present
25 time, but I think production, it is capable of making more

1 gas than we are actually producing at the moment.

2 That is producing against our pipeline pressure of
3 approximately 135 pounds, and we could make more gas from
4 the gas well by running it through our compressor, rather
5 than directly in the pipeline.

6 Q I didn't hear this case the last time and I haven't read
7 the transcript.

8 I presume that you explained your theory rather well
9 in the transcript, but I would like to ask you at this time:
10 Isn't this a little bit contrary to the usual theory of
11 producing a gas cap first?

12 A I don't think so, from strictly an economic situation, the
13 oil here is much more valuable than the gas, and it is
14 apparently as we are reducing the pressures in the oil
15 wells, the gas cap is expanding and is producing the GOR's
16 --have been greatly increasing in the oil wells then as a
17 result, and we have no market for the gas.

18 For a number of reasons it is comparatively a small
19 volume. It is sour gas, runs about 7 CO₂ and H₂S, it is
20 difficult to find anybody that would take it. The nearest
21 sour gas plant is 45 miles away.

22 Q What per cent is it?

23 A 17 per cent.

24 Q Co₂?

25 A Yes.

1 Q And H₂O?

2 A Yes.

3 Q Sour gas?

4 A Yes.

5 Q I gather it is your opinion then that the control of the
6 gas cap should continue?

7 A Yes.

8 Q Well, then I gather it is your opinion that by partially
9 depleting the gas cap you are removing more oil?

10 A I think so. Actually we have seen no harmful effect since
11 we started producing the gas, and I expect it to show
12 beneficial results from producing the gas from the gas cap.
13 That gas, as that gas expands, it tends to drive the oil
14 down the structure away from our bore holes, and the
15 economics aren't such that we can keep drilling wells to
16 produce that migrated oil.

17 A very good example of what has been happening, I
18 think, is the O'Brien-A, which is in the northwest of
19 northeast Section 1.

20 If you will look at the GOR's on that one well, that
21 well was originally completed on pump. The pump initially
22 pumping potential of ten barrels a day, and virtually no
23 gas.

24 The production has been just virtually steady at that
25 rate through the years and oh, about a year ago we started

dearnley-meier reporting

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 making more gas and more oil in that well.

2 That is the lowest well that we are producing in,

3 incidentally, and the farthest away from the gas cap, and

4 now it is producing an appreciable amount of gas and the

5 oil production is actually up from what it was initially.

6 Q Well, the gas is channeling to the well, then, I presume

7 pushing the oil aside?

8 A It has been fairly uniform in all of the wells, the

9 increase.

10 Q You have control of the lower part of the structure, too?

11 A Yes.

12 Q If there is no other operators in the Field, you produce

13 this by drilling wells along the lower structure and

14 letting the gas sweep the oil to the wells?

15 A It would require additional wells, we can't accomplish the

16 same thing by lowering the pressures in the gas cap.

17 Q You aren't going to have to drill some more wells, anyway?

18 A No.

19 Q What about to the north?

20 A To the north where it isn't defined on the west side we

21 have an entirely different situation.

22 My personal opinion, the principal trap is on the

23 down dip side of that gas cap. Now we have the oil trap

24 against a wrinkle there on the down dip side of the

25 structure.

1 There have been several wells drilled on the west side
2 of the structure which were actually higher than the wells
3 that we are producing on the east side, and they have been
4 non-commercial, produced an excessive amount of water.

5 Q So these wells in Section 2 and the one well in Section 35,
6 southeast quarter, were dry?

7 A Yes, they produced a small amount of oil and a great deal
8 of, amount of water.

9 MR. UTZ: Are there any other questions of the witness?

10 MR. STEVENS: At this time we would like to introduce
11 Exhibits 1 and 2 into evidence.

12 MR. UTZ: They will be admitted.

13 Thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESS:

PAGE

H. N. SWEENEY

Direct Examination by Mr. Stevens

3

Cross-Examination by Mr. Utz

7

E X H I B I T S

APPLICANT'S

MARKED

OFFERED AND
ADMITTED

Exhibit No. 1

5

Exhibit No. 2

5

12

Exhibit A

5

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Santa Fe, New Mexico

February 3, 1971

EXAMINER HEARING


IN THE MATTER OF:

Application of Twinlakes Oil Company
for special pool rules and a non-
standard proration unit, Chaves County,
New Mexico.

Case No. 4497

BEFORE: Daniel S. Nutter, Examiner

TRANSCRIPT OF HEARING



1 MR. NUTTER: We will call the next case, 4497.

2 MR. HATCH: Case 4497, Application of Twinlakes
3 Oil Company for special pool rules and a nonstandard proration
4 unit, Chaves County, New Mexico.

5 MR. H. N. SWEENEY: Mr. Examiner, our attorney,
6 Don Stevens, is in court this morning. Could we continue
7 this after lunch?

8 MR. NUTTER: Yes, sir. We'll call Case 4497 after
9 the lunch recess.

10 (Whereupon, at approximately 1:12
11 o'clock p.m., the following
proceedings were held.)

12 MR. NUTTER: Everybody ready? The hearing will
13 come to order, please. The first case this afternoon will
14 be 4497.

15 MR. HATCH: Case 4497, Application of Twinlakes
16 Oil Company for special pool rules and a nonstandard proration
17 unit, Chaves County, New Mexico.

18 MR. STEVENS: Mr. Examiner, I am Donald Stevens
19 with the firm of McDermott, Connelly and Stevens representing
20 the Applicant Twinlakes Oil Company. We have one witness to
21 be sworn, Mr. H. N. Sweeney.

22 (Witness sworn.)

23 (Applicant's Exhibits 1 through 6,
24 inclusive, were marked for
25 identification.)

1 H. N. SWFENEY

2 called as a witness, having been first duly sworn, was
3 examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. STEVENS:

6 Q Mr. Sweeney, would you tell us your occupation and
7 your association with Twinlakes Oil Company.

8 A I am the geologist and President of Twinlakes Oil
9 Company.

10 Q Have you previously testified before the Oil
11 Conservation Commission?

12 A Yes.

13 MR. STEVENS: Are the witness's qualifications
14 acceptable?

15 MR. NUTTER: Yes, sir, they are.

16 Q Could you take what's been marked as Exhibit Number
17 1 and tell us what it contains. Describe it for us.

18 A It shows the area of the Twinlakes San Andres
19 field, and with the area what we consider to be a gas cap
20 in the pink, the oil rim on predominantly the basin side,
21 the east side of the gas cap, and the general structure.

22 It also has outlined in yellow, the acreage which
23 we control, and the line of cross-section that's Exhibit 3.

24 I'd like to point out that the field is pretty well
25 defined except to the north, and it appears that what we're

1 dealing here with is a gas cap reservoir with the trapping
 2 mechanism consisting of the oil being trapped on the basin
 3 side of the gas cap with a rather thin oil around.

4 It just happened that the oil wells were drilled
 5 first.

6 Q Excuse me. Let me interrupt, Mr. Sweeney. I
 7 forgot to ask you, and would you please explain what Twinlakes
 8 seeks in this application? It might lay a little groundwork
 9 here.

10 A We want special rules for the field that permits
 11 us to produce enough gas from those two gas wells in the
 12 gas cap to make a pipeline feasible and, at the same time,
 13 enable us to balance the pressures to some extent between
 14 the gas cap and the oil rim.

15 There's evidence that the G.O.R.'s are increasing
 16 in the oil rim, that we're getting an invasion from the gas
 17 cap, and it would actually benefit our oil production,
 18 I think, to start taking gas from the gas cap.

19 Q Back to Exhibit 1 then, could you explain the
 20 remainder of the exhibit.

21 A I think that just about covers it unless you want
 22 to go into that cross-section. That line of cross-section
 23 bears out the Exhibit 3, and we've got the logs of four wells
 24 showing the west reversal.

25 Q Let me ask you some questions about Exhibit 1,

1 however. The red line on the W/2 of the W/2 of Section 36,
2 could you explain its significance.

3 A That outlines the 160 acres which we ask special
4 spacing for the gas well, the State CH located in the NW of the
5 SW.

6 That is the only 160-acre tract that we can allocate
7 to that well as a gas well remaining in that W/2 of the section.

8 The acreage is all held of record by Cities Service
9 and we have completed the Communitization Agreement which has
10 been signed by Cities Service and is in the process of being
11 signed by the Land Office.

12 Q In your opinion, is the W/2 W/2 of Section 36
13 underlain by gas?

14 A I think so.

15 Q Could you explain the significance of the dashed
16 line along the west side in Sections 26 and 35.

17 A That marks the presumed western limit. It hadn't
18 been defined precisely on the west side of the gas cap, but
19 due to the nature of the trap, the oil appears to be trapped
20 on entirely the east side of here and an area of the
21 reversal on the west side. There's been two wells drilled which
22 were high wells but made water, an excessive amount of water
23 which indicated a tilted water table. We don't have a constant
24 water table in there at all. The water table seems to dip to
25 the east, the down dip side.

1 Q The dashed line then to the east in Section 36
2 and Section 1 confirms the east side water table as
3 contrasted with the west side?

4 A It appears to.

5 Q And the dashed line between the red and the green
6 lines, what does that signify?

7 A That's the transition zone between your gas cap
8 and your oil rim.

9 Q Basically, a transition gas/oil contact?

10 A Right.

11 Q Could you tell us the pressures basically in
12 most of the fields originally?

13 A We took bottom hole pressures in one well shortly
14 after it was completed, and that was at the Citgo State 2
15 in the NE SW of Section 36, and then again, last fall
16 I believe, after approximately thirty thousand barrels of
17 oil had been produced and a considerable amount of gas. This
18 is a high G.O.R. well.

19 Q Was that Number 2 or 3?

20 A Three, I believe. It's the second well drilled.
21 And there had been initial pressures on 72-hour shut-in with
22 762 pounds, and last fall, it was 699, and then about a
23 sixty point pressure drop.

24 Q What does that indicate to you as a geologist?

25 A I would say that the pressures are being maintained

1 from expansion of the gas cap.

2 Q What is the drive mechanism in this field?

3 A Gas cap expansion.

4 Q Referring now to Exhibit Number 2, would you explain
5 its significance to us before you get to the cross-section,
6 Exhibit 3.

7 A Yeah. Exhibit 2 is a log of our high well in the
8 field, the State CH which was originally drilled by Cities
9 Service and which we acquired from them. And that's been
10 shut-in since completion because it makes a large amount of
11 gas, practically dry gas.

12 There's very little fluid produced with that well
13 and what fluid it does make is produced in the form of a heavy
14 emulsion of water and oil, which will just barely flow.

15 There's about, oh, a maximum rate of flow. I think
16 we got about eight barrels of flow a day of fluid out of
17 that. And we found, on about three separate occasions when
18 we've opened the wells to test it, and it takes about a month
19 for that well to clean up after we get it kicked off, but
20 it gradually increases the tubing pressures and, actually,
21 last fall, we flowed it for about a month to see what it
22 would do. At the end of the period, we tested actual flow of
23 three and a half million on a half-inch choke from that well.

24 Q Could you describe the pay thickness in that well
25 and in the field and the porosity ordinarily found in the

1 field?

2 A That particular well has about forty feet, about
3 eight percent porosity, and that one, or two other wells, has
4 a little more. I'd say twenty-five to thirty feet is an
5 average thickness. This is fracked, buggy porosity with
6 irregular permeabilities, so it doesn't act as a homogenous
7 reservoir.

8 Q What formation is that; in what zone?

9 A It's primarily the P-2 Zone. It's the San Andres
10 Slaughter Zone.

11 Q Could you describe the character of the oil in the
12 field?

13 A It's 24 gravity and it is typical San Andres oil
14 which emulsifies very easily with almost any form fluid.

15 Q Referring then to Exhibit 3, the cross-section,
16 would you explain its significance to the Commission.

17 A It shows four wells in a west to east direction
18 across the axis of the field with the porosity marked in red,
19 and it shows quite plainly the west reversal of the axis
20 which is actually, in that country, quite rare to have a
21 reversal in the San Andres.

22 We are dealing with a definite structure and I
23 think there's a probable closure to the north, but it actually
24 hasn't been pinned down.

25 Q Exhibit 4, the table of production, would you describe

1 that for the Commission.

2 A This shows the cumulative production of the wells to
3 the first of the year. Production in November, which you can
4 see, is quite marginal, and it indicated increase in the
5 G.O.R.'s from the time the wells were completed, and we haven't
6 actually taken gauges but there's evidence in the last two or
7 three months that there has been an increase in the G.O.R.'s
8 in our two high oil wells, two and three. Well, it hasn't
9 affected the oil production to a great extent. As a matter of
10 fact, we are making more oil now than we have in some time
11 due to some minor changes in the well, nothing drastic, but
12 it appears that the gas has gone up materially.

13 Q What is the disposition of that gas?

14 A We have been working two years to obtain a market
15 for the gas, and this is sour gas with approximately seventeen
16 percent sour gas content. That's H₂S and CO₂ which limits the
17 market, and the nearest gasoline plant which treats our gas is
18 forty-five miles away. And our efforts have boiled down to two
19 alternatives; and as of now, we propose to sell the gas to
20 Cities Service at their gathering system at Cato which we'll
21 deliver to them approximately nine miles away, but they have
22 informed us that they will buy the gas if we will build the
23 pipeline and deliver it to them. And we have made arrangements
24 to do that, provided we can produce sufficient volume from the
25 field to half way pay for the pipeline.

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1082 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG., EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Q This four thousand to one gas/oil ratio that is
2 being requested --

3 A Yes.

4 Q -- could you explain its possible effect upon the
5 reservoir?

6 A Actually, our two best oil wells are running in excess
7 of two thousand to one thousand. But I don't think it would
8 affect those oil wells at all because our oil production isn't
9 sufficient for the limiting gas/oil ratio to affect this, but I
10 actually think that with invasion of the gas cap, that it's
11 actually preventing the oil coming into the bore hole, that
12 we're losing oil production by the fact that the expansion of
13 the gas cap is preventing, is hampering our oil production and
14 that it will probably produce more oil if we can arrive at and
15 maintain optimum balance between the gas cap and the oil rim.

16 Q Is the four thousand gas/oil ratio, necessary to
17 establish initial amounts of gas necessary, sufficient to build
18 the pipeline?

19 A Yes.

20 Q Would you be able to build the pipeline if the gas/oil
21 ratio were less than four thousand?

22 A No, it wouldn't have enough volume to support the
23 pipeline.

24 Q In the future, if you determine that four thousand to
25 one was having a deleterious effect upon the reservoir, what

1 plans would you have in that event?

2 A Well, our idea is to get an optimum balance, and if
3 we're reducing the pressures too severely in the oil rim and
4 lowering our production, then we'd have to cut back in the
5 gas cap, but I don't think we would. I think the oil produc-
6 tion could be helped by lowering the pressures in the gas cap.

7 Q Is it your opinion that that interim period, while
8 you are lowering the gas/oil ratios by taking from the gas cap,
9 that this would enable you to build the pipeline if you had
10 to cut back later, you could still maintain the pipeline?

11 A I think we could.

12 Q Referring to what's been marked as Exhibit 5, would
13 you explain that to the Commission.

14 A That is a copy of the Communitization Agreement cover-
15 ing the W/2 W/2 of Section 36 which has been signed by Cities
16 Service and is in the process of being signed by the Land Office.

17 Q Could you explain --

18 A Communitizing the 160 acres which we asked the
19 special spacing for.

20 Q Would you explain Exhibit 6, the proposed rules
21 for the field for the Commission.

22 A These are, as you will find, patterned after the
23 special field rules for the North Paduka-Delaware and cover
24 about the same provisions on it. It provides for 160-
25 acre spacing for gas wells, and forty acres for oil wells,

1 and, oh, in general, normal spacing of wells and with the
 2 provision that any well with G.O.R. in excess -- or,
 3 gas/liquid ratio in excess of 30,000 be classified as a gas
 4 well, and a limitation of G.O.R. of 4000 to one.

5 And I think, in general, we propose semi-annual
 6 reports. Actually, when we start selling the gas and put
 7 meters on these wells, we'll have, visually, a constant
 8 check on our gas production from the wells which we don't now.

9 I mean, it's just periodic gauging of the gas, and it
 10 is something, since we have the entire field, that we can watch
 11 real closely and try to get the maximum economic benefit out
 12 of the field.

13 Q Could you expand upon the gas well allowables as
 14 set out in the rules?

15 A We propose that the gas wells get an allowable of
 16 a number of acres dedicated to the gas well divided by forty
 17 times the limiting gas/oil ratio times the base allowable.

18 Q Were Exhibits 1 through 6 prepared by you or under
 19 your direction?

20 A Yes.

21 MR. STEVENS: At this point, Mr. Examiner, we'd
 22 like to move the introduction of Exhibits 1 through 6 and ask
 23 that they be admitted into evidence.

24 MR. NUTTER: Applicant's 1 through 6 will be
 25 admitted into evidence. Exhibit 6 is the proposed rules, right?

1 MR. STEVENS: Yes. We have no further questions.

2 (Whereupon, Applicant's Exhibits
3 1 through 6 were duly admitted
4 into evidence.)

4 CROSS EXAMINATION

5 BY MR. NUTTER:

6 Q Mr. Sweeney, it appears from your tabulation here
7 on Exhibit 4 that your Citgo A-2 and 3 both were originally
8 completed with relatively low ratios, but that they both have
9 high ratios at the present time, is this correct?

10 A Yes. Well, we'll say 1300 is a fairly high ratio
11 for San Andres.

12 Q Yes. One was 1395 and the --

13 A They have increased.

14 Q But they are low with respect to what they are now?

15 A Yes.

16 Q You attribute this increase to the expansion of
17 the gas cap and the possibility that the gas/oil contact
18 is approaching the perforations in these wells?

19 A I think that's correct.

20 Q Now, do you anticipate that increasing withdrawals
21 from the gas cap will cause the G.O.R.'s to go down in these
22 wells or will it remain --

23 A Actually, I would expect it to. Actually, I think
24 by lowering pressures in that gas cap, I think that we should
25 get more oil at the well bore.

1 Q Do you anticipate drilling any other wells in the
2 gas cap; for example, in the NE/4 of Section 35, in the
3 pink area on your exhibit?

4 A Yeah. Well, not immediately. I mean, we've made
5 no immediate plans, and we have, oh, comparatively new
6 leases there where we are not forced to do any drilling, and
7 we wouldn't, until we know more about what the situation is.
8 And I think the only way we're going to find out is to
9 produce that gas.

10 Q What is this well that's in the NW NW of Section
11 1 there? It's indicated as an oil well with stars on
12 it.

13 A That is the gas well that makes some oil. The
14 last test, I think, ran something like 800,000 a day and
15 about 20 barrels of oil.

16 Q Is that well shown on your Exhibit Number 4?

17 A No. -- Yes. Yes, it is, too. The O'Brien C-2.

18 It shows 65,000 to one and has cumulative produc-
19 tion of 455 barrels, but it's been shut-in practically ever
20 since completion due to that high G.O.R.

21 Q Now, the Twinlakes CH-1 on Exhibit 4, the last
22 well there which shows the current estimated G.O.R. of
23 120,000, is that the gas well --

24 A Yes.

25 Q -- in your nonstandard gas unit?

1 A Yes.

2 Q And where is the other one, the Cities Service
3 CH-1?

4 A That's it. I mean, we acquired that well from
5 Cities Service. It is now --

6 Q Oh. This would be the same well then on the two
7 lines?

8 A Right.

9 Q Once, it's shown as the Cities Service.

10 A Well, I hadn't noticed that. That's an error.

11 Q And then it drops down to the other line.

12 MR. STEVENS: At the time of the original oil/gas
13 ratio, it was the same well.

14 Q But it is the same well. I was looking for
15 another well there.

16 Well, is it your plans, Mr. Sweeney, that in
17 the event you build this pipeline to connect the Twinlakes
18 CH-1 and also the casinghead gas, and then what would you do
19 with this well that we were just discussing in the NW NW of
20 Section 12? Would that also be connected?

21 A Yes.

22 Q So, in effect, you'd have two gas wells producing.

23 A And plus the gas from our Twinlakes Devonian
24 field there in the SW SW. It makes about 150,000 a day
25 of gas. It would also go in the pipeline.

1 Q That one well in the SW SW of Section 1?

2 A Yes. It's the Lower Devonian.

3 Q But what you would propose as of now would be to
4 produce the two wells as gas wells, put that gas in the
5 line and, also, you'd have casinghead gas from your oil wells?

6 A Yes.

7 Q What would you expect the total volume of produced
8 gas would be under this 4,000-to-one ratio?

9 A Oh, approximately two million a day.

10 Q Two million a day. All right. And how much of
11 it would be casinghead gas and how much of it would be
12 gas well --

13 A Approximately eighty percent would be the two gas
14 wells and twenty percent would be casinghead gas.

15 Q Now, I missed that percentage of H₂S that you
16 mentioned.

17 A H₂S runs one percent. CO₂ runs around sixteen
18 percent.

19 Q So the combined total is "sixteen" percent?

20 A Yes.

21 Q Or, seventeen.

22 A Seventeen. We have offered a wellhead price of that
23 gas for eight and three-quarter cents and plus transportation
24 charge for delivering it to Cato.

25 Q Now, your CH-1, the gas well, does it make any liquids

1 at all?

2 A About -- Very little.

3 Q What kind of liquid does it make?

4 A Emulsion of oil and water.

5 Q Is it black oil and water?

6 A Yes. It makes just enough water to form a heavy
7 emulsion, with a turbulence from the gas mixing that little
8 bit of oil and little bit of water.

9 Q It's like black oil rather than a condensate?

10 A Right. It's oil. There's no condensate and that
11 San Andres gas is quite drv. From that gas well, it runs
12 about a gallon and a half.

13 Q Now, you mentioned that you drilled two wells on
14 the west side of this field which were high, but made water.
15 Would that be this one that is shown in Section 35?

16 A Yes. Cities Service actually drilled that well.

17 Q The top of the one would be at 1401 --

18 A Right.

19 Q -- in Section 35? And then down in Section 2, the
20 well with the top shown as being 1402?

21 A Well, the one, 1402, is shut-in. But the third
22 one -- plus 1383, the B-1, has been plugged. Both of those
23 wells have been plugged and, if you'll notice, they are both
24 higher or are in the range of our O'Brien A-1.

25 Q I can't tell what that is. Is that a 1329 on that

1 O'Brien?

2 A Yes.

3 O It is marked out with the dotted line on this
4 exhibit.

5 A It's 1392.

6 O So both of those wells would be higher than that
7 well?

8 A One of them would.

9 O And they were both water productive?

10 A Right.

11 O Mr. Sweeney, you are aware of a Commission policy
12 established over a long period of time in which they have
13 been reluctant to increase the G.O.R. for any pool until
14 such time as casinghead gas connections, or gas well
15 connections have been made in the pool, aren't you?

16 A I wasn't familiar; but in this case, we can't get
17 a connection until we do get our increase.

18 O Well, if you had an order which, in effect, approved
19 your application here and said that the G.O.R. would increase
20 at such time as you had connections, you could go ahead and
21 build your pipeline based on that?

22 A Right. It wouldn't make any difference until we
23 started selling the gas.

24 O It would be a tentative G.O.R. increase to wait
25 until you got your connections?

1 A Right.

2 MR. NUTTER: Are there any other questions of Mr.
3 Sweeney? He may be excused.

4 MR. STEVENS: I may ask him one question for your
5 benefit: Would it be agreeable with you if the Commission
6 so desired to have this order if it were ordered to be on a
7 one-year basis, only, to be reviewed next year?

8 THE WITNESS: Certainly. I mean, we expect to
9 maintain continuous review of the situation.

10 MR. NUTTER: We, in all probability, would establish
11 these rules on a temporary basis.

12 If there's no further questions, the witness may
13 be excused. Do you have anything further, Mr. Stevens?

14 MR. STEVENS: None.

15 MR. NUTTER: Does anyone have anything they wish to
16 offer in Case Number 4497? We'll take the case under advise-
17 ment and the hearing is adjourned.

18

19

20

21

22

23

24

25

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESS

PAGE

H. N. SWEENEY

Direct Examination by Mr. Stevens

3

Cross Examination by Mr. Nutter

13

EXHIBIT

MARKED

OFFERED AND
ADMITTED

Applicant's Exhibits 1 - 6

2

13

dearnley-meier reporting

1 STATE OF NEW MEXICO)
2 COUNTY OF BERNALILLO) SS

3 I, CHARLOTTE J. MACIAS, Court Reporter in and for the
4 County of Bernalillo, State of New Mexico, do hereby certify
5 that the foregoing and attached Transcript of Hearing before
6 the New Mexico Oil Conservation Commission was reported by
7 me and that the same is a true and correct record of the said
8 proceedings, to the best of my knowledge, skill and ability.

9
10 *Charlotte J. Macias*
11 Court Reporter

12 SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
13 209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
14 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

15
16
17
18
19
20
21
22 I do hereby verify that the foregoing is
23 a correct and true copy of the proceedings
24 held before me on 2/3 1971
25 *[Signature]*, Secretary
New Mexico Oil Conservation Commission