

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Santa Fe, New Mexico
April 28, 1971

EXAMINER HEARING

IN THE MATTER OF:)
)

Application of Pennzoil)
United, Inc., for the creation)
of a new pool and promulgation)
of special pool rules,)
Roosevelt County, New Mexico.)
)

4526
Case No. 2526

BEFORE: Elvin A. Utz, Examiner

TRANSCRIPT OF PROCEEDINGS



1 MR. UTZ: Case 4525.

2 MR. HATCH: Case 4526, application of Pennzoil
3 United, Incorporated, for the creation of a new pool and
4 promulgation of special pool rules, Roosevelt County, New
5 Mexico.

6 MR. KELLAHIN: If the Examiner please,
7 Jason Kellahin, Kellahin and Fox, Santa Fe, appearing for
8 the applicant.

9 I have one witness I'd like to have sworn.

10 (Witness sworn.)

11 (Whereupon, Applicant's
12 Exhibits 1 through 3 were
13 marked for identification.)

14 B. C. SINCLAIR

15 called as a witness, having been first duly sworn, was
16 examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q Would you state your name, please?

20 A B. C. Sinclair.

21 Q By whom are you employed and in what position,
22 Mr. Sinclair?

23 A Pennsoil United, Incorporated, as a petroleum
24 engineer.

25 Q Have you testified before the Oil Conservation
Commission or one of its examiners and made your qualifications

1 as an engineer a matter of record?

2 A Yes, sir.

3 MR. KELLAHIN: Are the witness' qualifications
4 acceptable?

5 MR. UTZ: Yes sir, they are.

6 Q (By Mr. Kellahin) Mr. Sinclair, are you familiar
7 with the application of Pennzoil United, Incorporated, in
8 Case Number 4526?

9 A Yes sir, I am.

10 Q Briefly, what's proposed by the applicant in this
11 case?

12 A We would like to have the Commission create a
13 new pool for the production of gas from the San Andres
14 formation and to promulgate field rules, special rules for
15 this pool, with provision for 320-acre spacing.

16 Q Now, referring to what has been marked as the
17 Applicant's Exhibit Number One, would you identify that
18 exhibit and discuss the information shown on it?

19 A Yes, this is a structure map showing the location
20 of the Pennzoil United Superior State Number One Well in
21 Section 8, Township 7 South, Range 35 East.

22 Also shown on the map are the locations of other
23 wells in this general area that penetrated the San Andres
24 formation. The wells colored in orange are San Andres
25 gas wells, and the wells colored in green are some recently

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 drilled Wolfcamp zone wells.

2 MR. UTZ: They look interested. I thought they
3 might want to look at that.

4 MR. KELLIHAN: Anybody want to look?

5 A You need another copy? The contours on the
6 map are drawn on the top of the San Andres Pi Marker, which
7 is a well-recognized geological marker on the San Andres
8 formation, and the contours show the general structure of the
9 San Andres reservoir that we are dealing with today.

10 The San Andres gas wells in the southeast corner
11 of the map are in the Todd upper and San Andres gas pool.
12 This reservoir began production in early 1964, and based on a
13 pressure -- bottomhole pressure taken at the Franklin, Aston
14 and Fair Texaco Federal Number One Well in Section 27, the
15 original bottomhole pressure in this reservoir was 1256
16 pounds.

17 The San Andres gas well shown up north of this
18 area in Section 9 is a well drilled by Cactus Drilling
19 Company in November of 1966. This is the Kewanee State
20 Number Two Well, and it was completed from the upper portion
21 of the San Andres for a calculated open flow potential of
22 2.1 million cubic feet per day. The perforations in this
23 well are 4181 to 4208.

24 The Pennzoil Superior State Number One Well was
25 completed on February the 5th, 1971. The perforations in

dearnley-meier

1 this well are 4231 to 4261, and after the well was treated
 2 with 11,000 gallons of acid, it flowed at a rate of
 3 2.472 million cubic feet per day with a flowing pressure
 4 of 900 pounds, and had an open flowpotential of five million
 5 cubic feet per day.

6 The bottomhole pressure in the Pennzoil well
 7 was 1277 pounds, which is slightly higher than the original
 8 pressure reported down in the Todd Upper San Andres
 9 pool.

10 The Todd Upper San Andres pool is virtually
 11 depleted. It's still producing, but the production is
 12 very low, and the wells down -- several of the wells have
 13 been shut in due to depletion, and the few that are producing
 14 are producing at low rates.

15 And the fact that the Pennzoil well came in at
 16 above original pressure for this pool indicates separation
 17 of the two areas. Also, the structure indicated there is
 18 a structural low indicated between the two areas, again
 19 indicating separation.

20 The three northernmost wells shown in the
 21 Todd Upper San Andres pool have all performed as edge
 22 wells. The Featherstone Federal Number One Well in
 23 Section 23 made only twenty-nine million cubic feet of
 24 gas before it depleted.

25 The McClellan Federal Number One, 22 well -- in

1 Section 22 made only seventy-nine million cubic feet of
2 gas before it depleted.

3 MR. UTZ: How much?

4 A Seventy-nine. And the Franklin, Aston and
5 Fair -- well, the McClellan Federal Number One on the
6 northeast quarter of Section 28 made 370 million cubic
7 feet of gas before it depleted.

8 All the other wells, gas wells shown in the
9 Todd Upper San Andres pool there made from eight hundred
10 million to over a billion and a half cubic feet of gas,
11 and most of them are still producing. So this indicates
12 that those three first wells I mentioned are definitely
13 edge wells, and it appears that an edge was reached in the
14 development of this reservoir.

15 Q (By Mr. Kellahin) Now, is it your opinion that
16 the well in -- you stated that your Pennzoil well in
17 Section 8 is in a separate common source of supply from the
18 Todd Pool?

19 A Yes.

20 Q In your opinion, is it also in a separate common
21 source of supply from the Kewanee or Cactus well in
22 Section 9?

23 A Yes sir, it is.

24 Q What do you base that on?

25 A The -- on correlative -- on the lack of

1 correlative correlation between the two zones. The
 2 Kewanee State Number Two is completed in the upper portion
 3 of the San Andres and the Pennzoil Superior State is
 4 completed on the lower section, and there is a well-known
 5 ~~anti-hydrate~~ ^{anti-hydrate} bed that separates these two zones that has
 6 been used down in the Todd field as a vertical separation
 7 between the two pools there.

8 Q In your opinion, is this ~~anti-hydrate~~ ^{anti-hydrate} section
 9 an effective barrier to prevent communication between the two
 10 zones?

11 A Yes, sir.

12 Q So it would actually create physically a separate
 13 pool?

14 A Yes, sir.

15 Q Referring to what has been marked as Exhibit
 16 Number Two, would you identify that exhibit, please?

17 A Yes, Exhibit Two is a tabulation of the average
 18 reservoir properties for the Pennzoil Superior State
 19 Number One Well. Perhaps the most significant property
 20 there is the permeability of ten millidarcies average and
 21 the analysis of these properties in comparison with other
 22 San Andres gas reservoirs in the area.

23 An analysis of the production tests conducted
 24 on the Superior State Number One all indicate that this
 25 well is capable of efficiently draining in excess of 320 acres

1 per well.

2 Q Are there other San Andres gas pools based -- in
3 this area based on 320-acre spacing?

4 A Yes sir, the Todd Upper San Andres gas pool is
5 on 320-acre spacing. There is a Todd Lower San Andres
6 pool that is an associated oil and gas reservoir, and the
7 gas portion of this reservoir is on 320-acre spacing, and the
8 Bluett San Andres pool is an associated pool, and the gas
9 cap of it is on 320-acre spacing.

10 Q Now, have you made a study of the economics of
11 drilling on 160 acres versus 320 acres --

12 A Yes, sir, I have.

13 Q -- in this area?

14 A Yes, sir.

15 Q Referring to what has been marked as Exhibit
16 Number Two -- Three, would you discuss that exhibit?

17 A Yes, this exhibit compares the economics for
18 160-acre spacing versus 320 acre spacing. The reserves
19 shown are volumetric calculations of the reserves from
20 the Superior State Number One Well. However, these reserves
21 are substantiated by a performance of wells in other
22 San Andres gas pools in this area.

23 The slightly higher reserves have been assigned
24 to two wells on 160-acre spacing as compared to the one
25 well on 320-acre spacing.

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Total revenue of \$134,250.00 has been stated
 2 for two wells on 160-acre spacing, and total revenue of
 3 \$118,460.00 is stated for one well on 320-acre spacing.
 4 This is after royalty and severance taxes are deducted.

5 It is estimated that it will cost sixty-two
 6 thousand dollars to drill, complete and equip a well in
 7 this reservoir, and operating costs are estimated at three
 8 hundred dollars per well per month.

9 This gives total expense of \$152,800.00 for
 10 160-acre spacing and \$80,000.00 for 320-acre spacing.
 11 This results in a net loss of 160-acre spacing of \$18,550.00,
 12 and a net profit of \$38,460.00 under 320-acre spacing.

13 Q Now --

14 A The --

15 Q Excuse me, go ahead.

16 A The profitability, or the profit investment ratio
 17 of .62 and the average rate of return of 12.4 per cent are
 18 just barely adequate to justify developing the reservoir on
 19 320-acre spacing, and it would certainly be Pennzoil's
 20 requirement that we see some performance out of this one
 21 well before we can -- that would show some reserves we
 22 estimate are correct before we could attempt to develop
 23 this reservoir further.

24 Q How did you arrive at your reserves in this
 25 tabulation?

1 A These were volumetrically calculated based
2 on the net earnings and porosity and water substance
3 that have developed in our Superior State Well, and I
4 did say that other oil and gas wells that are on 320-acre
5 spacing have produced reserves in this range, which seems
6 to substantiate the figures.

7 Q Now, would a one year's period of time give you
8 sufficient data to learn more about the reserves on the
9 basis of pressure and production?

10 A Yes sir, we could probably learn this in a few
11 months after the well was put on production, and we are
12 in the process of negotiating a sale for this gas
13 now.

14 Q And what you are asking for here are temporary
15 rules for 320-acre spacing, is that correct?

16 A Yes, sir.

17 Q Now --

18 A That's right.

19 Q What figure did you use for your gas price
20 on this calculation?

21 A The gas price is 10.3 cents, 10.34 cents per cubic
22 foot.

23 Q That's somewhat lower than the price of gas in
24 other areas, is it not?

25 A Yes, it's a fairly low price.

1 Q Why is that?

2 A This gas has a -- about a twenty-one per cent
3 inert content. It contains carbon dioxide and nitrogen, and
4 this results in a lower price than you would normally expect
5 for the gas.

6 Q But that is the price you would get for this
7 gas?

8 A This is the price that we are negotiating for. A
9 price has not been established. We hope it will be this good.
10 It could be a little more or a little less. The FPC will have
11 a hand in this, as we are negotiating with the purchaser.

12 Q Now, do you have any specific recommendations
13 as to the pool rules that you would recommend?

14 A We would recommend that the 320-acre spacing rule
15 be the same as the state-wide 320-acre spacing rule, that is,
16 the well is located 1980 feet from an end boundary and 660
17 feet from an inside boundary, and no closer than 330 feet
18 to any quarter-quarter section line, and that any half section
19 be established as a spacing unit.

20 Q Between north, south, east or west?

21 A Yes, sir.

22 Q And do you have a proposed name for the pool?

23 A We would suggest the Northwest Todd San Andres
24 Gas Pool.

25 Q Were Exhibits One, Two and Three prepared by you or

1 under your supervision?

2 A Yes sir, they were.

3 Q All right.

4 MR. KELLIHAN: At this time, I would like to
5 offer in evidence Exhibits One, Two and Three.

6 MR. UTZ: Without objection, the Exhibits One,
7 Two and Three will be entered into the record of this
8 case.

9 (Whereupon, Applica'n'ts
10 Exhibits 1 through 3 were
admitted in evidence.)

11 Q (By Mr. Kellahin) Do you have anything further,
12 Mr. Sinclair?

13 A We might ask about a supporting letter from
14 Superior. Was that received?

15 MR. HATCH: The Commission has received the
16 supporting letter from Superior.

17 MR. KELLAHIN: That completes the presentation.

18 CROSS EXAMINATION

19 BY MR. UTZ:

20 Q Mr. Sinclair, I'm a little confused about
21 Exhibit Number Three. Under revenue, 160 acres, seventeen
22 hundred million reserves?

23 A A Billion, seven, yes sir.

24 Q A billion, seven, reserves at 10.34 cents per
25 thousand is a hundred and seventy-five thousand, seven hundred

1 eighty?

2 A Yes, sir.

3 Q On 320 acres, fifteen hundred million, or 1.5
4 billion?

5 A Yes, sir.

6 Q You got a -- less gas from 320 than you do from
7 160?

8 A Yes, sir. This is something I feel like is
9 very reasonable and practical. We are not saying that -- that
10 you will recover as much gas on 320-acre spacing as you
11 would on 160 or if you drilled on 80. I mean, you would
12 recover slightly more gas on 160. If you drilled, you would
13 recover slightly more gas, but I am just showing you that
14 the economics will not justify the closer spacing, even
15 though you do recover slightly more gas.

16 The investment required to get that two hundred
17 million additional is substantial, sixty-two thousand
18 dollars just for the well, which is a whole lot more than
19 that gas is worth.

20 And this is just an educated guess, Mr. Examiner.
21 It's not a high-powered calculation at all.

22 MR. KELLAHIN: Your figure is based on two
23 wells on 320 acres in your 160-acre calculation, is it
24 not?

25 A It's based on two wells on the 320-acre

1 acre spacing, or 160-acre spacing, and one well on that
2 same tract for 320-acre spacing.

3 MR. KELLIHAN: This is what two wells would
4 produce, not what one would produce on 160 --

5 A What two wells would produce, that's correct.
6 Two wells on 160-acre spacing would produce the billion,
7 seven.

8 Q (By Mr. Utz) And two wells on 320?

9 A One well on 320 would produce the billion and a
10 half.

11 Q One well?

12 A Yes.

13 Q I see; you had me going there. I couldn't figure
14 out how you could have that 160 acres and get less gas on
15 the --

16 A Well, I'm sorry I confused you.

17 MR. KELLAHIN: It's the same 320 acres?

18 A The same 320 acres with one or two wells on it.

19 Q (By Mr. Utz) I see; did you make any recommendation
20 for horizontal limits?

21 A For the pool?

22 Q Yes.

23 A Yes -- no, sir. I would think that we plan to
24 dedicate the west half of Section 8 to this well, and we
25 have no desires other than this half section, if our

1 application is approved, to be in the pool right now.

2 We feel like that there may be two or three
3 more half sections that certainly have possibility,
4 production potential, but that remains to be determined
5 by future development.

6 Q Does this well produce any condensate?

7 A Yes, it produced a very small amount of
8 condensate. On Exhibit Two, I showed it produced two-tenths
9 of a barrel per million, and this was based on a three-day
10 test conducted by a potential purchaser. He flowed the
11 well a a million and a half rate for three days and
12 recovered less than a barrel of condensate in this period,
13 and in here, as you can see, the oil gravity is rather
14 low, and the gas reservoir is 36 degrees API.

15 Q Do you have any idea as to whether this deposit
16 would be on an associated pool?

17 A Yes, we would like to recognize that as a
18 possibility. The other San Andres gas pools in the area
19 produced a low gravity oil or condensate, and of course
20 there are some of them that have been determined to be an
21 associated reservoir, and at least one, that Todd Upper
22 San Andres pool, has been determined to be a gas reservoir,
23 and I don't think anyone would say for sure right now
24 that this well might not have -- this reservoir might not
25 have an oil rim on it, but certainly the low amount of oil

1 production indicates that the gas -- it's a gas reservoir
2 possibly with a small oil rim.

3 And we would like to stress that we are asking
4 for temporary rules, and if it's determined that it's an
5 associated reservoir by further development, that we would
6 certainly have no objection to it being so classified.

7 Q Would you anticipate the gas area to be to the
8 northwest of your well?

9 A Based on our map there, yes sir, we would. This
10 appears to be --

11 Q If this map is correct, well, it might not be
12 too much oil there. It might be to the southeast of your
13 well?

14 A Yes sir, that's my opinion, that it's a very
15 small oil rim, if one exists at all, in a transition
16 to a gas reservoir to make this low gravity oil, and we will
17 have to see how it develops to know for sure about this
18 possibility of an oil rim.

19 Q And your present plans are to test this well
20 for sometime and take a good look at it before you spend
21 any more money drilling it?

22 A Yes sir, that would be correct.

23 MR. UTZ: Questions?

24 You may be excused.

25 (Witness excused.)

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

MR. UTZ: Statements?

The case will be taken under advisement.

dearnley-meier reporting company

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1	<u>I N D E X</u>		
2	<u>WITNESS</u>		<u>PAGE</u>
3	B. C. SINCLAIR		
4	Direct Examination by Mr. Kellahin		2
5	Cross Examination by Mr. Utz		12
6			
7			
8			
9	<u>EXHIBIT</u>	<u>MARKED</u>	<u>OFFERED AND ADMITTED</u>
10	Applicant's 1 through 3	2	12
11			
12			
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

