

dearnley-meier reporting service, inc.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-4491 • ALBUQUERQUE, NEW MEXICO

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Roswell, New Mexico

October 13, 1971
Examiner Hearing

IN THE MATTER OF:)
)
)

Application of Jack L.)
McClellan for a)
waterflood project, Chaves)
County, New Mexico.)
)
)

Case No. 4610

BEFORE: DANIEL S. NUTTER, EXAMINER

TRANSCRIPT OF HEARING

1 MR. NUTTER: We will call next Case No. 4610.

2 MR. HATCH: Case 4610. Application of Jack L.
3 McClellan for a waterflood project, Chaves County, New Mexico.

4 MR. KELLAHIN: If the Examiner please, Jason
5 Kellahin, Kellahin and Fox appearing for the applicant. We
6 have the same witness, Mr. Johnson.

7 Let the record show that he has been sworn and
8 qualified in this case.

9 MR. NUTTER: The witness is qualified and still under
10 oath.

11 JOE JOHNSON

12 having been previously duly sworn, according to law, upon his
13 oath testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q Mr. Johnson, are you familiar with the application of
17 Jack L. McClellan in Case 4610?

18 A Yes, I am.

19 Q What is proposed by the applicants in this case?

20 A We propose waterflood permit or permit to begin waterflood
21 work in the Sulimar field.

22 (Whereupon, Applicant's Exhibits 1 through 18 were
23 marked for identification.)

24 Q Mr. Johnson, in connection with the preparation for the
25 waterflood project, did you do any work for Mr. McClellan?

1 A Yes. We analyzed the prospect of waterflood and prepared
2 a report concerning the flood ability of the interval.

3 Q And it is on the base of this report that this waterflood
4 project was initiated; is that correct?

5 A This is correct.

6 Q Now, referring to what has been marked as the Applicant's
7 Exhibit No. 1, would you identify it?

8 A This is a location map indicating the location in the
9 Sulimar field located approximately 50 miles southeast of
10 Roswell, Chaves County.

11 Q And Exhibit No. 2, would you identify that exhibit, please?

12 A Exhibit No. 2 are the well records indicating the
13 completion date, elevation, total depth of the casing
14 information, top of the Queen, sub-sea data, net effective
15 pay, completion interval, producing zone, treatment,
16 initial potential on each of the wells in the Sulimar
17 field.

18 Q It also shows the present status of the wells in some
19 instances; is that correct?

20 A Yes.

21 Q Other than those that are shown as shut-in or dry holed
22 are they presently producing?

23 A Yes.

24 Q Now, referring to what has been marked as Exhibit No. 3
25 would you identify that exhibit?

1 A These are the most recent well tests obtained on the
2 wells in the Sulimar field. It also indicates on the right
3 hand side the status of the wells at the present time.

4 You will note that in the Pubco and City Service that
5 we did not have exact well tests. These are estimated
6 tests.

7 Q Now, does the 80-acre production indicate that the Sulimar
8 has reached an advanced stage of completion?

9 A Yes, sir. We are estimating at this time that we
10 probably are in the range of about ninety percent complete,
11 primary reserves.

12 Q And it is suitable at this point for secondary recovery?

13 A Yes, sir.

14 Q It is at the stripper stage?

15 A Yes, sir.

16 Q Is there anything else you want to add in connection with
17 that exhibit?

18 A No, sir.

19 Q Now, Exhibit No. 4, would you identify that exhibit?

20 A This is the map indicating the -- it is a geologic
21 structure map contoured on top of the Queen sand in the
22 Sulimar field.

23 Q It also indicates the gas-oil and water-oil context based
24 on completion information and has the water-oil content or
25 the determining factor; is that correct?

- 1 A Yes, sir, along the -- along the east side, and we have
2 the sand pinch-out line along the north side. We also
3 have the same pinch-out position along the west side with
4 the small gas cap located along the west side.
- 5 Q And to the south what is it?
- 6 A To the south we have combination of the same pinch-out as
7 well as the water.
- 8 Q That is reflected by the dry holes which are on the south
9 and east sides?
- 10 A Yes, sir.
- 11 Q Also to the north? Now, referring to what has been marked
12 as Exhibit No. 5 would you identify that exhibit?
- 13 A This is an isopach map contoured on the estimated net
14 effective oil pay, thickness in the Sulimar field. This
15 also indicates the pinch-out position that we are
16 previously referring to.
- 17 Q And this substantially encloses the area that you propose
18 to flood, does it not?
- 19 A Yes, sir, it does.
- 20 Q Is it relatively close producing zone in there?
- 21 A To the best of our knowledge it is closed.
- 22 Q And it would be suitable then for effective control of the
23 flood?
- 24 A Yes, sir.
- 25 Q Now, referring to Exhibit No. 6 would you identify that

1 exhibit?

2 A Exhibit 6 is the oil production history in each of the
3 leases and in the Sulimar field from the beginning of
4 production through July 1971.

5 It indicates that the total recovery to date from
6 the field has been 516,812 barrels.

7 Q Do you have any estimate on what could be anticipated from
8 secondary recovery?

9 A We are estimating similar production.

10 Q Same production?

11 A Approximately the same, roughly 5 to 600,000 barrels.

12 Q And is that oil? Would it not otherwise be recovered if
13 you did not institute a waterflood project?

14 A Yes, sir.

15 Q Now, referring to Exhibit No. 7 would you identify that
16 exhibit, please?

17 A Exhibit 7 is a reservoir performance curve. This is the
18 total field and indicates the primary performance up
19 through July 1971.

20 It is anticipated that this decline which is being
21 shown now would continue down to an economic limit and
22 would reach a primary economic limit probably in about a
23 two to three year point through the installation of the
24 flood which we anticipate to be in the immediate future.

25 We assume we will have a decline in production as

1 shown on the extension followed by eleven and then an
2 increase in production with the performance of the flood
3 shown on the dashed line.

4 Q And then that reflects the ultimate secondary recovery to
5 which you have just testified?

6 A Yes, sir.

7 Q Now, we come to a series of exhibits, Nos. 8 through 15
8 inclusive. Would you discuss those as a group, please?

9 A These are reservoir performance curves of each of the
10 leases involved in the Sulimar-Queen field indicating the
11 primary production to date, the declined trend now being
12 indicated or estimated of the future decline that would be
13 indicated on the property without a flood, and the primary
14 economic limit which would be reached.

15 All of these are virtually the same type of curve and
16 marked with oil production barrels per month on the left
17 side as opposed to time.

18 Q And this does not reflect any effect of the waterflood
19 project in your estimation?

20 A No.

21 Q Now, is it shown on your Exhibit No. 7?

22 A This is correct.

23 Q Is there any particular one you wish to point out any
24 information on, Mr. Johnson?

25 A No. They are all about the same.

1 Q They are all about the same?

2 A Yes.

3 Q Now, does this include all of the leases which would be
4 affected by your proposed waterflood project?

5 A Yes, it does.

6 Q And it shows the performance to date?

7 A Yes, sir.

8 Q On all of those individual lease bases?

9 A Yes, sir.

10 Q Now, referring to what has been marked as Exhibit No. 16
11 would you identify that exhibit?

12 A Exhibit 16 is a plat of the waterflood area or the Sulimar
13 field, also has been marked as the proposed well to be
14 converted to injection status in triangle symbol, the outer
15 edge limit reservoir is also shown on the plat.

16 It basically indicates the wells that we anticipate
17 converting to injection status with this flood.

18 Q And have you found it necessary to change your flood
19 pattern from that originally proposed on a plat which was
20 filed with the Oil Commission in connection with this case?

21 A Yes. We have changed it recently.

22 Q And in your opinion will a waterflood injection pattern as
23 proposed here be an effective waterflood project?

24 A Yes, sir, it will.

25 Q And would you control it by raising injection in the various

1 wells rather than by necessarily the location of the
2 injection wells?

3 A Yes, sir. It would have to be controlled in order to center
4 on producing wells.

5 Q And that would be done by the injection rate?

6 A Yes, sir.

7 Q Now, would you refer please to Exhibit No. 17?

8 A This is the legal description of each of the leases along
9 with the lease name and lease number.

10 Q And does that cover include all of the area then that would
11 be affected by the waterflood project?

12 A Yes, sir.

13 Q Now, referring to Exhibit No. 18 would you identify that
14 exhibit?

15 A This exhibit is the proposed injection wells that were
16 shown on the previous map exhibit. It also gives their
17 unit position, section, township and range.

18 MR. NUTTER: 16 is the map, 17 is this list of leases,
19 then this would be 18?

20 THE WITNESS: Yes, sir.

21 MR. KELLAHIN: This is the last exhibit.

22 MR. NUTTER: Okay.

23 Q (Mr. Kellahin continuing) And that gives the unit location
24 of each of the proposed injection wells?

25 A Yes, sir, it does.

dearnley-meier reporting services, inc.

1 Q Now, Mr. Johnson, this originally was projected as a unit
2 area with a waterflood project, was it not?
3 A Yes, sir, it was.
4 Q And it caused some problems in connection with the unit
5 agreement. What action have you determined to take at this
6 time?
7 A We will go to a cooperative type project.
8 Q And do all of the working interest owners agree that this
9 can be done in this phase?
10 A Yes, sir.
11 Q Have you received approval from the United States Geological
12 Survey?
13 A Yes, sir.
14 Q And they agree to a proposed waterflood project?
15 A Yes, sir.
16 Q On a cooperative base?
17 A Yes.
18 Q Were Exhibits 1 through 18 prepared by you or under your
19 supervision?
20 A Yes, sir, they were.
21 MR. KELLAHIN: At this time I will move the
22 introduction of Exhibits 1 through 18.
23 MR. NUTTER: Applicant's Exhibits 1 through 18 will be
24 admitted in evidence.
25 Q (Mr. Kellahin continuing) Do you have anything further to

1 add, Mr. Johnson?

2 A No, sir, I do not.

3 MR. KELLAHIN: That completes our presentation.

4 CROSS-EXAMINATION

5 BY MR. NUTTER:

6 Q Mr. Johnson, since you have had to abandon the unit consent
7 here at least for the time being and proposed to launch
8 this waterflood project on a cooperative base, it would
9 appear that all of the injection wells on your Exhibit
10 No. 16 belong to Mr. McClellan with the exception of one
11 City Service injection well on the far south end of the
12 pool; is this correct?

13 A Yes, sir, this is correct.

14 Q So in effect, what you are doing here today is acting as
15 agent for City Service requesting authority for them to
16 operate a waterflood project?

17 MR. KELLAHIN: If the Examiner please, I think we will
18 work out a designation of operator arrangement of some kind
19 where it will all be operated under one control. At least this
20 is what we anticipate pending unitization.

21 THE WITNESS: Yes, sir.

22 Q So you are seeking authority today for City Service under
23 a water injection well on their federal lease?

24 A That's right.

25 Q And then of course Mr. McClellan is asking for water

1 injection on various of his leases in the Pubco lease in
2 the north half of the northeast quarter of Section 26 which
3 I believe is all of the acreage that they have in the area.

4 A Yes, sir.

5 MR. KELLAHIN: That's correct.

6 Q That is productive?

7 A Yes, sir.

8 Q That doesn't have an injection well on it?

9 A No, sir. Here again we anticipate making an agreement with
10 City Service and Pubco along with the McClellan group so
11 that the cooperative type flood can be conducted.

12 Q Well, until such time as the acreage has been unitized or
13 until such time as some sort of cooperative arrangements
14 have been made and evidence thereof submitted to the
15 Commission, each one of these leases would have to stand
16 on its own as far as allowable is concerned and not --

17 A Yes, sir, of course.

18 MR. KELLAHIN: If the Examiner please, I believe there
19 is no lease without a producing well.

20 MR. NUTTER: Right.

21 Q (Mr. Nutter continuing) Now, Mr. Johnson, you didn't go
22 into the rates of injection and the source of water and such
23 as that.

24 A The source of water will be coming from Double Eagle. We
25 will be purchasing this water. Rate of injection

1 anticipated to be in the order of 2400 to 3000 barrels of
2 water per day.

3 Injection rates will be as I said earlier -- will be
4 set in accordance with flood proposition and rates for
5 each individual well set there in accordance with this.

6 Q Well, apparently if you are going to inject 2400 to 3000
7 barrels of water per day you have got seven injection
8 wells, so it will be in the neighborhood of 300 to 400
9 barrels per day?

10 A Yes, sir, this is correct.

11 Q Do you have any idea yet as to pressures that would be
12 required?

13 A I would anticipate about 1000 barrels.

14 Q How many barrels of water do you expect is going to be
15 required for fill-ups before you start getting a response?

16 A We anticipate response in about a six-month period in the
17 order of 400,000 barrels.

18 Q 400,000?

19 A Yes, sir.

20 Q Now, your total cumulative primary production from the
21 pool to date was somewhere in the neighborhood of 500?

22 A 517.

23 Q And 17,000 barrels? Have you made a calculation as to what
24 you can anticipate on secondary recovery?

25 A Yes, sir. We gave that a minute ago.

1 Q I missed it.

2 A It would be in the order of around 600,000 barrels.

3 Q 600,000?

4 A Yes, sir.

5 Q Now, the mechanism is going to be utilized here for the
6 construction of the injection wells, Mr. Johnson?

7 A Injections wells will be running tubing, setting packer
8 approximately fifty feet above the producing interval.

9 Q A little slower, please. Packer fifty feet above the
10 producing interval?

11 A Yes, sir. Loading the back side of the hole it is not
12 anticipated initially to use plastic tubing, plastic-coated
13 tubing. We anticipate control of the corrosion rate so
14 that this will not be necessary.

15 Q And how will that be achieved?

16 A Through chemical injection.

17 Q I see. Control corrosion by treatment of the water then?

18 A Yes, sir, also control of scale hopefully.

19 Q Now, when you mentioned that you would load the back of
20 the hole you mean the annulus between the tubing and casing?

21 A Yes, sir.

22 Q With inert fluid?

23 A Yes, sir.

24 Q And can you equip those well heads with a pressure gauge
25 on that annulus?

dearnley-meier

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A Yes, sir.

Q So it would detect leakage?

A Yes, sir.

MR. NUTTER: Are there any further questions of Mr. Johnson? He may be excused.

(Witness excused)

MR. NUTTER: Do you have anything further, Mr. Kellahin?

MR. KELLAHIN: Not in this case, sir.

MR. NUTTER: Does anyone have anything they wish to offer in Case No. 4610? If no one has anything further in Case No. 4610 we will take that case under advisement.

dearnley-meier

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESS

PAGE

JOE JOHNSON

Direct Examination by Mr. Kellahin

2

Cross-Examination by Mr. Nutter

11

E X H I B I T S

MARKED

PAGE

Applicant's Exhibits 1 through 18

2

OFFERED IN EVIDENCE

PAGE

Applicant's Exhibits 1 through 18

10

