

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
January 27, 1972

SPECIAL HEARING

_____)
IN THE MATTER OF:)
)
Application of Continental) Case No. 4628
Oil Company for an order)
to ensure ratable taking)
of gas and an exception to)
Order No. R-1670, Rio)
Arriba County, New Mexico)
_____)

BEFORE:

State Geologist A. L. Porter, Jr.,
Secretary-Director.

TRANSCRIPT OF HEARING
Volume II

January 27 9:00 A.M.

MR. PORTER: The hearing will come to order, please.

Mr. Haseltine, I believe you were on the stand, even though your
attorney would agree to waive cross-examination, somebody would
like to ask you a few questions.

CROSS-EXAMINATION

BY MR. KELLAHIN

Q Mr. Haseltine, in connection with your Exhibit No. 1, do
you--I believe you testified you omitted one of the lines
coming in from the north that designated the Taylor
Company

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 line; is that correct?

2 A That is correct.

3 Q This is a high pressure line?

4 A Yes.

5 Q What is the pressure in that line?

6 A I am not sure what the pressure runs all of the time.

7 Q Approximately?

8 A Basically it is a 500 pound system.

9 Q 500 pounds, and it could be higher or lower?

10 A Yes.

11 Q Generally in that vicinity?

12 A Yes.

13 Q Is that line connected to any Pictured Cliffs wells?

14 A I think there is one Pictured Cliffs well in that system.

15 Q Actually, aren't there two?

16 A Well, I only think there is one. There may be two. We

17 made some special trade offs when we divided that system

18 and hooked some Dakota wells to the low pressure, and

19 hooked some P. C.'s to the high pressures, as a trade off

20 in renegotiation.

21 Q I call your attention to the Breach F12 and the Breach F8,

22 which are in Section 34 and Section 35, and 27 North, 6

23 West. Would you agree they are connected to your high

24 pressure line?

25 A Would you give me those again?

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
 209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Q Breach F27, Breach F8 location? 35-4 and 34 in 27 North
2 Range 6.

3 A Yes, I believe that is correct.

4 Q Do you know anything about the ability of those wells to
5 produce?

6 A Oh, in specific terms, no. They are about like the other
7 South Blanco-P. C. wells in that Caulkins area. They are
8 marginal wells.

9 I would have to look at the schedule to see if the
10 schedule shows they are marginal.

11 Q You would agree to that, I assume, the official records of
12 the Oil Conservation Commission?

13 A That is what determines the marginal wells, the official
14 records of the Oil Conservation Commission.

15 Q And also the pressure in the pipeline, is it not?

16 A Not to my knowledge.

17 Q Not to your knowledge, but they are bucking 500 pounds more
18 or less of pressure?

19 A They are bucking whatever is in the high pressure system,
20 that is correct.

21 Q You don't know exactly what it is?

22 A It is around 500.

23 Q Now, turning to your Exhibit No. 2, Mr. Haseltine, that is
24 a diagrammatic sketch of the compression installation at
25 Dogie Canyon.

1 What, specifically, are the pressures on the intake
2 and discharge side of those compressors; is that design
3 pressure or actually working pressures?

4 A Those pressures that I have designated on that Exhibit No.
5 2, as I testified, I believe are approximately current
6 operating pressures.

7 They represent a typical pressure. If you would go
8 out there today, that is about what you would find.

9 Q Do you have then a pressure of 320 pounds coming off of the
10 reciprocals and the two Solar compressors and an intake of
11 320 on the 300 hp Solar. Is that what you are--

12 A There are no 300 hp.

13 Q What is that 300 number for?

14 A 3,000. What was the question?

15 Q You have the same outlet pressure on your other compressor
16 as you have on the intake side of the 3,000 hp compressor?

17 A Yes.

18 Q You have no pressure drop across there at all?

19 A There is some minor drop. We are talking about the typical
20 normal pressure that you would find, sure, you have some
21 drop through 15 or 20 feet of the line in through it. There
22 is cooling equipment in between the discharge of the first
23 three compressors and the suction on the fourth compressor,
24 too.

25 Q You would have quite a little bit of drop then? When that

1 gas is cooled, the pressure drops, does it not?

2 A No.

3 Q It doesn't?

4 A No.

5 Q You mean the cooler gas has a higher pressure than the
6 heated gas coming out of the first stage?

7 A Temperatures of gas is totaled independent of pressures of
8 gas.

9 Q You have a pressure drop of at least five pounds across
10 there?

11 A I will give you five pounds.

12 Q Thank you.

13 Now, you show the cargo line coming into the station.

14 You haven't given us the pressure on the intake side
15 of that line. What is it?

16 A 320. That is what we showed in on there, through that
17 manifold.

18 Q At the point you connect to your Solar compressor is 320
19 pounds?

20 A Yes.

21 Q This is your 500 pound line?

22 A 500 pound system.

23 Q 500 pound system. How do you get a pressure drop of 300
24 pounds from 500 on your upper end to 320 down here?

25 A That is not a 300 pound drop.

1 Q I didn't say a 300 pound drop. I think I said how do you
2 account for the pressure drop of that magnitude in that
3 system?

4 A Pressure drop is a function of flow and the size of the
5 facility.

6 Q Well, what is the size of the facility?

7 A I think that is another 10-inch trunk that runs out there,
8 but I am not sure.

9 Q So, you have considerably more of a pressure drop on that
10 line than you do on your other ten lines connected to the
11 Pictured Cliffs; is that correct?

12 A I suspect that is right.

13 Q Where is that line actually physically connected; is it
14 connected at the compressor station or is it connected to a
15 portion of your pipeline system as shown on Exhibit 1?

16 A Well, now, I don't understand that question.

17 Q Where does your Largo line come into this compressor
18 system? Are you connected at the compressor facility at
19 Dogie Canyon or are you connected to some portion of the
20 Pictured Cliffs pipeline shown on your Exhibit 1?

21 A No, the Largo system comes in separately, the Dogie Canyon
22 Compressor Station facility.

23 Q It is an entirely separate pipeline? There is a lot of
24 inner-connecting, manifolding to provide flexibility in
25 this Dogie Canyon Station?

100-111111-111111

1 A At the station, yes.

2 Q Now, Mr. Haseltine, how long have you been associated with
3 and known about the problems that existed at this Dogie
4 Canyon Station?

5 A Well, I have associated with the total operation, including
6 the Dogie Canyon Compressor Station and all facilities in
7 that area, why, for ten or 12 years.

8 Q And did you have anything to do then with the redesigning
9 of the facilities there?

10 A Of the Caulkins area system?

11 Q Well, the Caulkins area system, the Continental area system,
12 the entire system?

13 A Well, insofar as the gas supply functions that have been
14 previously described, in the decision making process that
15 leads to the purchase of facilities, yes, sir, I have some
16 impact on that. Now, I did not design the equipment, nor
17 did I place the order.

18 Q Now, how long have you known about Continental Oil Company's
19 problems as they have been related to you in this respect?

20 A Continental first contacted us, I think, about last April
21 or May. Now, I could stand some correction on that, but it
22 was early in '71.

23 Q You don't recall a letter written in 1970, December?

24 A They wrote in 1970, December, asking about operations down
25 in Belen, which is not part of this case. They may have

U6011167-110151

100-11101-101

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG., P.O. BOX 1092, PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 I think July, August, September.

2 Q Now, did you or did you not know of the complaints

3 Continental Oil Company had at the time this installation

4 was proposed?

5 A At the time the installation was first proposed? And con-

6 ceived?

7 Q Yes.

8 A No.

9 Q Did you ever look at the production situation on those two

10 segments of your line?

11 A Certainly.

12 Q Before you designed this?

13 A Certainly.

14 Q You didn't know that Continental had a problem, although

15 you looked at it?

16 A We don't recognize that as a problem today.

17 Q You don't? I see.

18 You did recognize the pressure differential that

19 exists between the two segments of the line at the time

20 this installation was made?

21 A We recognized that pressure differentials existed going

22 back to the time Conoco acquired the property.

23 Q And it still exists today?

24 A Yes.

25 Q As far as you are concerned, you hope it will continue to

1 exist; is this your testimony?

2 A No, I don't hope the pressure differential does or does not
3 continue to exist.

4 Q Now, referring again to your Exhibit 2, I think you have
5 already answered that question. I'm sorry. I will go to
6 my next one.

7 You say these are actually working pressures that are
8 shown on here and not design pressures?

9 A These are the typical pressures operating there today.

10 Q You testified that there would be a great deal of diffi-
11 culty in revising the Dogie Station using the existing com-
12 pressors?

13 A I testified there would be a great deal of difference in
14 equalizing the suction pressure by simple manifolding
15 across the three small compressors with the existing Dogie
16 Caynon facilities.

17 Q Is there any other alternative than manifolding, as you
18 describe?

19 A To equalize pressure?

20 Q Yes, sir.

21 A Not without substantial expenditures of money.

22 Q You testified you knew about the gathering system disparity
23 as related by Continental before this system was installed?

24 A Yes.

25 Q But you didn't do anything about the curing of that

1 situation at the time you installed it?

2 A You didn't ask me a question.

3 Q Yes, I did. You didn't, did you?

4 A Well, I understood you just to make a statement that I did.

5 Q You didn't?

6 A If you are asking.

7 Q I am asking, did you?

8 A Certainly we knew the disparity between the systems. That
9 is why we installed the facility.

10 Q I said you didn't do anything about curing the situation,
11 did you?

12 A Well, I think we have testified that the equipment we put
13 in.

14 Q Now, could you have not designed the system so that
15 substantially equal pressures could have been established
16 on these two segments of the line?

17 A We could have. In fact, we could have gone farther in
18 design for a lower pressure on the east system.

19 Q You could have bought a larger compressor, could you?

20 A Sure.

21 Q Had you bought a larger compressor, it would have reduced
22 the amount of work the other compressors are doing, would
23 it not?

24 A Not necessarily.

25 Q Not necessarily?

UBUUNUUY MUIUUI

- 1 A No.
- 2 Q Now, you just chose to ignore the pressure variation in the
3 two segments; isn't that the fact?
- 4 A No.
- 5 Q You considered this, but you didn't cure it?
- 6 A Didn't cure the pressure?
- 7 Q Is this your testimony--I beg your pardon--you say you
8 didn't ignore the pressure differential?
- 9 A No. We knew that the pressure differential existed.
- 10 Q Yes, but you did not cure that pressure differential, did
11 you?
- 12 A In total?
- 13 Q Yes.
- 14 A No, we have never represented that we did.
- 15 Q I believe you testified yesterday that the maximum ratio of
16 the centrifugal compressor is 1.75; is that the maximum
17 design ratio as recommended by the manufacturer for the
18 wheels that are in it?
- 19 A For the wheels that are in it.
- 20 Q Now, the Solar could have been installed on there, the
21 Saturn compressor AC-16 casing that will accommodate
22 this ratio?
- 23 A I don't know. I don't buy those compressors.
- 24 Q If the Solar could furnish such equipment with a compression
25 range of 1.1 to 2.3, it would have considerably improved the

1 situation, would it not?

2 A Improved what situation?

3 Q You would have had a higher compression ratio and it could
4 have reduced the line pressures in this system?

5 A You are talking about a lot of things besides design ratio.
6 You are talking about hp, response of a system to lower
7 line pressure. You are talking about cost. You are talk-
8 ing about a lot of factors. Now, to say that it would have
9 alleviated some problems, you have got to kind of define
10 the problem.

11 Q I think we have defined the problem. I think you have
12 already testified you do not choose to recognize it as a
13 problem, so we won't pursue that question.

14 Now, turning to Exhibit No. 3, that shows the average
15 pressures. Did you come up with the average pressure for
16 Continental oil well company's wells?

17 A This was prepared under my supervision, yes.

18 Q Now, did you make a computation of the total average?

19 A This is the average per well, as I understand it. Of the
20 total average?

21 Q Yes, sir. You testified yesterday, I believe, just to
22 refresh your recollection, that Continental wells averaged
23 during the month of November 282 pounds?

24 A Yes.

25 Q And in December, 273 pounds?

1 A Yes.

2 Q What is the average for Caulkins for that same period?

3 A I don't have that number.

4 Q What is the average for Southern Union Production for that
5 same period?

6 A I don't have that number.

7 Q You didn't choose to compare the pressures in the system?

8 A No. Be glad to make that computation. It is not tough.
9 You add them up and divide by the number of wells.

10 Q You agree that just changing the pressures shown on your
11 exhibit, the average would be somewhat lower for both
12 Caulkins and Southern Union?

13 A Average?

14 Q Average.

15 A Yes, we have testified to that fact.

16 Let me back up here. If we are talking about
17 Production Company wells on the top end of the Ballard
18 System, yes; if you are talking about Production Company
19 wells in the Tapácito area or Jicarilla area, why the
20 Continental wells are--no, I'm not ready to agree that the
21 Continental wells are particularly facing a higher
22 pressure than those same group of Production Company wells
23 are. They are all feeding the same system.

24 Q When you are talking about the same group, are you talking
25 about the Pictured Cliffs or the Tapácito?

1 A I am talking about the South Blanco-Pictured Cliffs wells.
 2 This system is still called the Tapacito or Jicarilla
 3 system.

4 Q The Navajo Indian wells are in the Ballard system and have
 5 lower pressure; is that correct?

6 A Yes. Let's look at that exhibit to see we get this matter
 7 straight here.

8 Q O.K.

9 A Exhibit 3, the Caulkins wells, feed the Jicarilla system--
 10 pardon me--the Continental wells feed the Jicarilla system,
 11 and they do exhibit pressures in the range of 282 and 273
 12 for the months of November and December.

13 The Southern Union Production Company wells that are
 14 all named Jicarilla wells, there are probably 20 of them or
 15 25 of those, are in the same Jicarilla system with
 16 Continental wells, and their average pressure for the months
 17 of November and December would be at least as high,
 18 possibly higher, than the pressures at which the
 19 Continental wells are flowing.

20 Q Tell me, Mr. Haseltine,--

21 A If I may, we haven't finished what you brought up here on
 22 this exhibit, the Navajo Indian wells belonging to Southern
 23 Union Production Company produced to the low pressure
 24 systems as to the Caulkins wells and the average producing
 25 pressure on those wells, both Caulkins and the Southern

1 Union Production Company Navajo wells would be a lower
 2 pressure for the months of November and December than the
 3 comparable pressure for Continental and Southern Union
 4 Production Company Jicarilla wells.

5 Q It is your testimony you are furnishing different facilities
 6 for Continental and Southern Union than you are furnishing
 7 to Caulkins and the Navajo wells operated by Southern
 8 Union.

9 A Different facilities?

10 Q Yes.

11 A Yes, we are furnishing different facilities.

12 Q Now, if you were required or if you did reduce the
 13 pressures available to Continental Oil Company to the 200
 14 pound area you would pay no more for the gas, would you?

15 A No more than the price paid?

16 Q Now?

17 A As long as they are in the 200 to 300 pound bracket they
 18 get a price.

19 Q If you got 290 pounds, you are paying the same price as if
 20 you had 210 pounds?

21 A That is right.

22 Q A 90 pound reduction in pressure wouldn't make a difference
 23 in price of the gas?

24 A Only if you are dropping from 200 to 210. If you are drop-
 25 ping 350 to 240--

1 Q It makes a difference?

2 A I think probably Continental has still one or two in the
3 300 pound bracket. I see a November reading of 300 on
4 several of their wells.

5 Q Now, referring to your next exhibit, Exhibit No. 4, did you
6 average those pressures?

7 A They were done under my supervision.

8 Q But you didn't make an average for each of the operators
9 involved here, did you?

10 A No.

11 Q Wouldn't that be a significant factor in dealing with
12 different operators as you were doing in this field?

13 A The reason I developed some averages for Continental was not
14 to compare at that point the difference between their
15 pressures and some other operators. The purpose was to
16 show the continued decline in pressure and volume that is
17 occurring in production from their wells.

18 Q We will come to volumes later, but we showed from, on your
19 two months, two reading pressure drops of about ten pounds
20 on Continental wells; isn't that correct?

21 A Yes.

22 Q At the same time, would you agree, that Caulkins shows a
23 drop from 201 pounds to 194?

24 A Well, that is possible. I would just have to add those two
25 columns, divide them out, and see.

1 Q If we had averaged that, would you say that sounds reason-
2 able?

3 A It sounds reasonable. I am not going to argue that it is
4 wrong or right.

5 Q So we still have a pressure differential between the two
6 operators?

7 A Yes.

8 Q Now, on Exhibit No. 5, which is the production for 1971,
9 could you estimate what Continental Oil Company's
10 production would have been if the pressures had been the
11 same as those afforded to Caulkins?

12 A No, because we have dropped the pressure substantially on
13 Continental wells and production is still falling.

14 As I testified yesterday, I don't know whether it is
15 going to bottom out.

16 Q Would you agree that with reduced pressures Continental
17 would have produced more gas?

18 A That is precisely just what I just got through testifying
19 to. We have reduced the pressure itself.

20 Q They have produced more gas, have they not?

21 A More than what?

22 Q More than they were producing before you reduced the
23 pressures?

24 A No. November was more than they produced, let's say last
25 January or February, but December, with a still lower line

1 pressure, was less than they produced in November.

2 Q Now, let's skip over to Exhibit No. 7, Mr. Haseltine. Just
3 what do these figures reflect? I don't quite understand
4 your exhibit here.

5 A These are the days that we provided a market for the wells
6 indicated in the tabulation.

7 Q Now, if you say a well was on the line thirty days, whether
8 it produced any gas or not, you considered it on the line,
9 fed to your facility, and the well was exposed to your line?

10 A If it was on the market it got logged in with thirty
11 producing days.

12 Q If it was bucking a 400 pound pressure and it had 450-pound
13 well-head pressure of its own, it was producing?

14 A Well, if the chart was marked, it was producing.

15 Q If the chart weren't marked, did you consider it producing?

16 A If it was open to our line.

17 Q That was a producing day?

18 A That is right.

19 Q Without one iota of gas going through the line?

20 A That is right.

21 Q I see. Let's take your two exhibits, 6 and 7.

22 Now does that actually show there was a reduction in
23 production from Conoco's wells?

24 A Six and seven, yes.

25 Q Did you take into consideration in your conclusion that

uuuuiiioy-iiiiiii

1 Continental production went down the number of producing
2 days allocated to Continental?

3 A Which exhibit are we talking about here?

4 Q You have your producing days on Exhibit 7, and you have got
5 your production on Exhibit 6.

6 A Well, no, not for the same time period.

7 MR. PORTER: I believe Exhibit 6 shows the first two
8 weeks in January, perhaps.

9 Q (By Mr. Kellahin) Let's go back to Exhibit 5 then. Now, have
10 you computed the number of producing days? You haven't
11 made any comparison of production days against production,
12 have you?

13 A You are going to have to tell me which exhibit. I have on
14 some. I have not on some.

15 Q You show me an exhibit you have done that on.

16 A Let's take Exhibit 6.

17 Q All right, sir.

18 A They had 1,957 Mcf per day. That takes into account days,
19 for the chart of January 1, and on January 9, they had
20 1,954 Mcf's per day.

21 That takes into account the days.

22 Q This is an average of the production; isn't that correct,
23 is that what you are talking about?

24 A That is a per well--pardon me--that is a per day total for
25 Continental's leases.

1 Q How do you arrive at a per day total?

2 A Per day average, pardon me.

3 Q Per day average.

4 A Right.

5 Q And if Continental wells produced 29 days, you would have
6 the average for the 29 days; is that what you are saying?

7 A We are talking about Exhibit 6, we are talking about seven
8 producing days in one column and eight in the other.

9 Q You averaged that seven days and the eight days?

10 A Right.

11 Q Now, you didn't use this average for all of the wells; isn't
12 that correct?

13 A For all of the Continental wells, yes.

14 Q And all of those on Exhibit 6, you show only Continental,
15 you show all of the other wells, too?

16 A I show all of the other wells.

17 Q You would have to take your average per well day and divide
18 that by the number of wells, would you not?

19 A All right. You could do that.

20 Q Yes, sir.

21 A I did not do that, but you could.

22 Q You did not do that?

23 A No.

24 Q If you did that, would you agree it would not reflect a
25 reduction in Continental production?

1 A On a per well basis?

2 Q On a per well per day basis, that is right.

3 A There would be a small increase, but let me point further
4 here, because we testified on exhibit--is it nine?--that
5 has got the pressures on it. No, Exhibit 4, that the line
6 pressure from that first chart period of Exhibit 6 dropped
7 11 pounds, so what I testified to on an average day showed
8 a very small, from a 1,957 Mcf per day to total, the 1,957
9 Mcf total, very small decline.

10 Q What you are saying if you divided by the number of wells,
11 it would have shown a slight increase in those two chart
12 periods?

13 A That is right. There was an 11 point drop in pressure to
14 which these wells were producing.

15 The significant thing is the size of the pressure drop
16 as compared to essentially no change in flow rate from the
17 Continental wells, whereas there should have been an increase.

18 Q You should have made such a computation for the month of
19 December to compare it to these two 7 and 8 day periods?

20 A Divided all of the way down to per well day?

21 Q Yes, sir.

22 A No.

23 Q You don't know whether actually on a per well basis there
24 were reductions on the increase, do you?

25 A Well, I think I do, but I'm not going to say that I do.

1 Q You think you do?

2 A I think I do.

3 Q You don't want to testify to it?

4 A No, sir.

5 Q Now, turning to Exhibit 9, that shows only Continental
6 wells; isn't that correct, that is Continental wells, and
7 that is all; is that correct, Mr. Haseltine?

8 A Yes, that is correct.

9 Q Now, the last one on the list, Lease-0, that is only a one
10 well lease, is it not?

11 A Yes.

12 Q It shows an increase in production from 47 to 48, from
13 January 1 reading to January 9th reading?

14 A Yes.

15 Q Let's go back up to other leases, the J lease, for example.
16 Didn't that show an increase in production?

17 A Yes.

18 Q An increase of two Mcf's per day?

19 A Yes, sir, 26¢ worth of gas.

20 Q Yes, at your rates. On the L lease, the is 38 Mcf
21 increased to 46 Mcf per day?

22 A Yes.

23 Q That is a few cents more?

24 A That is \$1.35 more.

25 Q Over a period of time, though, that could amount to a

100-111111-111111

1 considerable amount of money?

2 A Yes, if it had held up.

3 Q There was an increase on in-weeks?

4 A Yes.

5 Q But your testimony is your production declined. That was
6 the purpose of your exhibit, was it not?

7 A Wait a minute. Did you give me the exhibit on the M Lease?

8 Q The M?

9 A The M Lease.

10 Q The N-Lease, I should have said, shows an increase.

11 A The N-Lease went up two Mcf's.

12 Q Yes, sir.

13 A So, we could show a total increase of 12 Mcf's per day on
14 those three wells on 10-20-31, 12 Mcf's per day.

15 Q But your testimony is production declined during this
16 period?

17 A Again, I pointed out that with an 11 pound drop in pressure
18 there was no substantial increase or response of the wells
19 to an 11 pound drop in pressure.

20 Q Would you expect a substantial increase on an 11 pound
21 drop anywhere else in the Pictured Cliffs Formation?

22 A There will be some response. If there is going to be any
23 for 111 pounds, there should be some for 11.

24 Q On a ratio of 11 to 111, is that what you are talking about?

25 A Well, over a relatively small range, it is a directly

1 proportional thing, that is right.

2 Q Do you know whether or not this is proportionate to the
3 major drop you made in your line pressure; have you checked
4 that?

5 A Pardon? Is this proportionate to the 11 pound drop? We
6 showed an increase in that proportion as to the 111 pound
7 drop you referred to.

8 We don't know what increase is going to come out of
9 111 or 150 pound drop, because, as the exhibits have shown,
10 from the time of October, November, and December on these
11 volumes are generally falling off.

12 Q Mr. Haseltine, you will admit that your Exhibit 9, while it
13 doesn't show any substantial increase, does note an increase
14 in Continental's production; does it not?

15 A Yes, and there is another thing we need to point out here.
16 The production is up and down on a given well, not only as
17 a function of line pressure, but a function of how the
18 operator is cleaning that well during that particular chart
19 period.

20 Q You don't know anything about that either, do you?

21 A We have a witness who will testify to that.

22 Q Now, referring to Exhibit No. 10, are these pressures
23 taken at the chart meter point on the Compression Station?

24 A Yes.

25 Q Well, now, in January of 1971 your pressures at that point

1 exceeded 600 pounds, did they not?

2 A You mean on those two peaks?

3 Q Yes, sir.

4 A Yes.

5 Q Yes.

6 A That was what was reported on our pressure information from
7 the field that was plotted here. I don't understand that
8 at all, and I really questioned the accuracy of that, but
9 that is the information that we had to base it on, so we
10 plotted it.

11 Q Did it--again over in May, it went to 500 pounds?

12 A It shows 500 on that one day. I don't know what happened.
13 Maybe the compressors were down, or something else.

14 Q In general you show ranges during August and September from
15 350 to 400 pounds. That is when your compressor was being
16 repaired; is that correct?

17 A That is when the construction work was underway, right.

18 Q But if we come back over into the months of July and June,
19 you were still operating at pressures between 300 and 400
20 pounds a substantial part of the time?

21 A Right.

22 Q Now, what were the pressures in the Ballard line during
23 this same period?

24 A I don't have the Ballard check meter plotted.

25 Q You don't?

1 A No.

2 Q What were the pressures in, I believe you call the Lowerie
3 line, going to the north?

4 A Lowerie.

5 Q That is Exhibit No. 11?

6 A Yes. Well, in the early part of the year, they were running
7 about 170, 175.

8 In mid-year they got up to 250, with peaks up to 400.

9 I believe those are the same time periods you were
10 talking about earlier.

11 Q But in general during the months of January, February, March
12 they were in the range of 175--

13 A Yes.

14 Q --pounds, as compared to a range of 300 pounds on the east
15 line?

16 A Right.

17 Q That is a substantial difference in pressures, is it not?

18 A Yes, that is a substantial difference in pressure.

19 Q Mr. Haseltine, I want to talk with you some about Exhibit
20 No. 12.

21 I am not sure I understand exactly how you constructed
22 this, but it is my understanding of your testimony that you
23 take your market requirements and you allocate them to the
24 producer connected to your system; is this your testimony?

25 A That is about correct. At the first of the year we

1 estimate our market, and then allocate that down on a pool
2 basis.

3 Then when you get to a pool level with that estimated
4 market, you spread that out on the Commission formula of
5 ASAD's to each well.

6 Now then as the year progresses and our market, which
7 has been estimated on the monthly basis for the year, proves
8 to be either high or low, we continually correct that so
9 that our market requirements continually correct back to
10 the actual production to the end that at the end of a year
11 our market requirements, with minor exception of adjustments,
12 that haven't come in yet, turns out to be with the field in
13 total produced.

14 Q That becomes the allocation from this Commission to the
15 pool; isn't that correct?

16 A From the Commission to the pool?

17 Q Eventually it becomes the allowable for the pool, does it
18 not?

19 A Well, the Commission--

20 Q I mean, assuming you are the only operator in the Pool, I
21 am saying--which you aren't, of course--but let's assume
22 for the moment you are?

23 A Well, there is the theory of the proration system they use
24 that continually corrects from the nominations or markets
25 system back to actual take, that is correct.

1 Q Are you testifying that you make the allocation to
2 individual operators; is this your testimony?

3 A For the purpose of our dispatching the various wells we
4 have to make some sort of an allocation of our market to
5 the individual wells because, contrary to the assumption we
6 just made, we are not the only taker in the field.

7 Q Yes, sir. Now, on that basis, do you operate the wells on
8 your allocation, or do you operate your wells on the
9 allocation that has been made by the Oil Conservation
10 Commission?

11 A We consider both. We know that none of the operators like
12 to have allowables cancelled, and we try to operate in such
13 a way that they don't.

14 We try to keep the total allocation in a given Pool
15 spread out on what we have taken out of the Pool because it
16 is our obligation to take ratably as to our own needs, not
17 as to some other taker in the Pool, but we do consider and
18 use every month the proration formula and allowable
19 established by the Commission.

20 Of course, particularly the amount of allowable may be
21 subject to cancellation.

22 Q Do you have a take or pay provision in your contracts?

23 A There is a take or pay provision in most of our contracts.

24 Q There is one in Continental Oil's contract, is there not?

25 A Yes.

Dearnley-Meier Reporting

... IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1082 • PHONE 243-6891 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Q Now, you do recognize the Commission proration system,
2 which is based on 25 percent acreage plus 75 percent acre-
3 age times deliverability?
4 A Yes.
5 Q On that basis, how do you arrive at the allocation to
6 marginal wells in this Exhibit No. 12?
7 A We allocate for the purpose of marketing, using the D's
8 that are also on file. If a well has been marginal and
9 normal, there is still a D on file. Now, if it becomes
10 exempt, we use the last D and I's, of course, this accrues
11 to the benefit of the producer who has the exempt marginal
12 well.
13 Q Did you do that on the Continental wells on Exhibit No. 12?
14 A Yes.
15 Q You say that Continental is entitled to, I believe, 13
16 percent of the market?
17 A You are talking about which particular year?
18 Q Well, I don't recall what your testimony was. You said
19 that Continental was entitled to 13 percent of the market
20 and they got more than that. I don't know which year you
21 were testifying on.
22 A I don't believe I said that they got--they were entitled to
23 13 percent and got more, because the only year in which
24 their number is 13, they got less.
25 Q And how did you arrive at that 13?

1 A As I have just said, with taking into account the A & I's
2 of all of the wells in the Pool, and are continued, correc-
3 ted estimate of the market.

4 Q Now, Mr. Haseltine, didn't you in fact on Continental's
5 wells look at the proration schedule and see what their
6 allowable was?

7 A I have testified we used the allowable on all of these
8 wells.

9 Q I am talking about on this computation, did you not use the
10 allowable as reported by the Oil Conservation Commission?

11 A No.

12 Q Rather than compute a theoretical allowable fuel on the
13 basis of deliverability?

14 A No, we spread it ourselves.

15 Q You spread it on the basis of the Commission formula?

16 A On the basis of their formula, right.

17 Q If the Continental wells were unable to produce any gas at
18 all would their fair share of the market be zero; would
19 they still have their fair share on your computation?

20 A Well, if their wells were unable to produce at all, I would
21 hate to try to serve any part of the market from their wells,
22 wouldn't you?

23 Q Yes, sir, I would.

24 A So their fair share of the market would be zero.

25 Q So, if they are only able to produce as marginal wells, is

1 their fair share of the market what they produce or what
2 you compute they should produce? I am trying to find out
3 what you used in this exhibit.

4 A It comes back to this for a well that will not make either
5 its allowable or its allocated share of our market. It
6 ends up staying on the line all of the time.

7 Q That is the figure then you have used on Exhibit 12, that
8 is what I want to know, when you say what their share of
9 the market is.

10 A As to the market requirement percentage.

11 Q Yes, sir.

12 A We are not talking about actual production percentage.

13 Q No, sir.

14 A We are talking about market requirement percentage.

15 Q Right.

16 A What they have computed in the original allocation as to
17 their share.

18 Q Yes.

19 A Is based on their AS & AD.

20 Q You are saying they are entitled to 10.83 in 1969.

21 A Yes.

22 Q And they actually produced 13.1 for 75 in 1969?

23 A Yes.

24 Q Do you know what proportion of acreage Continental has in
25 this Pool?

- 1 A Proportion of acreage?
- 2 Q Yes, sir.
- 3 A Not offhand.
- 4 Q Would you agree they have 26 percent of acreage?
- 5 A In this Pool?
- 6 Q Yes.
- 7 A No.
- 8 Q You wouldn't agree to that?
- 9 A No, because this Pool is very, very large, and Southern
- 10 Union Gas Company only takes gas from a small part of it.
- 11 Q Now, on their deliverability, what percentage of the
- 12 deliverability do they have?
- 13 A Of the total Pool?
- 14 Q Yes.
- 15 A I don't know, very small portion.
- 16 Q You didn't compute that either?
- 17 A You are talking about Pool gas? I think I have just got a
- 18 little fraction of it.
- 19 Q I am talking about Southern Union's system only.
- 20 A I didn't understand it that way.
- 21 Q What percentage of acreage do they have that is connected
- 22 to your system?
- 23 A Probably about 26, sounds like a good number, it would be
- 24 30-120ths.
- 25 Q They have 25. percent of the AD factor in the Pool?

157-10000-10000

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG., P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 A I do not know. I would have to tally that up and see.
- 2 Q You didn't make that computation in arriving at this 10.83
- 3 figure?
- 4 A I didn't specifically make that computation myself, but
- 5 this allocation which is made under my supervision, I am
- 6 sure somebody in the office did make that calculation.
- 7 Q What figure did you use in arriving at 10.83, Mr. Haseltine?
- 8 A The A & AD, as applied to their wells, applied against our
- 9 estimated market. Our estimated market corrected to
- 10 production entitled them to that 10.83 percent of the
- 11 market.
- 12 Q Did you consider their A & AD's?
- 13 A Yes.
- 14 Q You did consider, if I am correct, the fact that they had
- 15 225. percent of AD's in the Pool, if that figure is correct?
- 16 A Yes.
- 17 Q You did take it into consideration?
- 18 A Yes.
- 19 Q You arrived at kind of a figure?
- 20 A That is right.
- 21 Q Now, what constitutes a marginal well in this Pool?
- 22 A One so classified by the Commission.
- 23 Q How did it get classified by the Commission?
- 24 A It wouldn't make its allowable.
- 25 Q Why do wells not make their allowables?

UGAIIIGY-IIIIGI 164

1 A Many reasons.

2 Q Name a few.

3 A One of them, the one you like, is high line pressure.

4 Q Yes.

5 A Wells that are watered out, they are not kept clean. They

6 log off. Wells that are just very poor producers to start

7 with, such that for some reason they got an allowable that

8 they couldn't make, we have got wells like that in every

9 pool in the San Juan Basin connected to everybody's system

10 in the San Juan Basin.

11 Q You have got wells that water out?

12 A Some of them water out, but will never make their

13 deliverable high pressure system, low pressure system.

14 Q You mean the high pressure is a factor; who controls the

15 line pressure?

16 A The purchaser.

17 Q The purchaser does. Now, you say that can make a well

18 marginal?

19 A No, I said "could make a well." Not "make its allowable,"

20 yes.

21 Q If it does not make its allowable, it is a marginal well?

22 A That is right.

23 Q So high line pressures can make a well marginal?

24 A They can make a well be changed in status.

25 Q Yes, sir.

104010101-1110101

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG., P. O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 A To a marginal well, but, you know, when the next team comes
2 around and a deliverability is calculated, if I am not
3 mistaken, the Commission takes that new deliverability test
4 into account again, and they may choose to reclassify the
5 well.

6 Certainly the operator under Commission rules has a
7 right to come and ask that a well be reclassified if he
8 thinks it is improperly classified.

9 This is what we are talking about here, we are asking
10 wells be reclassified.

11 Q When you have a marginal well, how do you produce it?

12 A It stays on the line all of the time, essentially all of
13 the time.

14 Q Regardless of line pressure?

15 A Yes.

16 Q If you let your line pressure go up to 500 pounds and we
17 didn't produce anything, by your definition, you would still
18 be taking care of that marginal well?

19 A If we let our line pressure go up to 500 pounds, I am sure
20 that Continental would come to us and read the contract to
21 us.

22 Q Yes, sir, and they have not done so?

23 A We haven't let the pressure go up to 500 pounds.

24 Q I am talking about have they not talked to you about the
25 contract?

U.S. GOVERNMENT PRINTING OFFICE

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103

FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

dearnley-meier reports

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87109
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 Q All classified marginal. Are those wells in fact marginal?
- 2 A If they are so classified, they are.
- 3 Q They are marginal, so all you have got to do is leave them
- 4 on the line regardless of pressure and you have done your
- 5 duty?
- 6 A No, we have to leave them off the line, and compression has
- 7 to be that in accordance with the agreement between ourselves
- 8 and Continental.
- 9 Q Now, Mr. Haseltine, are you familiar with the Common
- 10 Purchaser Act, State of New Mexico; have you ever read it?
- 11 A Yes, I have read it.
- 12 Q It requires you to take ratably from all of the connections
- 13 to which you are connected, does it not?
- 14 A That is right, and I will have to say that anything I say
- 15 in regard to the Common Purchaser Act, you are asking an
- 16 engineer to testify in matters of law, and I consistently
- 17 get guidance on these matters from our legal staff. I will
- 18 be glad to tell you what I think it says.
- 19 Q Let's say what the contract says. You testified on the
- 20 contract?
- 21 A Yes.
- 22 Q It says you will take ratably with the other producers to
- 23 which you are connected?
- 24 A That is right.
- 25 Q If you consistently maintain high pressures so that the

1 Continental wells cannot accumulate underproduction for
2 which you would have to pay, have you taken ratably from
3 Continental, as opposed to other operators who are in a
4 more favorable situation?

5 A Again, you have got to read the contract in its entirety.
6 The ratability clause does not stand alone nor does the
7 pricing clause stand alone; nor does the pressure clause
8 stand alone. They all have to be read and understood
9 together.

10 The contract is one instrument, and this is the way
11 we read and understand the thing, and in the light of my
12 understanding, we have taken ratably with Continental.

13 Q Now, Mr. Haseltine, you heard the testimony yesterday to
14 the effect that when you reduced your line pressures, 12
15 of Continental wells were able to produce an allowable that
16 would have been assigned to a non-marginal well?

17 A Yes, I heard that testimony.

18 Q Do you disagree with that testimony?

19 A No, on a short-term basis they have produced as was testi-
20 fied.

21 Q But your line pressures for those wells were prior to that
22 date marginal wells?

23 A They were prior to that date, they were marginal wells,
24 that is right.

25 Q Mr. Haseltine, the Commission has adopted its Order No.

1 yesterday that the reduction in line pressures enabled 12
2 of their wells to become non-marginal?

3 A They are not non-marginal until the Commission classifies
4 them as such. They may not remain non-marginal if they
5 fall off after that short-term compression test.

6 Q What did the compression test have to do with this?

7 A Well, if I understood his testimony, the compression test
8 was the type that was used to develop this high rate of
9 flow that resulted in wells possibly being classified non-
10 marginal. That is not correct.

11 Q That is not correct. Mr. Haseltine, do you not recall a
12 series of six exhibits? We have had three points on them,
13 the mid-point being the production after you reduce your
14 line pressure?

15 A I remember those.

16 Q And in twelve instances Mr. Mattes testified that point
17 would be above the allowable in this Pool?

18 A In twelve instances?

19 Q Yes.

20 A He only had six charts.

21 Q I understand, but his testimony was twelve wells were
22 capable of doing this.

23 Do you not recall that testimony?

24 A He kind of lost me in there.

25 Q Yes, sir.

- 1 A There may be twelve that have flowed at rates that if the
2 rates are sustained would be non-marginal wells.
- 3 Q This had nothing to do with the well tests we are talking
4 about?
- 5 A If they were not under this compression test, then, no,
6 they would be tied to the fact that we lowered line
7 pressure.
- 8 Q By lowering the line pressure you gave us twelve non-marg-
9 inal wells?
- 10 A I keep trying to get this point across. I am not satisfied
11 they are non-marginal after they are on the line three or
12 four months.
- 13 Q Three or four months would create some underage?
- 14 A That is right, depending on if the Commission reclassifies
15 it, how they keep books.
- 16 Q How long does a well have to produce to remain on a non-
17 marginal status; how is it classified?
- 18 A If it makes its allowable once, I believe, during the
19 balancing period it is subject to being reclassified.
- 20 Q One month?
- 21 A I believe that is right.
- 22 Q It remains in a non-marginal status until the next
23 balancing period; is that correct?
- 24 A Right.
- 25 Q There again, if it makes it one month, it remains on a

1 non-marginal status through that period?

2 A That is about right.

3 Q Now, Mr. Haseltine, let's look at Exhibits 13 and 14. Those
4 are your pressure gradients?

5 I believe you have made these on a different scale,
6 haven't you?

7 A Yes.

8 Q Why did you do that? They are the same, purport to show
9 the same thing, don't they?

10 A Yes, they do.

11 Q By putting them to the same scale to make them look as
12 though the pressures were about the same on the two systems,
13 don't you?

14 A No.

15 Q No?

16 A I don't believe anybody looks at the graph without looking
17 at the numbers along the edge.

18 Q Let's look at the numbers along the edge. You show on
19 Exhibit 13 that you start with a pressure of 200 pounds.
20 Actually, that should have been 215, shouldn't it?

21 A On that particular day the pressure that was reported in to
22 us was 200.

23 I would be glad to change it to 215. This makes this
24 thing a little more favorable to me.

25 Q You show a very high pressure gradient to distance of--are

1 these miles?

2 A Yes.

3 Q Six miles, six and a quarter miles, roughly. The pressure
4 gradient moves up pretty rapidly, does it not?

5 A That is right.

6 Q Is that the two 12-inch lines you have?

7 A That segment in there between mile post zero and mile post
8 section .5, or whatever it is, includes the two parallel--
9 twelve goes a little bit beyond the, presently goes a little
10 bit beyond the point of tie-in of the new--

11 Q How do you account for the high pressure gradient on that
12 segment of the line as compared with the remainder of the
13 line, which is a smaller line, is it not?

14 A Yes. If you refer back to Exhibit 1, you will find that
15 six and a quarter miles puts you back out to about the
16 middle of the Continental J-lease.

17 Now, beyond that point you have got several branches
18 that begin to come into that system.

19 You have got one from Township 26-5 to the north, and
20 you have got a complex from 26-4 that feeds into the
21 system that turns south into 25-4, and that system in 25-4
22 is one that is plotted here on this graph, so what you
23 actually have in this segment there, that last six miles
24 leading into the Dogie Canyon Station, you have got a
25 merging of a member of the gathering branches, and so the

- 1 gradient the last few miles of line is higher.
- 2 Q Do you mean those marginal wells, Continental wells in the
- 3 J-lease are accounting for a good portion of that; is that
- 4 what you are saying?
- 5 A No. Those Pan-Am wells in there are accounting for a good
- 6 portion that have--
- 7 Q The Pan-Am wells are where?
- 8 A In the northwest quarter of 25-5.
- 9 Q And they are another five or six miles up the line, aren't
- 10 they?
- 11 A No, they are right in there in the segment we are talking
- 12 about.
- 13 Q In the northwest quarter of 25-5?
- 14 A Yes. Continental also has some pretty good
- 15 Q They are going in the same line?
- 16 A Well, yes.
- 17 Q Do you have any connections between the Continental J lease
- 18 and your Compressor Station to any other source of supply?
- 19 A No. I will have to answer that question, again.
- 20 Q Do you have any connections to any other source of supply
- 21 in that segment between the Continental J lease and the
- 22 Compressor Station?
- 23 A Not between the Continental J lease, but in the same area
- 24 with the J lease.
- 25 Q And to other operators as well as Continental?

- 1 A Yes.
- 2 Q That would also help cut that pressure gradient?
- 3 A Yes, all of the gas that goes into that system has its
4 effect on the gradient.
- 5 Q Now, did you make a similar study of the pressures on the
6 Ballard line?
- 7 A No.
- 8 Q You did not? Did you make, did you make a similar study of
9 the pressures on the Lowerie line?
- 10 A Yes.
- 11 Q It did not have the same pressure gradient?
- 12 A No, it does not.
- 13 Q I believe you testified yesterday that the per mile
14 gradient was about four pounds on the east line of the
15 Jicarilla system?
- 16 A Yes, on my data, if we change that left number there to 215
17 instead of 200, it would be about three pounds.
- 18 Q You testified, I believe, that anything less, the gas
19 wouldn't flow?
- 20 A You can get it down to zero and the gas won't flow.
- 21 Q But you have to have some differential?
- 22 A You have to have some differential.
- 23 Q You have about two and a half pounds on the Lowerie line?
- 24 A Yes.
- 25 Q You could operate this line on two and a half pounds, too,

UGOI HIGY - HIGIGI

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Q Now, the Largo line pressure line does not in any way
2 connect with this East system, does it?

3 A Not until the East system has been discharged.

4 Q Into the compressor?

5 A At Dogie, right.

6 Q Now, you introduced, over objection, I might add, the
7 contract yesterday which was with Humble Oil & Refining
8 Company. That is the contract under which you are taking
9 Continental Oil Company's gas, is it not?

10 A That is correct.

11 Q You have a provision in this contract governing the price
12 which has a sliding scale on it related to line pressure
13 furnished?

14 A Yes.

15 Q Do you have a similar provision in your other contracts?

16 A In all of this in the Jicarilla system.

17 Q All of them in the Jicarilla system?

18 A I am making one exception there. The Aztec contract pre-
19 dated that, but their contract is tied to the prices paid
20 to the other producers there to see they get the effect of
21 it.

22 Q O.K. Now, your exhibit shows that you are paying Exhibit
23 16--I am referring to at the moment that you are paying
24 Aztec 13.3¢ in December of 1971, with the exception of one
25 well, you are paying 13.8?

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
 209 SIMMS BLDG. P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 A Yes.
- 2 Q Actually, that is probably 13.25; is it not?
- 3 A It is 13.25 plus some tax reimbursement.
- 4 Q Now, you are paying Continental Oil Company 13.3¢ in
 5 December with the exception of a couple that you are paying
 6 13.8?
- 7 A There are about four that we are paying 13.8 on.
- 8 Q So you are paying Aztec and Continental substantially the
 9 same price?
- 10 A Yes.
- 11 Q You are paying Caulkins Production Company thirteen cents?
- 12 A Yes.
- 13 Q What is their reimbursement; what are you charging them
 14 for compression facilities?
- 15 A Nothing.
- 16 Q Nothing. You are furnishing that to them for free?
- 17 A Well, not for free.
- 18 It is reflected right there in the price.
- 19 Q So you are saying then that the difference between 13¢ and
 20 13.25 justifies you in treating Continental's wells as you
 21 have treated them?
- 22 A Well, apparently both parties to the contract thought so
 23 when it was written. They all signed it.
- 24 Q I am talking about today.
- 25 A Nothing confusing about it. I think that it is still

1 justified.

2 Q You think it is justified?

3 A Certainly.

4 Q Actually, you are paying now on most of those wells 13.25
5 and not 13.3?

6 A 13.25 plus tax reimbursements, which gets you up toward
7 13.3. I am not sure what the decimal is.

8 Q Your contract says 15¢ less the compression charge. Now,
9 the tax reimbursement is something else again.

10 A The contract does speak to tax reimbursement.

11 Q You are paying tax reimbursement on all of your connections
12 are you not?

13 A No.

14 Q You are not?

15 A No.

16 Q You are not making a reimbursement to the Caulkins?

17 A To Caulkins?

18 Q That is the only one?

19 A No, it is not the only one.

20 Q What others are you not paying tax reimbursements to on
21 your Exhibit No. 16?

22 A I don't believe that McDonald is getting it on their four
23 wells.

24 If they are getting it at all, it is so small it
25 doesn't reflect when rounded off to a tenth, and the

1 Navajo Indian well of Production Company--I don't think
 2 they are getting the reimbursement because their
 3 reimbursement on a 13¢ price run is just a little over half
 4 a tenth, so it would always round up to 13.1, and I am just
 5 not real positive about whether we are paying tax reimburse-
 6 ments to McDonald Production Company on those Navajo wells
 7 or not.

8 Now, your question, of course, as asked is whether or
 9 not we were paying prices without tax reimbursement to the
 10 other operators.

11 We are paying prices without tax reimbursement to many
 12 operators, but I can only speak as to the South Blanco-
 13 Pictured Cliffs Pool as precisely as to Caulkins' system,
 14 I am just not real sure about the McDonald or the SUP
 15 Navajo wells.

16 Q Is this the price you are paying in the San Juan Basin for
 17 Continental wells?

18 A For what kind of gas?

19 Q For gas?

20 A No.

21 Q No?

22 A No.

23 Q Are you purchasing--is it your testimony you are purchasing
 24 from wells in the San Juan and Rio Arriba County at
 25

1 higher prices?

2 A Yes.

3 Q Now, under the terms of your contract at page 10, you have
4 a provision on minimum purchases. I think you said you
5 have to take 80 percent of the well's capability; is that
6 correct?

7 A No, that is not correct. That is not correct. What is
8 correct, in our opinion, is the take provision.

9 Q Yes, sir. Turn to page 10, and I would ask you to read the
10 first portion of sub-paragraph A under Section 1 or Section
11 2 of the Minimum Purchaser Provisions.

12 A Sub-paragraph A of Section 2?

13 Q Yes, sir.

14 A That is not the take or pay clause, you realize.

15 Q No, sir.

16 Article 12, Section 2, sub-paragraph 3. We will start
17 there with Section 2.

18 "Buyer agrees that he will take gas from each well now
19 or hereafter located on the subject lands and connect it to
20 gathering lines at least ratably with its taking from all
21 other wells producing from the same horizon on the subject
22 lands or in the gas field in which said well is located, as
23 such well may hereafter from time to time be enlarged and
24 extended, which may from time to time be connected to
25 buyer's gathering lines, it being understood and agreed,

191911-111111

1 however, that in complying with this ratable purchase
 2 undertaking may by prorating its withdrawals between wells
 3 on any **basis** which gives reasonable effect to the fact-
 4 **ors**, among others of open flow capacity, bottomhole
 5 pressure, and the size and shape of the drilling unit, so
 6 long as the method of **pror**ation employed is uniformly
 7 applied by buyer with respect to all of the wells on the
 8 subject lands and all wells in the gas field in which
 9 seller's wells are located from which buyer is purchasing
 10 and/or producing gas from time to time, adjustments to
 11 effect such ratable purchases **all** to be made between wells
 12 at intervals of not longer than six months."

13 Q Does that section give any weight to the price you are
 14 paying for gas?

15 A Where?

16 Q Continental Oil Company.

17 A Yes. That section gives consideration to the price you are
 18 paying to take ratably with all other producers.

19 Q Where does it say that?

20 A Oh, all right. Let me back up a minute. What was your
 21 question again?

22 Q My question was, you have said that differences in
 23 **facilities** you are affording is related to price.

24 Where in this contract does it say you can take that
 25 into consideration when you agree to take ratably from

1 Continental Oil Company?

2 A Well, the whole contract reads together, including our
3 right to operate our Gathering System at pressures up to
4 600 pounds.

5 Q I am talking about ratable take provision, Mr. Haseltine?

6 A I understand that you are, but you can't separate that out
7 and make it stand on its own.

8 Q In other words, you cannot contract to take ratably without
9 modifying it?

10 A As long as the ratable take provision is there in a contract,
11 that includes provisions, other provisions that have all
12 got to be read together.

13 Q What provision would you like to read with this?

14 A We would have to start with where it says "Natural Gas
15 Purchase Contract," and end where it says "signed," by
16 some vice president.

17 Q You haven't put your finger on anything that modifies this
18 section; can you do so?

19 A I don't mean to be flippant, but the entire contract itself,
20 pressure, pricing, provisions, all reads together, includ-
21 ing we have a provision as to disconnection, this sort of
22 thing. This has to be read together.

23 Q Can you point to anything in the contract specifically
24 which modifies your agreement to take ratably from
25 Continental oil wells?

1 A Let me just point this out: that the contract itself has
2 to do with the provision we have just read, speaking in
3 terms of taking ratably, and it says we can give reasonable
4 effect to many factors, among others--

5 Q Does it say price?

6 A Well, "other factors" includes price, does it not?

7 Q Does it say price?

8 A Not specifically.

9 Q Now, this sub-section B provides that if you do not take
10 gas from the seller's wells and drainage occurs, you will
11 disconnect or release from the contract acreage; isn't that
12 correct?

13 A Well, the sub-section B does pertain to that, that is right.

14 Q Has such a demand been made on you?

15 A Yes.

16 Q Now, the contract does provide that if we have under
17 production, allowable under production, which you fail to
18 take, you will pay for it, does it not?

19 A Yes, Mr. Kellahin. I would like to answer that question a
20 little while that you were talking about, anything modifying
21 that ratability take.

22 That sentence didn't end where I stopped reading,
23 merely the sub-section ended.

24 Q Yes, sir.

25 A If you go on down that sentence doesn't end two-thirds down

1 the page. It says, "Price--" however, there are some
2 phrases in there that modify that ratability taking.

3 Q Did any of them mention price?

4 A No, they mention compliance with the New Mexico Oil
5 Conservation Commission jurisdiction.

6 Q This is exactly what we want you to do, Mr. Haseltine.

7 A Be glad to.

8 Q You have to either take or pay the allowable assigned to
9 these wells.

10 A The take or pay clause--

11 Q Yes?

12 A --says that we will take or pay for the extent, not in fact
13 taken, but six times the average amount of gas taken
14 monthly from said wells. It is on a per well basis during
15 the month of December, calendar year preceding January and
16 February of the current year. It does not say that we have
17 to pay for cancelled allowance.

18 Q You have to take six times the December production?

19 A Six times the average of December, January, February.

20 Q Now, there is a force in reserve clause which is common to
21 the contract which makes them subject to all of the lawful
22 statutes and rules and regulations of the Governmental
23 Force?

24 A There is a clause, but there is probably a clause more
25 specific than that that says this agreement is subject to

1 the land laws of the land.

2 Q Well, it would have to be in any event, would it not?

3 A I would think so.

4 Q Now, on Exhibit 17 I believe you showed some contract pro-
5 visions, did you not, those are the contracts under which
6 you operated this Pool?

7 A Those are the base contracts, yes, sir.

8 Q And all of them are an indefinite term, with the exception
9 of the McDonald Oil Company, I think you show hereon, and
10 Continental's oil?

11 A That is right.

12 Q Had you considered the possibility of renewing Continental
13 Oil Company's contract at its expiration date?

14 A Well, we have had it pointed out to us that, by Continental,
15 that gas may well be withdrawn from us at the end of this
16 summer, and, of course, we considered it, because this is
17 my own personal obligation to the company.

18 Q So you did consider the factor that Continental may not
19 renew their contract with you?

20 A Oh, they have pointed that out.

21 Q You testified at some length yesterday, I believe, that
22 the compressor installation would be extensive; that is
23 correct, isn't it?

24 A Yes.

25 Q Had you considered any other alternative than installing

U6011106Y-1110101

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Q You have interlocking directors of Aztec, do you not,
2 speaking of Aztec?

3 A Yes, we do.

4 Q You control Southern Union Production Company, do you not?

5 A The management of Southern Union gas is under Southern
6 Union Production Company.

7 Q You aren't apt to have a complaint from yourself?

8 A I wouldn't know why not. Those people have not ever held
9 back from fussing yet.

10 Q If you did install additional compressor facilities, over
11 what period of time would you depreciate that?

12 A Those things are normally installed and set up on
13 depreciation of about, I think, 10 to 12 or 15 years. I am
14 just not real positive as to that number. We are talking
15 about the gathering system?

16 Q Yes, the gathering system.

17 A Right.

18 Q This compressor equipment can be moved from place to place
19 as needed, can it not?

20 A Well, at major expense, you are talking about not skid
21 mounted units. You are talking about permanent installations,
22 one with a lot of permanent piping and valving that goes
23 into these things.

24 Q Do you anticipate you will continue to operate in the South
25 Blanco-Pictured Cliffs Pool?

1 A Yes, as long as gases are producible therefrom.

2 Q Your company today is making connections to other sources
3 of supply in the same area?

4 A Yes.

5 Q Compressor facilities would be available for those
6 connections as well, would they not?

7 A If they were installed now, and they became--a time arrives
8 when they were needed for something else, they could be put
9 back into service to use for the sources you are talking
10 about.

11 Q Tell me, does Southern Union need this little bit of gas
12 that Continental is producing?

13 A Any kind of a need for gas is whether it is used or any
14 other company has a dollar value on it, as I think everyone
15 can well appreciate.

16 Given a limit on the cost of gas to our line, yes, we
17 can use additional gas into that system coming out of that
18 area, but everything has got a dollar top on it.

19 Q You are not meeting your present requirements, are you?

20 A Where?

21 Q Well, for example, Kerr-McGee, or at the Public Service
22 Company of New Mexico?

23 A Kerr-McGee is certified to buy the gas we purchase from El
24 Paso Natural Gas Company.

25 Public Service, yes, we are meeting our contract

1 requirements with them.

2 Q You made a trade with El Paso for natural gas, didn't you?

3 A We have some trades, but not for the purpose of serving
4 Kerr-McGee.

5 Q Now, you recently made a contract to sell gas to El Paso in
6 the area involved in this Application, did you not?

7 A Yes, we made a contract to sell them some gas out of this
8 area. That account is subject to Federal Power Commission
9 approval, and right at this moment, that looks like it is
10 not going to come.

11 Q What kind of pricing did you apply for?

12 A For a half cent above our cost of the gas.

13 Q Nineteen and a half cents?

14 A Given a 15¢ cost, it was four and a half, about, above the
15 cost. That is what the price was.

16 Q I believe yesterday you testified that Continental Oil
17 Company shouldn't be permitted to take a portable compressor
18 out to the field and thereby increase their D-factor, or
19 deliverability for the purpose of allowable; did you not
20 testify to that?

21 A I don't recall exactly how my testimony went, but it was to
22 the effect that no one should be allowed just to run around
23 the field with a portable compressor and get a high test
24 run off down the road with that compressor.

25 If they are willing to increase and sustain a

- 1 deliverability out of that well, that is fine and wonderful.
- 2 I would be glad for Continental to do that on all of their
- 3 connections.
- 4 Q Can you point to any single bit of testimony or any exhibit
- 5 we offered here which indicated we increased our D's by
- 6 these tests?
- 7 A That you increased your D's?
- 8 Q Yes.
- 9 A By the test?
- 10 Q Yes, sir.
- 11 A I think that the other witness testified to that.
- 12 Q Didn't you testify that some went up and some went down?
- 13 A Well, I thought the thrust of his testimony was that
- 14 generally they went up.
- 15 Q Mr. Haseltine, just to refresh your recollection, wasn't he
- 16 talking about the cost or production, the flow rate from
- 17 these wells?
- 18 A He was talking about that, but I think he is talking about
- 19 the D's, also.
- 20 Q But, you are not positive, are you?
- 21 A Well, I am not positive as to his testimony, but as a
- 22 matter of fact, I think that the D's did go up as a result
- 23 of those tests, did they not?
- 24 Q As a matter of fact, Mr. Haseltine, they did not, and we
- 25 will be happy to put another witness back on to testify to

1 that.

2 A Fine.

3 Q I believe you will recall, will you not, that the test data

4 the witness testified that the test data was not filed with

5 the Oil Conservation Commission until this hearing?

6 A Yes, I remember that.

7 Q So, it couldn't be used for allowable purposes?

8 A So far.

9 Q So far?

10 A Right.

11 Q Mr. Haseltine, I would like, if I may, to return to the

12 exhibits on the gradients on the two lines which are Exhib-

13 it 13 and 14 for a moment.

14 A All right.

15 Q Now, on Exhibit 13, the Jicarilla line, would you estimate

16 the gradient on the first six miles of that line?

17 A Oh, it looks like it would be fifty pounds in about seven

18 miles. That is seven pounds per mile, maybe seven and a

19 half.

20 Q Now, are you using the starting point of 215?

21 A No, I am using 200, which is my data.

22 Q Can you estimate the gradient on the first six miles of the

23 Lowerie line going to the north?

24 A It would be about--oh, it is probably between one and two

25 pounds per mile on that plotted one.

1 Q The pressure gradient on the Jicarilla line, the first six
2 miles, is really closer to ten than it is seven; isn't it,
3 or maybe I can't read your graph?

4 A No, I was using seven miles there, it is six and a half
5 plus, and at seven miles you are at about the 250 pound
6 level, so you have got a Delta-T of 50 pounds in seven
7 miles. I said seven or seven and a half, give you half a
8 pound on it.

9 Q You say seven and a half as against one and a half on the
10 other?

11 A Yes.

12 Q That makes the hydraulic gradient on the first six miles of
13 the Jicarilla line how much?

14 A Whatever seven and a half is, about five.

15 Q The Lowerie and the Jicarilla, isn't this the same Jicarilla
16 line you said you just finished looping with another well
17 line?

18 A That is right.

19 Q What size loop would you have had to install to give the
20 same pressure gradient as the Lowerie line?

21 A I don't have a Panhandle Flow Line Formula with me.

22 Q You don't?

23 A No.

24 Q You don't know it offhand?

25 It would have to be substantially larger than what you

1 installed, would it not?

2 A I would imagine so, yes.

3 MR. KELLAHIN: I believe that is all I have. Thank
4 you.

5 MR. PORTER: I think you had the witness longer than
6 Mr. Jameson. Maybe we can call him your witness.

7 MR. JAMESON: I have one or two re-direct questions,
8 Mr. Porter.

9 RE-DIRECT EXAMINATION

10 BY MR. JAMESON

11 Q Mr. Haseltine, Mr. Kellahin referred to the system of
12 designing the pressure differential in his questions on
13 cross-examination.

14 I will just ask you if this was, if any considerations
15 are given to the contractual pressure requirement in initial
16 design of gathering systems?

17 A The two factors that go into initial design of gathering
18 facilities are contract pressures and expected volumes
19 available. These are the two parameters used. Contract
20 pressure is just absolutely essential. That is what you
21 design on to start with.

22 Q When you design on contract pressure you presumably designed
23 on a pressure basis that was acceptable to the seller or
24 you wouldn't have signed the contract?

25 A That is right. After the contract is signed, everybody

1 goes forth having made a satisfactory agreement.

2 Q Reference was made on Exhibit 10 to some kickers in the
3 graph showing abnormally high pressures for a day or two
4 on the line represented by that graph.

5 I will just ask you this question:

6 Is it possible for wells that are making hydrates to
7 cause pressures in the line that will cause a pressure
8 build-up for short periods of time, until a freeze is
9 remedied?

10 A That is right. Now, of course, this pressure is taken
11 down there at the check meter point, so hydrates would have
12 to be between there and the station.

13 I don't really know what this was.

14 It may have been improperly imported or it may have
15 been the compressor, or down-time, or something. In answer
16 to your question, yes, hydrates will form in a line where
17 three factors are present: natural gas, water, and
18 turbulence, and given the right conditions of pressure and
19 temperature hydrates will form and plug a line, cause high
20 pressures at a well, and cause a well to lose production.

21 Q Now, Mr. Kellahin asked you a question as to whether line
22 pressures other than those paid to Continental were paid by
23 Southern Union for other gas in the San Juan Basin.

24 Could you briefly outline the differences on which
25 those price differentials are found?

1 A They are precisely the same as reflected in the Continental
2 contract, a right to gather gas at pressures up to 600
3 pounds.

4 In most of our high pressure, high price contracts in
5 the Basin we do not have the provision for lowering
6 pressures and lowering price simultaneously.

7 That feature is characteristic only of this whole
8 Jicarilla area, and, of course, all of the contracts in
9 that Jicarilla area carry that same pressure price
10 reduction pattern, and the contemplation originally, and
11 as it has been since implemented, was that the system would
12 operate at high pressures to begin with, with a gradual
13 lowering as contemplated by the contract.

14 Q Now, the higher prices paid generally are applicable to the
15 Mesaverde and the Dakota formation in recognition of the
16 higher pressures of those formations?

17 A That is right.

18 MR. JAMESON: I believe that is all.

19 MR. PORTER: Anyone else have a question or two?

20 MR. UTZ: I would like to clear up one column of
21 figures, possibly two columns of figures on Exhibit 12.

22 CROSS-EXAMINATION

23 BY MR. UTZ

24 Q The first column is an Mcf and the second column is, of
25 course, in percentage in regards to your market requirements.

1 Now, my question is, in the first column do those
2 figures represent the Oil Conservation Commission--in the
3 first column, do those figures represent the Oil Conserva-
4 tion Commission allowable?

5 A No, not entirely and not exclusively.

6 They reflect our consideration of the allowables, but
7 that number is the ultimate division of our market.

8 Q In other words, they reflect a portion of your purchases
9 or your market demands on your system and do not reflect
10 the allowable figures for the whole Pool?

11 A Well, they do reflect that to the extent that I have tried
12 to explain, the allowable for the whole Pool, because the
13 allowable for the whole Pool, as we both know, is divided
14 down into individual wells, the allowable that falls on
15 the given well is reflective of our market plus the market
16 of another purchaser.

17 Now, then at that point a well accrues underage or
18 accrues allowable subject to cancellation, or it becomes
19 over produced, depending on the allowable assigned to that
20 well by the Commission.

21 Now, that then bears on our allocation of gas to that
22 well, too, but the ultimate allocation after that is on
23 our market, because that is really all we have to allocate.

24 Q In other words, on a per AD unit or for a well it is pretty
25 hard to guess what a unit is in our proration formula up

1 there, but let's say that a well with a hundred deliverabil--
2 ity, an acreage factor of one, these figures would be lower
3 because your overall market demand is lower than the Pool
4 allowable?

5 A I don't know whether our overall market demands in the
6 South Blanco currently or in recent time has run under our
7 allocated share of the market, either. If what you are
8 saying is right, if it is not, what you are saying would be
9 the opposite.

10 Q Would you use these figures in column 1
11 to determine this?

12 A Yes, that is right. I just have to check back. I don't
13 know whether that has been the case or not.

14 Q You don't know whether they represent our allowable assigned
15 by us or whether they represent your market demands?

16 A They ultimately represent our market demands, since that is
17 all we have got to allocate.

18 Q Now, a question came up in my mind when I looked at Exhibit
19 2, your plat of compression. Do you know whether or not,
20 of course, I am sure you know why I am asking this question
21 --you have an inlet pressure of 165 pounds on your recipro-
22 cal compressor. On your two Solars you have intake pressure
23 of 215 pounds. Do you know whether or not the system that
24 goes into the Solar compressors on the basis of allowable
25 is ratable with allowable taken on your reciprocating

1 compressor on the Ballard and Lowerie systems?

2 A Yes, I believe that it is ratable with the allowable
3 assigned by the Commission.

4 Q In other words, you think the 215 pounds is giving you
5 ratable takes in accordance with the allowable the
6 Commission assigned as your 165 pound pressure?

7 A Yes. This goes back to the question you asked a minute ago.
8 I didn't--I think I mentioned this--but I may not have made
9 it clear. When we take our total market and divide it down
10 to a Pool

11 Q Yes?

12 A We are dividing our market to a Pool, and we consider many
13 things, what kind of an allowable that pool will get from
14 the Commission. So our original market allocation to a
15 pool tried to take into account about what our allowable is
16 going to be. If we didn't do that, we might end up
17 allocating a piece of our market to a pool where we are not
18 going to get allowable to cover it.

19 On the other hand, the allocating to a given pool, and
20 end up with a lot of cancellations to the original and to
21 allocation, includes our consideration of what we think
22 that allowable is going to be, of course, this is an in-
23 house thing. We can shift our market from pool to pool
24 with some flexibility, not a great deal, but some. As the
25 year progresses, if the allowables are all accumulating

1 here and not accumulating, that sort of thing.

2 Q Your policy is you try to take the Commission allowable?

3 A That is right. We try to accommodate those, and in years
4 gone by we had substantial cancellations. We try to get a
5 cancellation ratable, too. That has not been the case in
6 recent time.

7 Q So, in order to take ratably, if this involved putting in
8 some more compressors, it would be your policy to do this
9 in order to take the Commission allowable?

10 A No, Mr. Utz, we have not heretofore installed facilities on
11 the basis of what allowables might be needed to be in the
12 future.

13 We have installed facilities based on what the gas is
14 going to be in total out of a given area, and what kind of
15 pressure we can get it at, or we have to do to get it.
16 This is what determines our installation facilities.

17 Q Well, perhaps you misunderstood my question. Specifically,
18 let's look at the well, let's look at the Ballard and the
19 Lowerie system over here. If you were not on that system,
20 if you were not taking Commission allowables or you were
21 taking much less of the Commission allowables, would it be
22 your policy to increase your compression there so that you
23 could take the higher percentage of the Commission allowable?

24 A Not just for that purpose. It would have to dovetail with
25 all other factors that go into it.

1 Q Your contracts?

2 A Our contracts, our market, the whole thing.

3 Q I think that answers my questions.

4 MR. PORTER: Any other questions?

5 MR. STAMETS: Yes.

6 CROSS-EXAMINATION

7 BY MR. STAMETS

8 Q Mr. Haseltine, assuming that you were assured of Continental
9 gas for as long as you would like, do you think Southern
10 Union would have any objection to installing the additional
11 facilities on the Jicarilla line to reduce the inlet
12 pressure at the Dogie Station?

13 A This is a tough one to answer because when you assume that
14 Continental is willing to extend a contract, that is a big
15 assumption. It is not just for Continental, either, but we
16 are all familiar with this total price picture in the San
17 Juan is squirming around, and no one knows today what that
18 price picture is going to be five years from now, and
19 neither Continental nor any other prudent operator, if they
20 can avoid it, is going to lock themselves to a long-term
21 price here in the spring of 1972 when they can get this
22 picture out for two or three years, hope they see which way
23 that price thing is going to go. It is not just Continental
24 in that respect. It is all producers, so to ask me to
25 assume that Continental would extend that contract, that is

UCC 11105-111061

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 a real tough assumption to make, because that assumes you
2 have agreed as to the price provision and many other things.

3 I just can't conceive that they would be willing
4 simply to extend this Commission contract life of the lease
5 because they are in the same position most operators are.
6 They think that there is going to be a substantial price
7 change in that area. They are probably right.

8 Q That wasn't exactly the answer I was hoping for. What
9 percent of the Jicarilla line through-put comes from
10 Continental wells?

11 A Well, they are shown here on Exhibit 2.

12 Q I am not just speaking about the South Blanco-Pictured
13 Cliffs. I am talking about the total Jicarilla line.

14 A That Jicarilla line carries about 48 million per day, and
15 Continental wells put out about a million and a half a day,
16 I believe is the number, say three percent of the through-
17 put.

18 Q Are there other leases connected to this Jicarilla line
19 which could ultimately justify expense of installing all
20 these additional facilities that have been discussed?

21 A Well, that is a guess. Either one of two things is going
22 to happen, either volume available out of that area will
23 decline, which will result in a decline in the Gathering
24 System pressures to the end that no further hp is needed;
25 or in order for us to get the reserves out we would have to

1 put in a horn, one of the other.

2 We don't know which today. No one can guess today
3 which is going to occur, but the field has got a real long,
4 protracted life such that if the volumes are going to
5 dwindle down to a very minor amount we may have more hp
6 than we will need five years down the road.

7 In other words, it may be that the wells will prove to
8 be responsive enough, and with substantial reserves to the
9 extent that it will behoove us to put in additional
10 compression to get the gas at a higher rate.

11 In either event, regardless of if we knew which way to
12 guess today, you are talking about installing of facilities
13 that wouldn't be needed for some years down the road.

14 MR. STAMETS: That is all.

15 MR. PORTER: Any further questions?

16 The witness may be excused. We will take a ten minute
17 recess.

18 (After recess.)

19 MR. PORTER: The hearing will come to order, please.

20 MR. JAMESON: The next witness will be Mr. Alvin Dean.

21 MR. PORTER: Come up and take the witness stand. I
22 believe the record will show he has already been sworn.

23 ALVIN DEAN

24 a witness, having been first duly sworn according to law, upon
25 his oath, testified as follows:

DIRECT EXAMINATION

1
2 BY MR. JAMESON

3 Q State your name for the record, please.

4 A Alvin Dean.

5 Q And are you employed by Southern Union Gas Company?

6 A Yes, sir.

7 Q And in what capacity?

8 A Field Superintendent.

9 Q In what area?

10 A In the Jicarilla area.

11 Q How long have you been employed in that position?

12 A In the superintendent's capacity five years; prior to that
13 field foreman for three years.

14 Q Could you describe generally what your responsibilities and
15 duties and work is with Southern Union in the capacity of
16 Field Superintendent?

17 A Generally it is supervising installation, operation and the
18 maintenance of gas gathering facilities in the Jicarilla
19 area.

20 Q When you speak of the Jicarilla area, does that area include
21 the South Blanco-Pictured Cliffs Pool?

22 A Yes, part of it.

23 Q When you say "part of it," now what part are you referring
24 to?

25 A The portion of the line that we have been describing as

dearnley-meier reporting

1 going west over to it. On the Ballard system I have no
2 control on it.

3 Q Have you had the occasion to become familiar with the
4 Continental wells connected to the Gathering System under
5 your supervision?

6 A Yes, sir.

7 Q I will ask you this question: Has liquid in the Continent-
8 al wells affected delivery of gas from those wells into the
9 Southern Union Gathering System?

10 A Yes.

11 Q In what way?

12 A The liquid accumulating in the well bore itself, if it is
13 not relieved, will definitely hinder the flow of gas, and
14 it can naturally cause measurement problems and line
15 freezes or hydrates, if you will.

16 Q Can that liquid actually accumulate to the extent, and has
17 it done it in the past to the extent that the entire flow
18 of gas from the well into the Gathering System is cut off?

19 A I wouldn't necessarily say cut completely off as a result
20 of liquid in the well itself, but the flow has definitely
21 been hindered, I will put it this way.

22 Q Does that liquid in the well often cause a freezing up of
23 the well?

24 A Yes.

25 Q When a well freezes, does it deliver into the line?

dearniey-meier reports

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 249-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 A No.

2 Q Has liquid in the Continental wells caused any freezing up
3 of the lateral line of Southern Union connecting the wells?

4 A Yes, sir.

5 Q There has been some flow of liquid from the Continental
6 well that ties into the Southern Union gathering line
7 connected to the well?

8 A That is right.

9 Q And when that happens, what happens to the flow of gas from
10 the well?

11 A It can block off an individual well line or gathering line
12 and possibly enter the Gathering System.

13 Q Now, what action do you and the people under your supervis-
14 ion take when those line freezes occur?

15 A Depending on the circumstances of it, generally it is
16 easier just to shut a well in or all of the wells on the
17 Gathering System, and relieve the pressure, allow it to be
18 atmospheric pressure. Your hydrates will come unfrozen if
19 it is a hydrate freeze.

20 If it is an actual water freeze, this is about the
21 only way you can do it, leave it down until the freeze
22 comes out, or you can inject methanol to help alleviate the
23 problem.

24 Q Would you say that these lines freeze because of the
25 hydrates produced from the Continental wells occur

1 frequently or seldom, or with what frequency?

2 A Oh, I suppose you could classify it frequently, yes, sir.

3 Q Now, what has Continental done with reference to alleviating
4 the liquid problem in their wells?

5 A They have installed on a number of wells over the past years
6 intermitters to automatically relieve the well bore of the
7 accumulated liquids, and on two or three occasions they
8 have went in and reworked the well. I think possibly they
9 installed a smaller tuck, but I am not certain.

10 Q Now, how many of their wells, to your knowledge, have
11 intermitters installed on them?

12 A Approximately 17 or 18 of the South Blanco-Pictured Cliffs
13 take off.

14 Q Right off the south?

15 A Possibly 17 or 18.

16 Q Out of 31 Continental wells?

17 A Right.

18 Q How do those intermitters work?

19 A They are generally a pneumatic-actuated valve controlled
20 by a time cycling device.

21 Q Are they actuated by a clock?

22 A Yes, sir.

23 Q How many days are those clocks usually wound for?

24 A Eight days generally.

25 Q The people under your supervision found those clocks to

1 have been run out, not been rewound by Continental at times?

2 A Yes.

3 Q Would you say that occurred frequently?

4 A Quite frequently.

5 Q Have you experienced or observed any delays between the
6 time that a Continental well is logged off on account of
7 water and the time that Continental's personnel have blown
8 the well down to try to alleviate that situation?

9 A Yes, sir, I have.

10 Q Let me ask you this: Have the people under your supervision
11 when they find those intermitters wound down volunteered
12 some assistance to Continental and rewound them for them?

13 A Yes, sir, they do when they have time or if a well does not
14 have any intermitters on it, they will on occasion clean
15 the wells themselves to prevent us from having measurement
16 and line problems.

17 Q Even though we consider that those activities are duties of
18 the operator regarding the operation of his wells?

19 A Yes, sir.

20 MR. PORTER: Isn't that in violation of union
21 regulations?

22 THE WITNESS: It is also in violation of company
23 policy.

24 Q (By Mr. Jameson) In your conversation with Continental

25 personnel operating these leases, have you obtained any

1 information as to how many people they have got employed in
2 this area to operate their wells?

3 A So far as I know, they have three field personnel in the
4 area.

5 Q How many people, how many wells are those three people
6 trying to operate?

7 A I really don't know.

8 Q But they do have other wells other than those connected to
9 the Southern Union system?

10 A Yes, sir, they do.

11 Q The question that arose yesterday in the testimony as to
12 the piping arrangement that Continental employed on their
13 portable compressor when they were running compressor tests,
14 can you describe that for us?

15 A On two of the wells for sure, the Continental Jicarilla or
16 the Axi Apache J-1, and J-2, and also, I am sure, on the
17 Continental M-1, they did have a suction line coming out of
18 the tuck and a discharge line coming from the discharge
19 side of the compressor back into the casing, with a
20 pressure controlling device installed on the tuck, and the
21 motor valve on this discharge line where the suction on the
22 tuck failed, it would be open, it would open this motor
23 valve and allow a discharge of gas in to circulate into the
24 casing of the well.

25 Q With what effect on the arrangement, as far as keeping the

1 A We remove on the Continental wells probably a freeze or two
2 a day.

3 Q All through the year?

4 A No, sir. In the winter time.

5 Q What time of the year?

6 A Generally the freezing starts in October and will extend
7 through say March or April.

8 Q When and where did you remove a freeze on a Continental
9 well?

10 A I haven't personally removed a freeze from a Continental
11 well.

12 Q Have you personally seen a freeze?

13 A Not for a number of years, but I have personally seen
14 freezes--

15 Q Where?

16 A --removed from all of our Continental Axi Apache L leases,
17 L, N, O, J

18 Q The O lease was frozen in?

19 A No.

20 Q What well was frozen in and when, do you know?

21 A Yes, sir, on the "K" lease, in particular last year we had a
22 number of gathering problems. It could have been contribu-
23 ted to the Continental well or Southern Union's, either one,
24 or Aztec's.

25 Q You don't know whose they were?

- 1 A No, sir.
- 2 Q So you can't name a single instance where you had a freeze
3 on a well at a given time?
- 4 A If I had the charts available, I could show you a number of
5 wellhead freezes and freezes between the wellhead and the
6 meter and immediately
- 7 Q You testified Continental had intermitters, I believe, on
8 16 or 17 wells?
- 9 A Perhaps that many.
- 10 Q Generally the Pictured Cliffs Formation is productive of
11 water in this area, is it not?
- 12 A Correct, yes, it is.
- 13 Q Do all of the other operators also use intermitters?
- 14 A All of the other operators, most of them.
- 15 Q Not all of them?
- 16 A A few do, yes.
- 17 Q How would you compare the water problem of Continental's
18 oil leases with the water problem say on the Caulkins
19 leases; don't they have a water problem, too?
- 20 A Yes, they do.
- 21 Q Do they use intermitters?
- 22 A No.
- 23 Q They don't?
- 24 A No.
- 25 Q The size of the water problem is important as to the flow

1 rate of the gas, is it not?

2 A If you flow your wells at a higher rate, you are less
3 likely to have frequent water accumulation than if you
4 flood at a higher rate. The water well releases itself of
5 the water and we catch it in our facilities. then.

6 Q So if you have a lower line pressure which permits the well
7 to produce at a higher rate, the water problem would be
8 less frequent, wouldn't it?

9 A No. At a lower line pressure a well doesn't necessarily
10 plug at a higher rate.

11 Q You say it doesn't?

12 A At a lower line pressure the well loses its ability
13 generally, if it isn't producing at a higher rate, to lift
14 this water out, and thereby it has to be physically removed.

15 Q Is it your testimony that the Caulkins Oil Company is not
16 producing at a higher rate than Continental?

17 A I couldn't say on an individual well basis.

18 Q Is it your testimony that Continental is not producing at a
19 higher rate under the present line pressures than it was
20 producing under the prior line pressure of three to four
21 months ago? This will be testified to.

22 A I don't have the figures here before me, sir.

23 Q You don't know, but you wouldn't dispute that, would you?

24 A No, I wouldn't.

25 Q ~~But you do persist that lowering the line pressure doesn't~~

1 necessarily increase the production, the flow rate?

2 A It will for a short period, but over a sustained period, it
3 wouldn't.

4 Q Now, you testified in regard to this testing equipment you
5 were invited to witness these tests?

6 A Yes.

7 Q Did you do so only on one occasion?

8 A On the Continental MJ-1 I happened to catch Continental's
9 testers there, I think on two occasions. I stopped and
10 talked to him there.

11 Q That is the only one you saw?

12 A I was by the Continental L1, I think it is one of the ones
13 in the seven wells, and Continental M1 is the only one that
14 I was by at the particular time the compressor was installed.

15 Q You never saw the test results until this hearing?

16 A No.

17 Q Did you ask for them?

18 A No.

19 Q You said that the well that M-1 that was discharged
20 into what, what was the casing?

21 A The Continental Axi Apache J1 and J2 definitely had these
22 lines, two lines, a suction and discharge line going to the
23 well, and I am certain the Continental M-1 did.

24 Q That resulted in unloading the water factor, didn't it?

25 A Yes, sir, it probably did that.

1 Q By whom are you employed?

2 A I am employed in the Gas Supply Department of Southern
3 Union Gas Company as a reservoir engineer.

4 Q Would you give us a resumé of your education and
5 experience in that field of endeavor?

6 A Yes, I graduated with a professional degree of petroleum
7 engineer from the Colorado School of Mines in 1963.

8 Upon graduation I accepted employment with what is
9 now the Atlantic-Richfield Company in California, where my
10 primary duties were as analytical engineer, basically
11 reservoir engineering.

12 In September, 1966 I returned to the Colorado School
13 of Mines for graduate study where I received a Master of
14 Science degree in petroleum engineering.

15 On the completion of my Master of Science degree in
16 1967 I accepted a teaching and research position on the
17 faculty in the Department of Petroleum Engineering,
18 Mississippi State University.

19 Consequently, my responsibilities during that term of
20 employment were divided between teaching and research, and
21 in July of 1969, after two years on the faculty at the
22 University, I engaged myself as a consultant petroleum
23 engineer with the State of Mississippi, where a majority of
24 work consisted of reservoir evaluation.

25 In May of 1971 I accepted employment as a reservoir

1 engineer in the Gas Supply Department of Southern Union
2 Gas Company.

3 I am a registered professional engineer in the State
4 of Mississippi.

5 Q Since your employment with Southern Union have you had
6 occasion to make a study of the South Blanco-Pictured Cliffs
7 Pool in the San Juan Basin?

8 A I have had occasion to make a study of certain aspects of
9 this pool, yes.

10 Q Mr. Boyd, I direct your attention to an exhibit identified
11 for the record as Southern Union Gas Company Exhibit No. 18,
12 and ask you that you explain that exhibit.

13 A Yes, Exhibit 18 is a tabulation of wells that were cleaned
14 by Southern Union Gas Company personnel.

15 In addition, we have a tabulation of the location of
16 those wells, the date on which they were cleaned; the 24-
17 hour rate immediately prior to cleaning, and the 24-hour
18 rate immediately after cleaning.

19 Q Now, I see that you have one with a line drawn through it.
20 What is the significance of that?

21 A Yes, that well, Axi Apache J14, is not a Pictured Cliffs
22 producer, even though it was cleaned.

23 Q It is not properly in the South Blanco-Pictured Cliffs Pool?

24 A That is correct.

25 Q All right. What conclusion did you draw between the

1 figures and the data shown in the column 24-hour rate
2 before cleaning and the 24-hour rate after cleaning?

3 A Well, the only conclusion that I can draw here is that
4 water in the tuck is a restriction and limits the flow of
5 gas through.

6 I might also point out in regard to the 24-hour rate
7 before and the 24-hour rate after, by this exhibit, I am
8 not saying or do not intend to infer that is in any measure
9 a sustained rate. That is the 24-hour rate prior to and
10 the 24-hour rate after this physical operation took place.

11 Q Were these figures calculated from the meter charts of
12 Southern Union?

13 A Yes, they were.

14 Q Would it be fair to say from this data that the flow rates
15 from the Continental wells would be substantially less if
16 they were not diligent in keeping their wells cleaned, than
17 it would be if they were diligent in keeping their wells
18 clean?

19 A I would have to zero in on some semantic definition of
20 "substantial."

21 Let me leave it this way: Any time you put a restric-
22 tion in the flow path of a fluid, you are going to limit the
23 flow.

24 However, to how great an extent this flow will be
25 limited will depend on a number of factors.

1 Q Mr. Boyd, I refer you to an exhibit consisting of three
2 pages identified for the record as Southern Union Gas
3 Company Exhibit No. 19, and ask you that you explain those
4 three graphs that are included in that exhibit?

5 A Yes, Exhibit 19 is a plot of the instantaneous producing
6 rate versus time during the period that the respective
7 Continental Axi Apache wells were on this special compressor
8 test.

9 Q Is each of these graphs related to a different time?

10 A Yes, they are.

11 Q The three wells that are covered by these three graphs,
12 are they three of the six wells that have been previously
13 testified to as being subject to compressor tests?

14 A Yes, they are.

15 Q All right. Now, from these graphs, what conclusion can
16 you draw with reference to the data shown on the exhibit?

17 A Allow me to explain that question in three parts, in that
18 we have three graphs.

19 The first graph, Axi Apache M-1, the conclusions on
20 this test, I feel, are, in my opinion, limited.

21 The only conclusion we can draw here is that the
22 production rate at the end of the test was less than at
23 the beginning of the test.

24 Now, on the following graph, which shows the same
25 information on the Axi Apache L3, here again we are limited

dearnley-meier

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 as to the conclusions that we can draw because of the nature
2 of the test. Now, and again, I will say that the only
3 conclusion that I can draw from here is that the production
4 rate at the end of the test was less than the production
5 rate at the beginning of the test.

6 Now, I would like to point out one thing, and if the
7 Commission will please note that there is a period consist-
8 ing of some 28 hours here, that I have labeled as a
9 no flow period, that is not entirely correct. There was
10 an initial six hour flow.

11 The well logged off for some reason for the following
12 22 hours, and then the first point that I have on this
13 graph is actually the 28th hour of the test.

14 On the following graph, this is of the Axi Apache 0-1,
15 I believe this test is perhaps more definitive than those
16 previous tests in that we, during the some seven days
17 approximately seven days that the test was run, we did not
18 have the interruption in the flow, and we can see from the
19 observation of the graph that the production rate is
20 declining, and at the end of the test is still declining.

21 Now, there is a comment that I wish to make relative
22 to this test, also.

23 Our meter charts indicate that this well was logged
24 off of production.

25 Q When you say "this well," which?

1 A I beg your pardon. I am referring to Axi Apache 0-1, which
2 is represented here on the third graph.

3 This well was logged off of production for two full
4 days prior to the start of the test.

5 The specific dates are October 29th and 30th.

6 The test period is November 1 through November 9, 1971.

7 Q All right. Now, let me ask you this. Do these graphs
8 indicate that striking an average rate of flow for the
9 seven day period, as did Continental, gets you to a higher
10 Mcf per day production rate than that indicated at the end
11 of the seven day test period?

12 A Well, obviously the average flow rate over the seven or
13 eight day period would not be as high as that at the end of
14 the period.

15 Q And which data---that is, the average rate versus the end of
16 the period rate---is more reflective of what the well would
17 do in the future?

18 A Well, at the end of the flow rate at the end of the test
19 period would be more reflective of what the well can do in
20 the future than some average, in this case.

21 Q Did I understand you to say that the average Mcf per day
22 flow rate was lower than the end of the period or--

23 A If I said that, I was in error, or I meant that the average
24 flow rate for this time period will be higher than the end
25 flow rate, yes.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG., P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Q And the lower end of the period flow rate would be more
2 representative for predicting future performance of the
3 well?

4 A That is true.

5 Q Mr. Boyd, I call your attention to the series of 31 graphs
6 that are identified for the record as Southern Union Gas
7 Company Exhibit No. 20, and ask you to explain the data
8 that has been plotted on those graphs.

9 A Exhibit 20 is a plot of the production rate and the meter
10 pressure versus time for the years 1969, '70, and '71 on
11 the wells, the Conoco wells that are connected to the South-
12 ern Union Gas Company Gathering System producing from the
13 South Blanco-Pictured Cliffs Formation.

14 Q Does this exhibit contain a separate graph for each of the
15 31 Continental wells?

16 A I believe that it does.

17 Q Proceed with the explanation of this exhibit.

18 A Well, sir, I would call attention basically to the
19 procedures used during the year 1971.

20 I don't think we need to go further back than that,
21 really.

22 Let me be general here, if I may, generally what is
23 reflected on these graphs is that during the month of
24 October and partially into November most of these wells
25 peaked out in production.

1 Since that time we have realized a decrease in the
2 producing rate, even though we have continued to have, in
3 most cases, a decrease in operating line pressure.

4 Q From the data available to you and represented by these
5 graphs, what prediction could you make with reference to
6 the production on an Mcf per day basis of the Continental
7 wells for the future?

8 A Mr. Jameson, I would not make a prediction as to how much
9 each of these wells will produce.

10 Q I really had reference to the trend.

11 A Yes, I can comment on the trend and say that in my opinion
12 I do not believe these wells are beginning to reach a
13 stabilized flow period.

14 What flow rates will be thirty days from now, two
15 months from now, I don't know, but it is my considered
16 opinion that the flow rates in January and February will
17 not be as high as those in December. The December flow
18 rates were not as high as those, for example, in November.

19 May I point out for the record, I said that in
20 general this trend existed. If we wish to get into it in
21 cross-examination, I can list those exceptions. I have
22 them indicated here.

23 Q I refer you to a map identified for the record as Southern
24 Union Gas Company Exhibit No. 21, and ask that you explain
25 that map.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 A Yes, Exhibit 21 is an Isopac map on the net pay sand in the
2 South Blanco-Pictured Cliffs Pool.
3 This map was developed on the basis of SP development
4 of IES logs.
5 You will observe that I have a color scheme here, that
6 I wish to explain.
7 The brown color represents what I consider to be no
8 sand development.
9 The yellow represents sand thicknesses in excess of
10 zero but less than ten feet of net pay.
11 The green represents greater than ten feet, but less
12 than twenty feet of net pay.
13 The red represents greater than twenty feet, but less
14 than thirty feet of net pay.
15 The blue represents greater than thirty, but less than
16 forty feet of net pay.
17 The purple represents that sand development which is
18 greater than forty feet, and let me call your attention to
19 what is purple, as it didn't show through very good on all
20 of the maps.
21 I am referring to that section of the formation or
22 that portion of the formation which is contained in Sections,
23 roughly, 18 and 19 of Township 26 North, Range 5 West, and
24 that extends over into Section 13 of Township 26 North,
25 Range 6 West.

1 Q Now, have you shown the Continental leases on this map?

2 A Yes, the Continental leases in the South Blanco-Pictured
3 Cliffs are outlined with a purple border.

4 Q I notice another forty foot contour up in the north part of
5 the Township 26 North, Range 26 West.

6 Did you fail to mention that?

7 A I failed to mention that. There is a small area that I
8 considered to be in excess of forty feet of net pay.

9 That is partially in Section 5; partially in Section 8
10 of 26 North, 6 West.

11 Q Now, what conclusion can you draw from this map with regard
12 to the relative thickness of the pay under the Continental
13 leases as compared to the relative pay thickness on the
14 balance of the producing area shown on the map?

15 A I constructed this map. Isopac maps are simply one means
16 of several available to differentiate the equality of a
17 well.

18 Here I have simply differentiated on the basis of net
19 pay thickness, or what I could possibly defend as net pay
20 thickness.

21 The map indicates that the Continental leases are
22 generally out on the extremities of the pool, and in the
23 thinner portions of the Pictured Cliffs Formation.

24 Q Approximately how many well logs did you analyze in this
25 South Blanco-Pictured Cliffs Pool for the purpose of

1 comparing this exhibit?

2 A Mr. Jameson, I can't answer that question. I would say a
3 fair estimate would be 300.

4 I would suspect that was a conservative estimate. I
5 have looked at many, many logs.

6 Q What conclusion would you as a petroleum engineer draw as
7 to the effect of the relative pay thickness on the ability
8 of a well to produce and deliver gas?

9 A Well, all other parameters in the flow equation being equal,
10 with the exception of pay thickness, the thicker the section,
11 the more production that you have, the higher their
12 production rate.

13 Q Now, I notice on the map that you have some lines drawn
14 marked A to A Prime B to B Prime and C to C Prime and D to
15 D Prime. What do those lines represent?

16 A Those refer to my next exhibit, and are those lines, are
17 the paths of cross sections that I made as a means to
18 further differentiate sand quality.

19 Q Now, does this map show that there is a thick trend in the
20 heart of the pool going from one end of it to the other
21 that completely misses all of the Continental leases?

22 A If I have interpreted, my logs, properly, yes.

23 The thick trend does basically go down the middle of
24 the Pool. As evidenced by the color scheme, Continental
25 enjoys very little of this additional pay thickness.

1 Q You now said if you had correctly interpreted your logs.
 2 Do you have any reason to believe that you did not correctly
 3 interpret them?

4 A No, sir. I have, part of my responsibility as a reservoir
 5 engineer is well logging. When I was at the University I
 6 taught well logging and this sort of thing.

7 I believe that I am a competent, at least partially
 8 competent interpreter of logs.

9 I am generalizing here, because there are some relative
 10 difficulties in using logs in the South Blanco-Pictured
 11 Cliffs.

12 Q Mr. Boyd, directing your attention to the drawing identified
 13 for the record as Southern Union Gas Company Exhibit No. 22,
 14 I will ask that you explain that exhibit.

15 A Well, Exhibit 22 is a cross section on the South Blanco-
 16 Pictured Cliffs as outlined on the previous Exhibit 21, a
 17 cross section is simply a utilization of logs properly
 18 spaced out, and, as a further means of differentiating
 19 between the quality of sand.

20 And let me emphasize further, differentiation between
 21 the quality of sand.

22 If we have--let me put it this way--the Isopac map
 23 does not necessarily reflect the quality of the sand. All
 24 the Isopac map says, "Well, we think we have got 15 feet
 25 here or 30 feet here that will be productive for years."

1 An electrolog or a comparison of electrologs, or a
2 comparison of logs on various wells will allow you, at
3 least, to get a qualitative appreciation for sand development
4 in these particular wells that are represented by the logs.

5 Q Now, what are the results of your study of the South Blanco-
6 Pictured Cliffs wells with reference to the relative quality
7 of the sand in the Continental wells to wells offsetting
8 the Continental leases?

9 A I think it would have to be agreed that the quality of sand
10 is not as good on the Continental wells as it is in some
11 offset areas.

12 Q When you say quality, now what are the factors that make up
13 that difference in qualities?

14 A You can get a qualitative comparison simply on the basis of
15 SP development. You can't draw any quantitative conclusion
16 from this. I am not presenting this as a quantitative
17 conclusion, but merely on the basis of SP development you
18 can get a qualitative comparison of the wells.

19 I point that out by using, as an example, in the C-C
20 Prime cross section, the Amoco Company Jicarilla 55-6,
21 located in Section 31, Township 26 North, Range 5 West,
22 has a fairly good, or is, relatively speaking, it has good
23 SP development.

24 It is not--there possibly is three or two rather thin
25 shale stringers on that well.

1 If we go over to the Amoco Jicarilla 147-3 and the
2 Conoco Jicarilla J-4, both of which are on the Continental
3 acreage, I point out that the Amoco Jicarilla 147-3 does
4 not produce from the Pictured Cliffs. It simply penetrates
5 the Pictured Cliffs on
6 You will see we do not have significant SP development
7 there.

8 We have several shale strings throughout what would be
9 classified as the pay zone.

10 So, simply on a comparison of logs here, I would
11 conclude that the Continental wells probably would not be
12 able to produce as much from the Pictured Cliffs as say the
13 Amoco Jicarilla 155-6 if that well were producing from a
14 Pictured Cliffs.

15 Q Now, is there any indication on these logs that you have
16 shown on your cross section of layers of shale and clay in
17 the zone that you have shown?

18 A I am sorry. Would you repeat that question?

19 Q Is there any indication that there may be shale and clay in
20 the areas that you have shown on this cross section to be
21 covered by the logs examined?

22 A If I understand the question correctly, yes, there are
23 indications that shale and clay are, that we have what is
24 generally called a **dirty** sand in here, and I point to the
25 example of Conoco Jicarilla J-6. The SP development here

1 in this well is very unstable.

2 This is believed to be a result of the dirtiness, for
3 example, of the sand in that well.

4 Q Have you drawn any--you speak now of the dirtiness of the
5 sand. Have you drawn any conclusion with respect to the
6 relative dirtiness of the sand between the Continental wells
7 and other wells in the same pool?

8 A Well, I will refer back to this cross section C C-Prime. I
9 don't think that it could possibly be argued that the
10 Continental Jicarilla J-6 is "dirtier than the Amerada
11 Jicarilla L-4 even the Amerada Jicarilla F-2."

12 Q All right, now--

13 A In short, what is inferred here is that there is more shale
14 and clay in the Continental Jicarilla J-6 than those two
15 other wells that I previously mentioned, that I have just
16 now mentioned.

17 Q How does that effect porosity in the different areas of the
18 Pool?

19 A In the inclusion of any material other than sand or inclus-
20 ion of shale and clay into the pores of the sand, it will
21 decrease the available porosity for whatever fluid may be
22 present.

23 Q Now, based on the work you have just testified to, can you
24 draw any conclusion with respect to the relative permeability
25 of the Continental wells to other wells in the Pool?

1 A Well, here again, I must emphasize that this is true in a
 2 qualitative way. It is generally accepted and generally an
 3 accepted fact that shale and inclusion of shale in clays
 4 reduces the permeability of the productive formation.

5 Q Based upon the data, all of the data that you have just
 6 testified to, what is your opinion with reference to the
 7 ability of the Continental wells to produce and deliver gas
 8 as against the relative ability of other wells in the Pool
 9 to produce and deliver gas?

10 A Well, I can't totally select 31 Continental wells and say
 11 that they are going to produce less than any other wells in
 12 the field, because obviously there are a few wells that
 13 qualitatively you would have to rate.

14 I think an example of that is the Kelly Oil Company
 15 Roberts No. 3, which is on cross section A A Prime.

16 Now, if we get away from these exceptions and we look
 17 at the South Blanco-Pictured Cliffs Formation as a total
 18 entity, I would assume I would conclude that the Continental
 19 wells do not have the ability to produce, all other things
 20 being equal, at a production rate as high as the other wells.

21 Q Now, Continental has drawn a lot of comparisons between the
 22 Caulkins wells and the Continental wells. Would that
 23 conclusion be applicable to those two classes of wells?

24 A I think it would be, yes. My study of logs indicated better
 25 sand development and thicker sand development in the

1 Caulkins area as opposed to the Continental leases.
2 Q Mr. Boyd, I will ask you whether or not the presence of the
3 water in a dirty sand compounds the production problems in
4 excess, far in excess of the presence of the water in a
5 much cleaner sand?

6 A Mr. Jameson, I can't answer that question as it is asked
7 because there are many, many things involved.

8 Certainly the presence of a mobile liquid phase is
9 going to reduce flow of a dry fluid phase.

10 Q I really had reference, and perhaps you misunderstood me,
11 to the relative permeability and expansion and effect of
12 expansion of clays due to water in the formation in a dirty
13 sand as opposed to a clean sand?

14 A I am sorry. I am not reading the question properly.

15 Q We know from production history of these wells that there is
16 a water problem in producing these wells.

17 A O.K.

18 Q Now, I am asking whether or not the effect of that water
19 problem in the Continental wells with a dirtier sand and
20 with clay that can expand with water contact, isn't compound-
21 ed in its effect on production rather than the existence
22 of that water in a much cleaner sand?

23 A Oh, I think generally this would be true. It reduces the
24 cross section shale area that the gas has to flow through.

25 MR. JAMESON: Let's end it at that.

1 We will tender the witness for cross-examination.

2 MR. PORTER: Would you like to submit your exhibits?

3 MR. JAMESON: Right, that is right.

4 Q (By Mr. Jameson) Mr. Boyd, I will ask you whether Southern
5 Union Gas Company Exhibit 18, 19, 20, 21, and 22 were
6 prepared by you or under your supervision?

7 A Yes.

8 MR. JAMESON: We tender those exhibits into evidence
9 at this time.

10 MR. PORTER: Any objection?

11 The exhibits will be made a part of the record and I believe
12 there may be a few questions of this witness, so why don't we
13 come up about 1:15?

14 The hearings will be recessed until 1:15.

15 (1:15 P.M.)

16 MR. PORTER: The hearing will come to order, please.

17 The witness is available for cross-examination, and Mr.
18 Kellahin, do you have a question?

19 MR. KELLAHIN: Yes, I do, several, I am afraid, sir.

20 CROSS-EXAMINATION

21 BY MR. KELLAHIN

22 Q In giving your qualifications you said you had a profession-
23 al degree. I don't recall what you said it was.

24 A I have a professional degree of petroleum engineer.

25 Q Than you have a master's?

- 1 A Master of Science in Petroleum Engineering.
- 2 Q What is your bachelor's degree?
- 3 A I don't have a bachelor of science degree. My first degree
4 was the professional degree.
- 5 Q Then you went on and got the---
- 6 A Yes.
- 7 Q You had considerable experience in reservoir engineering
8 work, have you not?
- 9 A Oh, that has comprised the largest portion of my
10 responsibilities.
- 11 Q In doing reservoir engineering work you have had occasion
12 to examine logs frequently?
- 13 A Yes.
- 14 Q That is what you did in this Pool?
- 15 A I did examine several logs in this Pool, yes.
- 16 Q I think you testified something like 300?
- 17 A That is a very arbitrary number. Let me say I examined
18 many of them.
- 19 Q I don't mean to pin you down to the exact number, but you
20 have examined a large number of logs?
- 21 A Yes.
- 22 Q Did you have the logs on all of the Continental wells?
- 23 A No, sir, I did not have all of the logs on the Continental
24 wells, and to a precise number, I don't recall how many I
25 did have.

1 Q Well, did you have enough you felt satisfied that they were
2 representative of the area owned by Continental Oil Company?

3 A I think so, yes.

4 Q Yes?

5 A I did.

6 Q Now, in connection with your work, you made considerable
7 analyses of pressure production data, have you not?

8 A In regard to the South Blanco-Pictured Cliffs?

9 Q No. I mean in your experience generally you have done this
10 type of work?

11 A Yes.

12 Q Did you do it in this case?

13 A To the extent that is shown on the exhibit here.

14 Q To the extent that is shown here?

15 A In the Exhibit 20.

16 Q Exhibit 20?

17 A Yes.

18 Q That is the only exhibit you are referring to in connection
19 with your pressure rates? You didn't do anything on pressure
20 rates, actually, did you, like a pressure production decline
21 curve?

22 A No, the only thing I did on the pressure rate is presented
23 in Exhibit 20.

24 Q In connection with your analysis of these logs, you say you
25 utilized the logs and the SP curve to establish net pay?

1 A Yes.

2 Q How do you read net pay from a SP curve?

3 A Well, the basis that I used was basically to utilize that
4 sand development between the inflection point on the SP
5 curve.

6 Q What did you consider net pay?

7 A Well, in some of the areas that obviously had a lot of
8 shaleiness, ten, ten to fifteen millivolt development.

9 Q Ten to fifteen millivolt development?

10 A Yes.

11 Q Did you attach a porosity figure to that net pay?

12 A No, sir, I did not.

13 Q Did you consider permeability in connection with your net
14 pay figure?

15 A No.

16 Q Did you examine any logs in arriving at your conclusion in
17 regard to the accuracy of your examination; did you examine
18 any core data?

19 A Yes, I examined some core data, and that is basically why I
20 didn't--I ~~examined the well core data and tried to make some~~
21 ~~sense~~
21 out of that relative to the logs. In this respect, in that I
22 tried to see if I could maybe calibrate it, get some
23 relationship, but that proved to be not worthwhile.

24 Q You are saying then the logs are worthless for examining
25

1 this reservoir?

2 A No, I am not saying that.

3 Q What are you saying?

4 A I am saying that I will readily admit that the logs are
5 more limited in evaluation here than they would be in a
6 very clean heterogeneous sand.

7 Q But the logs would also reflect the cores, it would reflect
8 the character of sand, would they not?

9 A Yes.

10 Q It would be a valuable tool in determining how much
11 productive pay was in the zone, would it not?

12 A Well, it would be a valuable tool if you had the complete
13 core of the well, yes, and you had the necessary logs to
14 correlate this to.

15 Q Well, you said you had logs. Did you have the logs on any
16 Continental wells?

17 A Yes, I did.

18 Q How many?

19 A I have already told you. I don't recall a specific number.
20 I had several logs on the Continental wells.

21 Q Did you have as many as five?

22 A Oh, I had perhaps twenty, perhaps even more than twenty.
23 I am talking about the Continental. That is what I am
24 talking about.

25 Q You had about twenty?

- 1 A I had several logs.
- 2 Q How many cores did you have on the Continental wells?
- 3 A I did not have any cores on the Continental wells.
- 4 Q None at all?
- 5 A No.
- 6 Q Does your company have those cores available?
- 7 A If they do, I was unable to find them.
- 8 Q Now, in your analysis of net pay what factor do you take
9 into consideration; how do you arrive at that figure?
- 10 A Well, as I explained in direct testimony, I developed the
11 net pay on the basis of SP development, and I have explained
12 to you what my basic criteria was.
- 13 Q That is that you considered, as far as the development, the
14 Isopac maps?
- 15 A That is true, which is Exhibit 21.
- 16 Q You didn't give any consideration to the permeability or
17 porosity of the Formation in arriving at this conclusion?
- 18 A Sir, the permeability and porosity, the basic information,
19 basic information on the formation is very sparse out here.
- 20 Q Well, did you or did you not consider it?
- 21 A Let's have that question again.
- 22 Q Did you consider permeability and porosity in arriving at
23 your net pay Isopac map?
- 24 A In a quantitative method, no.
- 25 Q Now, referring to your Exhibit No. 18, that applies only to

1 Continental wells, doesn't it?

2 A Yes, it does.

3 Q Did you make the same comparison for any other wells in the
4 Pool?

5 A I had no other information indicating to me that other wells
6 in the Pool had been cleaned by our personnel.

7 Q You state that this did not reflect a sustained rate of
8 production?

9 A I did.

10 Q Then why do you offer the exhibit?

11 A Simply to show that a restriction is in the tuck, and at
12 least, as long as my conclusion was this, that liquid in
13 the tuck string will lower the flow rate through that tuck
14 string.

15 Q It will also show if it is not a sustained rate that they
16 would revert back to their prior status; is that what you
17 said?

18 A I don't think I said that at all.

19 Q Would you say that--you cleaned out the wells, they started
20 producing. Let's take the Axi Apache J-1, produced 340 Mcf
21 per day?

22 A Yes.

23 Q That is a top allowable well, is it not, or do you know?

24 A Sir, you are asking me something I am not qualified to
25

1 Q Did you calculate the rate then?

2 A Beg pardon?

3 Q Did you calculate the rate for a 24 hour period?

4 A Yes, it only went back 20 hours, for example, the rate of
5 the total production during that 20 hours was determined,
6 and then this was made relative to a 24 hour rate.

7 Q And the same is true then on your 24 hours after cleaning.

8 Was that produced for 24 hours? Is that an accurate figure?

9 A The beginning of the 24 hour rate after D starts immediately
10 after the well was back on the meter, yes.

11 Q You ran it for 24 hours, so you didn't have to make any
12 calculations on the allowables?

13 A I think in most cases that I did. I don't know that. I
14 don't recall exactly how long those flow rates existed
15 after cleaning.

16 Q Now, referring to Exhibit No. 19, this only reflects the
17 information on these wells on the test that was performed by
18 Continental Oil Company; is that correct?

19 A This Exhibit 19 is a plot of the production rate versus time
20 during the compressor test, the special compressor test.

21 Q Is this source of information from the charts?

22 A Yes.

23 Q Were those furnished back to Continental Oil Company?

24 A Continental, it is my understanding, that Continental got a
25 copy, a Xerox'd copy of these charts.

1 Q Now--

2 A I cannot vouch for that. I did not send them a copy.

3 I am told that they were sent a copy.

4 Q Do you make this type of computation every time a
5 deliverability test is made?

6 A Let's stay away from deliverability.

7 Q I am asking you about a deliverability test. This was a
8 well test. Do you make any computations on any other tests
9 as to performance?

10 A My concern was instantaneous production rate at any
11 particular time, producing rate, not to be confused with
12 whatever deliverability might mean.

13 MR. PORTER: I have often wondered what it meant,
14 myself.

15 Q (By Mr. Kellahin) You say that this shows that the production
16 was declining, and yet on the Axi Apache M-1 it reached a
17 bottom point and then started climbing again, did it not?

18 A Yes, sir, that is true. There are two points that have
19 post slope.

20 Q And the same is true on the Axi Apache L-3?

21 A That is true. There at the end, nearing the end of the
22 test the slope does increase.

23 Q That doesn't indicate the production was declining, does it?

24 A Well, if you take this from the 92d hour to the 94th hour,
25 during that particular time period, certainly there are

1 going to be variations, but I am looking at the total test
2 time from time zero to near the end of the test period.

3 Q The only well that showed a decline, actually, was the 0-1?

4 A No, sir, that is not true.

5 Q The only one on the exhibit, then?

6 A No, sir, if you will examine Exhibit 19, the first graph,
7 you will see that the initial production rate was about
8 56 Mcf's per day.

9 If you will examine the input of that graph, that is
10 44 a day, that is a decline.

11 Now, if you will go to the second graph on Exhibit 19,
12 you will see that the initial production rate that I have
13 plotted here was 345; the final production rate was about
14 135, I believe.

15 That is a decline to me.

16 Q Now, Mr. Boyd, when you put a well on test after it has
17 been shut-in, isn't it normal that the production rate will
18 be high initially and it will decline until the well
19 stabilizes?

20 A When you shut a well in, and then put it on the test, yes,
21 you would expect some of what has been described here
22 before as flushed production, whatever that is.

23 Q Well, in your opinion, have these wells stabilized at a
24 rate shown on these exhibits?

25 A No, sir, I don't think that they have come to the point to

1 where--now, when we talk about stabilizing, let me apply my
2 own definition to that. When a well is stabilized it should
3 be able to produce at about the same rate over at least a
4 24-hour period, and none of these graphs indicate that this
5 well is producing at a stabilized rate over a 24-hour period.

6 Q Actually, it is showing an increase on two of them, isn't
7 it?

8 A Well, if you look at it from about the 72nd hour of the
9 test to about the 96th hour of the test, and then about the
10 120th, and about the 144th hour of the test, yes, there was
11 a small increase there, but I fail to see how we can pick
12 the graph apart and look at only those two segments, partic-
13 ularly in view of the fact that the chart indicated an
14 interruption along the flow period.

15 Q How many well delivery tests have you ever witnessed? Have
16 you witnessed any?

17 A No, sir, I did not.

18 Q How many have you examined the data from them?

19 A Are you talking--if you are referring to the State Oil
20 Conservation Commission Deliverability Test, I think I
21 should decline to comment on that because I have specificall-
22 ly talked about production rates as opposed to whatever the
23 statutory deliverability is.

24 Q Isn't a production rate a factor in the state deliverability
25 test?

1 A Sir?

2 Q Do you know?

3 A You are getting on ground that I know a little about the
4 statutory requirements, but I am not nearly as familiar
5 with them as some people are, and I purposely stayed away
6 from this.

7 Q Well, Mr. Boyd, you may have purposely stayed away, but did
8 you not hear Mr. Mattes testify yesterday these tests, you
9 attempt to analyze here were conducted on the same basis as
10 the deliverability test required by the Commission?

11 A Yes, I heard him testify to that. I am not disputing that.
12 All I am simply saying is that I have plotted the
13 instantaneous production rate versus time during that test,
14 and in my opinion, sir, we do not have a stabilized flow
15 rate. That is all I am saying.

16 Q Well, how did you happen to pick those three particular
17 tests?

18 A I think that you are getting to why I did not include all
19 six of them.

20 Q Yes, sir.

21 A Let me state, sir, that I looked at not only six, but I
22 believe eight compressor tests, or eight wells that the
23 compressor was on.

24 There were several reasons why I didn't do it. I
25 think the best reason is explained on Exhibit 20.

1 A Yes, that is true.

2 Q Is that also true, for example, on the Apache J-7 lease,
3 not so striking a difference, but production still is
4 climbing and it is producing more than it produced at any
5 other time?

6 A Yes, it is still--the December rate was higher than at any
7 other time in 1969, '70 or '71.

8 Q Now, here is another one that declined, the Apache J-12
9 lease. That produced during November substantially more
10 than it produced any other time during the period shown on
11 your graph, and it was producing at the end of December
12 more than it produced any time during 1970 or 1971; isn't
13 that correct?

14 A Yes, it did produce more in December than it did through
15 '70-'71.

16 Q So the result is reducing your line pressures has increased
17 the production for at least some of Continental's wells,
18 has it?

19 A I don't think that has been denied, sir.

20 Q Now, on Exhibit 21--we have discussed that somewhat already
21 --but I will have a couple more questions.

22 Did you consider the method of allocation as reflecting
23 your net pay as being indicative of what an operator is
24 entitled to?

25 A Sir, you are getting back into an area that I have already

1 A I have the ability to make it. Results anyone can argue
2 with results. All the quality of data input is a very
3 simple process to calculate gas.

4 Q What you are saying is engineers don't agree any better
5 than lawyers?

6 A That is basically it, yes, yes, sir.

7 Q Could you also calculate on the basis of the information
8 available to you drainage from one tract to another?

9 A No, sir.

10 Q You cannot do that?

11 A No, sir.

12 Q You do not have the ability or you do not have the informat-
13 ion?

14 A I have the ability. Here again, we go back to the engineer-
15 lawyer. I don't think that we would be in agreement.

16 Q That is what you are saying?

17 A Right. We say that we may not necessarily be in agreement.

18 Q On your cross section you refer to an Amoco well which you
19 said had better sand development, therefore it will produce
20 more gas?

21 A I think, sir, that I was referring to the Amoco Jicarilla
22 155-6. Is that the one you are referring to?

23 Q Yes, I believe that is correct. I didn't get the number.

24 Now, you say that well will produce more gas, I believe
25 was your testimony; isn't that correct?

1 A If all other parameters are the same.

2 Q If only the sand thickness--

3 A The sand thickness is different?

4 Q Yes.

5 A Everything else the same except the sand thickness?

6 Q Yes.

7 A The well in the thicker sand will produce more gas, more
8 fluid.

9 Q Do you know what pipelines that well is connected to?

10 A No, sir, I don't. As a matter of fact, I don't believe
11 that this well is a Pictured Cliffs producer.

12 Q So you are comparing the sand thickness in some other
13 formation to the Pictured Cliffs?

14 A No.

15 Q What are you comparing it to then?

16 A This is the Pictured Cliffs Formation. The casing--if I am
17 not mistaken--the casing simply wasn't perforated in the
18 Pictured Cliffs.

19 Q So, Amoco is not producing that as a Pictured Cliffs well?

20 A I don't think so. I don't know, really don't know.

21 Q You have some other wells on there, Amerada's, are they
22 connected to the Southern Union in the Pictured Cliffs
23 Formation?

24 A The Amerada wells are not, they are not.

25 Q Are they producing from the Pictured Cliffs?

1 A Yes, sir, I believe they are.

2 Q Do you know what line pressure they are producing against?

3 A I don't know what those line pressures are right now, no,
4 sir.

5 Q Now, have you made any comparison of the deliverability of
6 the various wells you have analyzed here to determine the
7 quality?

8 A Sir, you get back to deliverability.

9 Q You haven't done it?

10 A I explained to you that what I am interested in as a
11 reservoir engineer is production rate, not deliverability.

12 Q Well, Mr. Boyd, you keep evading the question. Doesn't the
13 deliverability test show **then** the delivery rate; is that
14 not one of the figures shown on the test?

15 A Do you want me to plead complete ignorance to that?

16 Q If you wish.

17 A All right. I will have to tell you that I don't know.

18 Q You don't know what the deliverability test does?

19 A I don't know what all is involved in the deliverability
20 test.

21 Q Then you don't know anything about the application of the
22 Commission proration formula; is this your testimony?

23 A That is true. Well, I know very little about it.

24 Q You don't know enough about it to testify whether it is
25 effective or not to give ratable take to wells in the pool?

1 A No.

2 MR. JAMESON: Mr. Porter, I think we have gone far
3 enough on this line of questioning. The witness has qualified
4 himself as a reservoir engineer, not as a proration expert. I
5 believe it is time for this line of questioning to come to an
6 end.

7 MR. PORTER: I think it has.

8 MR. KELLAHIN: That completes our cross-examination.

9 MR. PORTER: Anyone else have a question of Mr. Boyd?
10 The witness may be excused.

11 MR. JAMESON: That completes our rebuttal case.

12 MR. PORTER: Do you have another witness?

13 MR. KELLAHIN: I would like to recall Mr. Mattes for
14 some very brief questioning.

15 MR. PORTER: I see. Let the record show that Mr.
16 Mattes is still under oath.

17 This is the same Mr. Mattes who testified before.

18 MR. KELLAHIN: I believe that will be our Exhibit 23.

19 RE-RE-DIRECT EXAMINATION

20 BY MR. KELLAHIN

21 Q At the hearing yesterday a series of exhibits were presen-
22 ted by Southern Union Gas Company, apparently purporting to
23 show that the production from Continental wells could not
24 be continued at a sustained rate and that they were in fact
25 declining, and I refer particularly to their Exhibits 4, 6,

1 and 3.

2 Did you review those exhibits?

3 A Yes, I did.

4 Q And on the basis of your review, what analyses have you
5 made?

6 A Well, I have made an analysis of the data that is contained
7 in Southern Union Gas Company's Exhibits 4, 6, and 3.

8 Q Before you start, would you please identify those three
9 exhibits?

10 A Exhibit 4 is the average producing pressure; Exhibit 6 is
11 the production; Exhibit 3 is the producing days.

12 Q Did you make a composite exhibit showing the results of
13 comparing those three exhibits?

14 A Yes, sir, I did. I added up all of the numbers on all
15 three of these exhibits by operator, and then divided that
16 total by the number of days at a point which had been
17 included for that operator to arrive at an average for
18 that operator for the producing pressure for the production
19 and for the producing days, for the period, the seven-day
20 period ending January 1 and the eight day period ending
21 January 9.

22 Q Referring to Continental's Exhibit No. 23, would you
23 discuss the information that is shown on that exhibit?

24 A Yes, if you will look at Exhibit 23, it shows a heading
25 analysis of Southern Union exhibits.

1 The first one, the operators are tabulated under.

2 In the second column, the production from Exhibit 6
3 has been totaled for the seven-day period ending January 1.

4 The next column shows the producing days or well days,
5 if you will, I believe the term was used, for the same
6 period ending January 1.

7 The next column, which is the third column, headed
8 January 1 Mcf per well day, merely, that is simple
9 arithmetic that results in, that is the answer that results
10 dividing the total production by the average number of well
11 days, and if you will look at the column for Aztec, that
12 number is 68. That says that from the information that
13 Southern Union has provided us in the three exhibits, as
14 far as Aztec Oil & Gas Company goes, the average well that
15 was on production during the seven day period ending Janu-
16 ary 1, 1972, produced 68 Mcf's of gas, and then what I did
17 is I took the same period data on Exhibit 4 for the fourth
18 column and totaled up all of the pressures that are tabula-
19 ted for all of the wells, and divided by the number of
20 data points, which gave me an average producing pressure
21 for all of the wells.

22 The next column is the same data as in the first data
23 column, except that it reflects the production for the eight
24 day period ending January 9, and I guess that is the sixth
25 column, and it has got the same number in it as the second

1 column, and the seventh column has got the same number in
2 it as the third column, and the eighth column has got the
3 same number in it, or the same equivalent number in it as
4 the fourth column.

5 I made these calculations in the room partly and--

6 Q Let's go right across these columns to clarify this a
7 little bit.

8 Let's take the first one.

9 What is shown in column 1, key to Exhibit 6, what is
10 that for?

11 A What is what, sir?

12 Q What is the four shown in the first column? It says
13 Exhibit 6.

14 A That is the production for each operator for the period
15 ending January 1st.

16 Q O.K. Now, take the second column.

17 A That is the number of well days the operator produced.

18 Q Then the third column?

19 A Is the result of dividing the total production by the
20 number of well days to find the average Mcf's per well day.

21 Q The average Mcf's per well day?

22 A That is right.

23 Q Going across to the next column?

24 A That is the average of all of the pressures that are
25 reported on Exhibit 4 divided by the number of pressures

1 reported for each operator.

2 Q Would that then give you an average pressure per well?

3 A Directional, that is right, yes, sir.

4 Q This next column, what is that based on?

5 A That is based on the same information as is on Column 1.

6 Q But you extended it for the period?

7 A Ending January 9?

8 Q Ending January 9.

9 A Right.

10 Q Then the next column?

11 A It is the number of well days for each operator for the

12 period ending January 9.

13 Q Now, we go to the next column.

14 A That is the division of the well days of the eight day

15 period ending January 9 into the total production of the

16 eight day period ending January 9 to get an Mcf per well

17 day for that operator for the eight day period ending

18 January 9.

19 Q The next column, that is the average of the pressures?

20 A That is right, sir.

21 Q Now, we have got those all identified all of the way across.

22 Would you show what the differences are between the

23 different operators?

24 A Yes, I would. What I did was I just made the simple

25

209 SIMMS BLDG., P.O. BOX 1092, PHONE 249-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 arithmetic subtraction of the numbers that were included in
2 the January 9 data; from those numbers I subtracted the
3 comparable values for the January 1st period, and I made
4 this subtraction for the pressure and for the average Mof
5 per well day, and I have tabulated the results of the
6 simple arithmetic calculation in the last two columns over
7 the past--you will notice the asterisks by the heading, if
8 you will look at the bottom of the page, the first column
9 shows the production change on a per well basis, 1972.

10 Q You said per well?

11 A Per well day, that is right. The last column, which is a
12 double asterisk, the average producing pressure changed
13 from 11 to 19, 1972, and this comparison brought me to a
14 very interesting quantitative conclusion, and it is a matter
15 of just simply comparing the change in pressure with the
16 change in production.

17 The interesting thing is that all of the pressures on
18 the average for all of the wells in the South Blanco--
19 Pictured Cliffs Pool connected to Southern Union went down.

20 The amount changed by varying amounts, but you will
21 notice in the last column that all of the producing press-
22 ures for the eight day period ending January 9th were less
23 than the producing pressures for the same seven day period
24 ended January 1.

25 Now, if you will look in the next to the last column,

1 which shows change in production, the only guy there whose
2 production is increased is Continental, and the increase
3 that I have shown on this exhibit is 3 Mcf per day, and I
4 believe that it is already been the number of comparable
5 numbers, that I remember, is two, but I think my number is
6 three.

7 Q Now, that doesn't sound like very much gas.

8 What is the significance of 3 Mcf's per day change
9 during this nine day period?

10 A Well, if you take the 3 Mcf's per well day and then you
11 multiply that 3 times 31, that producing 93, 93 Mcf's, if
12 you will compare the 93 Mcf's with the 67 Mcf per well day
13 that is the average for the Continental wells, that 3 Mcf
14 per day difference represents nearly the addition of
15 another well and a half to our system, a 3 well and a half,
16 if you will.

17 Q Now, even at the prices Continental is getting, that is a
18 significant amount of gas, is it?

19 A That is a significant amount of gas.

20 Q Now, are all of the figures shown on our Exhibit 23
21 derived from the exhibit offered by Southern Union Gas
22 Company with the exception of the last two columns, and
23 they are computations based on those figures?

24 A The data, the first column and the fifth column data were
25 taken directly from Southern Union Exhibit 6. The second

1 column and the fifth column, sixth column, second column--
2 excuse me--and the sixth column were taken directly from
3 Southern Union's Exhibit No. 8, and the multiplication--
4 excuse me--I mean the division represented by the number in
5 the third column and the eighth column is mine.

6 And the pressures shown in the fourth column and the
7 eighth column were the pencil averages that I made myself,
8 and they were averages of the data that was provided by
9 Southern Union.

10 Q Now, I would like to offer Exhibit 23.

11 MR. PORTER: Any objection?

12 MR. MORRIS: No objection.

13 MR. PORTER: Exhibit 23 will be admitted.

14 Q (By Mr. Kellahin) I have one further question. You heard Mr.
15 Haseltine testify yesterday to the effect that we had made
16 well tests for the purpose of changing our deliverability.
17 Did you hear that testimony?

18 A Yes, I did.

19 Q Did we in fact change the deliverability on any of the
20 wells by these tests?

21 A Yes, we did change them.

22 Q Would you outline briefly what those changes were?

23 A Yes, my exhibit of yesterday that summarized our special
24 deliverability test--and I believe it was my Exhibit No. 7
25 --shows that the special deliverability test, deliverability

1 for J-1 was 184 Mcf per day, while the deliverability test
 2 that was run on that well in June, 1970, was 112, and so
 3 that deliverability did change, and it went up for the J-2,
 4 the 1970 deliverability was 109.

5 In the special deliverability test, that delivery was
 6 110.

7 That one changed, too, but it was very small, and it
 8 went up only slightly on the L-1, with 1970 deliverability
 9 test showing 70 Mcf per day, and our special deliverability
 10 test showed 87 Mcf per day. That is a small increase. The
 11 L-3, the 1970 deliverability test was 55 Mcf's a day and
 12 the special deliverability test that we ran showed 119 Mcf
 13 per day, a substantial increase. N-1 had a 76 Mcf per day
 14 deliverability test in 1970, and a 32--on our special
 15 deliverability test. That is a substantial reduction.

16 For the O-1 the 1970 deliverability was 51, and our
 17 special deliverability test was 56, and that difference of
 18 5 Mcf's is pretty much the same, I guess.

19 Q Has Continental in any way attempted to use this test as a
 20 means of obtaining assignment of allowables to these wells?

21 A No, sir, we have not.

22 Q Was that your purpose in running the test?

23 A The tests were purely to gather data on our wells.

24 Q What was the significant data you were seeking?

25 A The significant data we were seeking was the quantity of

1 gas, which the wells would produce, and I might add that in
2 every case the quantity on these tests that I have tabula-
3 ted on these exhibits, that quantity was substantially
4 higher than that shown in the 1970 deliverability test, and
5 I believe I have already testified to that.

6 MR. KELLAHIN: That is all I have.

7 MR. PORTER: Any questions?

8 MR. MORRIS: Yes, sir.

9 RE-CROSS-EXAMINATION

10 BY MR. MORRIS:

11 Q Mr. Mattes, as I understand your Exhibit 23, you have
12 looked only at Southern Union's Exhibits 46 and 8, which
13 pertain solely to the information on the two recent chart
14 periods from January 1 to January 9.

15 A That is right.

16 All of the data that is tabulated on the chart and all
17 of the arithmetic whose results are shown on this chart
18 quantitatively was obtained from the data in Southern Union
19 Gas Company Exhibit 4, 6, and 8.

20 Q Now yesterday you on your direct case presented an exhibit,
21 which I believe was Exhibit 20, which showed a comparison
22 of monthly production versus time, that went up through
23 November of 1971; is that correct?

24 A That is correct.

25 Q It did not have the December figures on it?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A No, sir, I testified that it did not.

Q All right.

Now, let me ask you, in making this analyses, instead of just taking the period from January 1 to January 9, why didn't you go back and take the December figures that were supplied to you yesterday so that you would have a more meaningful period of comparison?

A Mr. Morris, the answer to your question is that data that is contained in Exhibits 4, 6, and 8 and the values that are tabulated thereon have never been before available to me.

Q All right. I believe you testified when I cross-examined yesterday with respect to your Exhibit 20 that you didn't know what the December production figures were, either, that those had not been available to you.

A What I said was that I had the December production figures for six wells of special deliverability tests.

Q All right. Now, in our exhibits that we have introduced yesterday, and I refer specifically here to Exhibit 3, Exhibit 5, and Exhibit 7, we provided to you the December figures on average producing pressure and producing days.

Now, you have chosen to ignore that December information and instead **have gone strictly to Exhibits 4, 6 and 8** to make a very short-term comparison of information with respect to Southern Union's exhibit.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG., P.O. BOX 1092, PHONE 243-6691, ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG., EAST ALBUQUERQUE, NEW MEXICO 87108

1 My question simply is why didn't you take into account
2 the December production figures so as to give a wider range
3 of comparison?

4 A Mr. Morris, I guess the answer to your question is that the
5 amount of time I had available was insufficient to totally
6 analyze the chart, the exhibit that related to the twelve
7 month production.

8 Q I am not talking about twelve months. I am just talking
9 about adding in the one month of December to the first
10 eight days of '72 to give a little a little bit broader
11 base to your analysis.

12 Let me ask you, did you make an analysis of the
13 December production on a per well day basis?

14 A No, sir, I did not.

15 Q You don't know what that would show?

16 A No, I do not know what that would show.

17 Q Do you know in a qualitative way that that would show a
18 decline on Conoco's production on a per well day basis?

19 A Would you repeat the question, please?

20 Q If you had taken December?

21 A Yes, sir.

22 Q As well as the first eight days of '72 and made the same
23 computation, is it not your suspicion instead of this
24 showing an increase on Continental production it would show
25 a decrease; in other words, if you broadened your study?

1 A If I broadened my study to include December, 1971?

2 Q Yes.

3 A I think I can answer your question for you if I might just
4 be permitted to look at these exhibits.

5 I sure can, if I can take a minute.

6 I will need to do some arithmetic. If you guys have
7 got the time, I have got the money. You want me to do,
8 again now, Mr. Morris, to be sure I understand you, I want
9 to answer your question. You want me to broaden the scope
10 of this exhibit I have prepared to include December
11 production?

12 Q Well, if this can be done within a reasonable time.

13 A It wouldn't take five minutes after I understand what you
14 want.

15 Q Can this be done for all of the operators here?

16 A I can't do it. I don't have any--yes--no, I really can't
17 do that, not in some reasonable time.

18 Q Will the figures as shown by our exhibits 3, 5, and 7
19 enable the Commission or the Commission staff, if they
20 desire, to make a computation?

21 A I am sure they could make it, just like I have.

22 Q The fact remains, Mr. Mattes, you have not presented--let
23 me just make clear what I guess is already obvious. Your
24 study is only for this information on an eight day period.

25 A My study covers the change in production for all of the

1 wells of the South Blanco-Pictured Cliffs Pool based on
2 data presented by Southern Union Gas Company for the seven
3 day period ending January 1, and comparing that production
4 to the eight day period ending January 9.

5 MR. MORRIS: That is all.

6 MR. PORTER: Anyone else have a question?

7 The witness may be excused.

8 Does anyone have a statement to make in the case, statement
9 of position, other than Mr. Morris and Mr. Kellahin? I am sure
10 they will have a few words.

11 MR. MORRIS: How would you like to proceed, Mr. Porter?

12 MR. KELLAHIN: I would say we have the burden here.
13 We should have the right to close. We should probably have the
14 right to open, but I would as soon let Mr. Morris go ahead.

15 MR. PORTER: Do you agree with that, Mr. Morris?

16 MR. MORRIS: I agree Mr. Kellahin certainly has a
17 burden, which I see as insurmountable.

18 I will try to be somewhat brief, Mr. Porter.

19 This, I am sure the evidence here is, of course, very
20 clearly in the minds of the Commission at this point, and I see
21 little need to review the evidence or to try to point out its
22 features.

23 I would simply ask the Commission in considering the
24 evidence that has been presented to consider the nature of the
25 case that has been presented here by Continental, the quality of

1 the case, the quality of the evidence presented.

2 The case that has been presented by Southern Union, frankly,
3 Southern Union, I am sure any purchaser considers it quite an
4 important case, quite a serious matter to be charged as we have
5 been charged by this Application on a violation of a Common
6 Purchaser Act, and unreasonable discrimination.

7 The only thing unreasonable, we believe, in this matter is
8 the fact that we are being charged with the violation of this
9 Act.

10 Now, Mr. Kellahin, Continental, I don't mean Mr. Kellahin,
11 but Continental has attempted by this proceeding to put blinders
12 on the Commission, to say to the Commission, "You can only look
13 at one aspect of what is going on in the South Blanco-Pictured
14 Cliffs Pool. That is simply a difference in facilities afforded."

15
16 We admitted in our opening statement to the Commission that
17 there were differences in the facilities afforded.

18 Mr. Haseltine on the stand freely admitted that there are
19 differences in the facilities afforded in this Pool.

20 The question before the Commission is whether the differen-
21 ces in facilities afforded are unreasonable in view of the other
22 factors that by Statute the Commission is charged to consider in
23 considering whether there has been ratable taking in the field.

24 You consider the question of whether there is unreasonable
25 discrimination, as has been, I think, hammered at time and again

000111067-110101

1 throughout this proceeding, not only is the question of
2 equivalent facilities a factor to be considered by the
3 Commission, but of course, the questions for consideration are
4 pressure price, length of time the gas is available to the gas
5 purchaser, quantity and quality of the gas available.

6 Now, we believe that the evidence here has shown that the
7 differences in price, the differences in the quality of the
8 wells, of course, affects the quantity and, if you will, the
9 quality of the gas as well as the difference in the length of
10 time that the gas is available to Southern Union.

11 All of these things are factors which heavily offset the
12 differences in facilities afforded to Continental in this case.
13 It was not Continental that came forward in its own case, as we
14 believe it should have, as we believe it had the burden to do,
15 that came forward and made the comparisons that the Commission is
16 charged by statute to make in a case of this sort.

17 It was Southern Union that came forward with the evidence
18 on which the comparisons could be made.

19 We produced evidence relating to all of these factors, not
20 only on the Continental wells, but on the wells of other
21 producers connected to Southern Union's Gathering System, so
22 that the comparisons could be made by the Commission.

23 We believe it has been pointed out to the Commission here
24 that price considerations are an integral consideration in not
25 only this pool but in the gas business general in the San Juan

1 Basin, to be considered along with the facilities afforded.

2 As Mr. Haseltine testified this morning, that after these
3 gas purchase agreements are entered into and negotiated, signed,
4 then the purchasing company proceeds on the basis of these
5 purchase contracts that have been freely entered into, arms
6 length contracts, to design their gas gathering systems, to
7 design the pressures at which they will operate, and not only
8 does the purchaser know but the producer knows that in his
9 negotiation of these gas purchase agreements the price that he
10 is willing to accept will have a bearing upon the pressures
11 that he has a right to expect in the gathering system to which
12 he will be connected.

13 Now, part of the Common Purchaser Statute relates to what
14 constitutes unreasonable discrimination, and as we have pointed
15 out, the reasonable differences in prices paid, facilities
16 afforded, will not be considered if they bear a fair relationship
17 to the other various factors to which we have referred.

18 We believe the testimony here shows that they do bear, that
19 the differences that are shown here between all of these factors
20 do bear a reasonable relationship to each other, so that there
21 is no discrimination against Continental, just as there was no
22 discrimination against its predecessor, the Humble Oil & Refining
23 Company at the time they entered into this contract.

24 We would like to call the Commission's attention to Sub-
25 section F of the Common Purchaser Statute, which we mentioned at

1 the beginning of this proceeding, which in effect says to the
 2 Commission that the Common Purchaser Act shall not be applied to
 3 require the purchaser to take gas under a pressure that would be
 4 uneconomic or unsatisfactory to the gas purchaser as to its gas
 5 transportation facilities then in service.

6 In other words, the Act cannot be applied so as to require
 7 Southern Union, in this case, to make an expenditure of funds
 8 to place new gas transportation facilities in service.

9 This, I believe, is in keeping with the general rule of law
 10 that the Conservation Commission, and perhaps other types of
 11 administrative agencies, should not construe their statutes to
 12 require as an affirmative act the expenditures of funds, in this
 13 case on the part of the gas producer--excuse me--the gas purchas-
 14 er.

15 Now, throughout this hearing, Continental has referred to
 16 its correlative rights being violated.

17 We believe the Common Purchaser--well, let me back up--we
 18 believe that the definition of correlative rights as set forth
 19 in our statutes should be examined.

20 This starts off saying it is the opportunity afforded to the
 21 producer to produce his just and equitable share of gas, which
 22 is then defined, further defined.

23 We believe in a prorated gas pool that opportunity is
 24 afforded the producer through the Commission proration formulas
 25 and procedures.

1 Now, in order to avail itself of that opportunity, Continen-
2 tal here has several alternatives, several avenues open to them.

3 In the first place, a producer can alter his own correlative
4 rights by waiving, by abandoning the correlative rights that he
5 would otherwise be entitled to.

6 For instance, let's say for some reason Continental wishes
7 to make an agreement under which it would not produce a well for
8 a given period of time, for some consideration, certainly it
9 would have the authority to do that.

10 Could it then come to the Commission and say that its
11 correlative rights were being violated because under that agree-
12 ment it wasn't producing any gas? That is an extreme situation,
13 but it is not too extreme, because in essence that is really
14 what we have here.

15 Continental is the successor to Humble in this contract.
16 If they made, if Humble made a bad agreement or if Continental
17 made a bad agreement when it took over and purchased this sys-
18 tem from Humble, or from Humble's successor, Southern Union
19 should not be made its whipping boy, and certainly the
20 Commission should not be placed in a position of doing the
21 whipping for Continental.

22 If they made a bad deal, we submit that they have to live
23 with it.

24 By contract, we submit, that Continental or any other
25 producer can alter its correlative rights.

1 It can waive its correlative rights, because the proration
2 formula that this Commission administers affords the opportunity
3 required by the statute to the producer to produce his share of
4 gas in the pool.

5 From that point on, if the producer wishes to abandon or
6 alter that right by contract, it certainly can do so, and we
7 submit Continental and its predecessors have done so in this
8 case.

9 We are not saying they have abandoned their correlative
10 rights.

11 We say that they have modified them somewhat by contract.

12 Now, there was some suggestion made. It was very--I think
13 it came up only once in the hearing--that there was some aspect
14 of waste involved here.

15 I believe Continental suggested that premature abandonment
16 might result if it did not obtain relief.

17 First, let me say what is, I am sure, obvious, that at some
18 point in the life of a pool, some point in the life of a well it
19 will be abandoned.

20 If the economics were not a factor, that well, whatever well
21 it is we are talking about, could continue to be produced until
22 the very last Mcf was dragged out of the well, but obviously
23 there is some economic cut-off point at which the well will be
24 abandoned.

25 Now, I think it has been shown in this case that the

1 economics of gas production and gas gathering are related to
2 this pressure relationship.

3 It is very significant that Continental has the opportunity
4 reserved to it in the contract of installing its own compression
5 facilities to raise the pressure of gas in order to produce that
6 gas into Southern Union's line.

7 If it wishes to avail itself of that right, then certainly
8 it has the opportunity afforded to it to not only protect its
9 correlative rights but to prevent premature abandonment.

10 We believe the Common Purchaser Act itself is a very speci-
11 fic provision of the application of protection of correlative
12 rights.

13 We do think that the Commission has to go back to the
14 general definition of correlative rights to answer the question
15 that is provided in this case.

16 We think the single issue in this case is whether there has
17 been unreasonable discrimination, and we believe we have answered
18 that question in the negative, that there has not been unreasona-
19 ble discrimination, that the differences in facilities afforded
20 do bear a reasonable relationship to the other factors that the
21 Commission is charged to consider, and we respectfully ask that
22 the Commission deny the application of Continental Oil Company in
23 this case.

24 MR. KELLAMIN: I believe Mr. Morris actually put his
25 finger on the controversy. It is just a difference in

1 interpretation that we are talking about.

2 Their witnesses and ours have both shown there are
3 differences in the facilities afforded Continental Oil Company,
4 and I might add, other operators on the eastern leg of this
5 section which has been referred to as the Jicarilla Section, as
6 compared to the facilities afforded on the western leg of it and
7 the northern segment.

8 The contention seems to be that because of the differences
9 paid Continental for its gas, the difference in gas facilities
10 is justified and reasonable.

11 Now, in the first place, I feel Mr. Morris, or as I should
12 say, Southern Union Gas Company, is misinterpreting the Statute.

13 The Common Purchaser Act does not in any way connect price
14 and facility afforded.

15 It doesn't say "The transportation facilities afforded shall
16 be modified by the price of gas."

17 At no point in this entire section.

18 All it says is that purchases shall be made without
19 unreasonable discrimination in favor of one producer against
20 another in, one, the price paid; two, the quantities purchased;
21 three, the basis of measurement; four, the gas transportation
22 facility.

23 In other words, there are those four different items on
24 which there can be no discrimination, and you don't couple them
25 and say one modifies the other.

1 Now, you go on down in the section, and that is what they
2 appear to be relying on, the statute says for the purpose of
3 this Act reasonable differences in prices paid or facilities
4 afforded, or both, shall not constitute unreasonable discrimina-
5 tion if such differences bear a fair relationship, and this is
6 the only thing you can consider on the prices paid or the
7 facilities afforded, if they bear a fair relationship to
8 differences in quality, quantity, or pressure of the gas
9 available or the relative length of time during which the gas
10 will be available to the purchaser, and the only point they
11 could make in that entire section is the relative time the gas
12 will be available to purchase.

13 That is four more years as far as Continental is concerned,
14 and if they afford us proper facilities, they could probably
15 have it longer.

16 The difference in the prices paid and the facilities
17 afforded have no relationship to each other.

18 The statute says you have got to furnish substantially
19 equal facilities, and you have got to pay substantially equal
20 prices, and that reasonable differences in prices paid or
21 reasonable differences in facilities afforded would be permitted,
22 and that is only natural.

23 Now, when we consider the enforcement of the Common
24 Purchaser Act, we do have to consider correlative rights,
25 because the purpose of the Common Purchaser Act, and the

1 Commission--and I won't burden you with reading all of the
2 provisions of the gas proration statutes with which you are
3 thoroughly familiar. I will only say that the Commission well
4 knows correlative rights mean the opportunity afforded to the
5 owner of each property in a pool to produce without waste his
6 just and equitable share of the oil and gas in that pool.

7 That is what we are asking for.

8 I think it is highly significant that that statute was
9 adopted in 1935, and the Legislature in its wisdom seemed to
10 feel that it was deficient, so in 1949 it adopted that portion
11 of the Common Purchaser Act applying to gas transportation
12 facilities.

13 Now, when we get into this question as to whether the
14 Commission's proration formula protects our correlative rights,
15 as Southern Union contends, and gives us our opportunity to
16 produce our just and equitable share, we will be forced to agree
17 with him, if all of the wells were proratable wells, but as we
18 pointed out in our opening statement, and as we pointed out
19 throughout our testimony, the very fact that the pipeline company,
20 by manipulation of its pressures for whatever purpose it may be
21 done, can change a well from marginal status to non-marginal and
22 change a non-marginal well back to a marginal status certainly
23 indicates that the Commission must consider the facilities
24 afforded if its proration orders are to serve the purpose and
25 function for which they were designed.

1 Now, we contend that the proration formula in the past has
2 not afforded Continental Oil Company the opportunity to produce
3 its just and equitable share of gas underlying its lands in this
4 pool.

5 I think this is amply demonstrated by the fact that
6 Southern Union when it reduced its line pressures changed the
7 status of twelve of our wells from marginal to non-marginal,
8 which fact has not yet been recognized in the Commission schedule,
9 I admit, but on the basis of production properly should, they
10 should be classified now as non-marginal because they have shown
11 an ability to produce the proratable allowable, or we contend,
12 and I think our evidence shows, that if we are afforded
13 substantially the same pressures that are afforded other
14 operators in the pool, including Caulkins Oil Company and
15 Southern Union Production Company, we will be able to produce
16 substantially more gas, which is our just and equitable share
17 under the Commission formula, because when those wells become
18 proratable wells the operation of the formula does give us our
19 share of the gas.

20 This is, unfortunately, one of the deficiencies in our
21 proration system which we just must recognize. A marginal well
22 in the past has been operated at the will of the pipeline company
23 and the operator has had no remedy other than to come to the
24 Commission, as we have done here.

25 Now, I think a little quotation from our friend Ben Hall in

1 this regard might be appropo, in an address he made at the
2 Southwestern Legal Foundation in their Fourth Annual Institute.

3 Mr. Hall pointed out that either purchasers under natural
4 gas contracts have succeeded by and large in satisfying the
5 producers or the producers have not objected to the drainage of
6 gas reservoirs, for there are few cases on the subject of the
7 ratable take of gas.

8 We are not satisfied. We feel we have been harmed, and we
9 are here asking for relief at the proper forum, the one which
10 can give us relief.

11 One other point here. That Southern Union's position has
12 been that there is a fair relationship between the pressures
13 afforded us and the price paid for gas.

14 Very well. When we started looking at this situation in
15 1968, the pressures in this north segment already were 322 pounds,
16 and in the Continental lease down here they were 490 pounds on
17 the L, M, N, O leases over here they ran from 474 to 511 pounds.

18 In 1969 we had pressures to 287 pounds at this point.

19 Down here we had 470 pounds, and over here, 485 to 498 on
20 the L, M, N, O leases.

21 Now, in 1970, just prior to the reduction in the line
22 pressures which was made by Southern Union Gas Company, and while
23 perhaps our complaints didn't cause them to put in these
24 facilities, certainly we had been complaining, and we get
25 reduced line pressures.

1 The pressures on the Caulkins area, the Lowerie line, I am
2 talking about the wellhead pressures, were up to 459 pounds.

3 Down here we were--I mean--no, I am sorry, 267 pounds on
4 the leases here.

5 They were on the order of 459 pounds, and over here they
6 ran from 457 to 494.

7 Our present most recent data, which I think is substantia-
8 ted by all of the evidence here, the present pressures up here
9 are on the order of 189 pounds.

10 Over here we have 250 pounds, and down here 285 pounds, so
11 in spite of the fact that there have been reductions in line
12 pressures, there still is a substantial pressure differential,
13 depending on which well you may look at, from 60 to 50 pounds
14 between the facilities afforded here on the northern segment and
15 the facilities afforded here on the mid-portion of the eastern
16 segment.

17 By no stretch of the imagination can those be said to be
18 related to point to 5¢ per Mcf, which is what we are getting in
19 addition over and above the 13¢ that Caulkins Oil Company is
20 getting.

21 We would gladly trade our .25 cents for the same line
22 pressures, because we would make that, make that up in additional
23 production, as Mr. Mattes' testimony has shown.

24 Now, basically what we are talking about here is summed up
25 by Summers on his oil and gas treatise, section 77-54, commenting

U60111101-1110101

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 on the Common Purchaser Act, Summers has this to say:

2 If all of our producers in a common source of supply have
3 equal opportunity to sell or to transport oil and gas from
4 their wells and they are not afforded the opportunity to produce
5 their just and equitable share of the oil or gas or to utilize
6 their just and equitable of the reservoir energy, viewed in this
7 light, there is no doubt of the constitutionality of the Common
8 Purchaser Act.

9 All we are asking for, really, is our opportunity to
10 produce our just and equitable share, which we contend has been
11 denied to us by the high line pressures maintained by Southern
12 Union Gas Company.

13 Now, we are not asking for ratable take for Continental Oil
14 Company. What we are asking for is ratable take from the South
15 Blanco-Pictured Cliffs base pool that affects every operator in
16 the Pool, all of whom we feel should have an equal opportunity
17 to produce his gas, and we are fighting the battle as much for
18 Aztec and Southern Union Production, or any other of the other
19 operators. If they see fit because of their corporate relation-
20 ship not to come in and ask for it, this is their business.

21 We feel we have been penalized and we are asking for it.

22 When you come to the question of how can the Commission do
23 this, as has been pointed out, the Commission can't require a
24 pipeline company--and I'd say by the same token--a producer to
25 spend money.

1 I will agree with that. We are not asking Southern Union
2 Gas Company to take any specific action in the way of buying new
3 compressors or facilities or putting in more pipes, or anything
4 else.

5 What we are asking them to do is furnish us with substan-
6 tially the same pressures as they are affording to Caulkins Oil
7 Company or to any of the other operators in the Pool.

8 Now, those pressures may be higher or lower, and I certain-
9 ly would be happy to sell them lower, because we will produce
10 more gas, but if they raise the pressures on the other wells to
11 the same pressures we have under the Common Purchaser Act, we
12 have no grounds for complaint. This they can do without buying
13 any more equipment.

14 We prefer to see them install more equipment or operate
15 with the present equipment they have in such a fashion that these
16 pressures can be equal.

17 We feel it can be done. We don't ask the Commission to
18 tell Southern Union what to do. All we do ask the Commission to
19 do is tell Southern Union Gas Company what results you expect
20 them to achieve, which we feel should be substantially equal
21 pressures throughout this system.

22 Now, in entering such an order, we, of course, have to
23 recognize that pressures are not going to be equal. The laws of
24 physics are not going to permit that, but we feel that present
25 pressures go far beyond any differences which should be observed

1 under the normal operation of a company conscientiously trying
2 to equalize pressures in their system.

3 We would further propose that if the Commission sees fit to
4 enter such an order, they hold the case open for an examination
5 of the results achieved at some reasonable future date. I think
6 this would be only proper both for Southern Union Gas Company and
7 for Conoco Oil Company and the other operators.

8 In that connection, I would ask permission to file in the
9 near future with the Commission a proposed form of order, and of
10 course, we will furnish a copy to Southern Union Gas Company.

11 Thank you very much.

12 MR. PORTER: Does anyone else have a statement to make?

13 As to the request for permission to file the proposed order,
14 why the Commission will allow the Applicant to submit a proposed
15 order.

16 Do you have any comment, Mr. Morris?

17 MR. MORRIS: Well.

18 ME. PORTER: He indicated a copy of the order would be
19 submitted to Southern Union.

20 MR. MORRIS: In this event, Mr. Porter, we would, of
21 course, like to have the opportunity to respond by commenting on
22 the proposed order to the Commission, and of course, the proposed
23 order that Southern Union would present would at least be very
24 brief as to the ordering portion of the order.

25 However, I think it would be appropriate for us to submit

UNIVERSITY MICROFILMS

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6891 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 our own proposed order to contain the findings of fact that we
2 would propose the Commission to make, so in that light we would
3 make the same request that we have some period of time, at least
4 two weeks, to submit a proposed order.

5 MR. KELLAHIN: If the Commission please, may I ask a
6 question? You say time to respond. You mean by submitting a
7 proposed order of your own?

8 MR. MORRIS: Well, I think that would be sufficient,
9 Mr. Porter.

10 MR. PORTER: Well, suppose the Commission would allow
11 each party here to submit a proposed order within fifteen days.
12 Is that sufficient time?

13 MR. KELLAHIN: Fine.

14 MR. PORTER: In the case there has been some reference
15 made here to a whipping boy, so I guess the Commission should
16 give some consideration as to who is the whipper and who is the
17 whippee, and so we will take the case under advisement and the
18 hearing is adjourned.

1 our own proposed order to contain the findings of fact that we
2 would propose the Commission to make, so in that light we would
3 make the same request that we have some period of time, at least
4 two weeks, to submit a proposed order.

5 MR. KELLAHIN: If the Commission please, may I ask a
6 question? You say time to respond. You mean by submitting a
7 proposed order of your own?

8 MR. MORRIS: Well, I think that would be sufficient,
9 Mr. Porter.

10 MR. PORTER: Well, suppose the Commission would allow
11 each party here to submit a proposed order within fifteen days.
12 Is that sufficient time?

13 MR. KELLAHIN: Fine.

14 MR. PORTER: In the case there has been some reference
15 made here to a whipping boy, so I guess the Commission should
16 give some consideration as to who is the whipper and who is the
17 whippee, and so we will take the case under advisement and the
18 hearing is adjourned.

SPECIALIZING IN DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P. O. BOX 1092 • PHONE 243-8691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WITNESS

PAGE

OREN HASELTINE

Cross-Examination by Mr. Kellahin 162

Re-direct Examination by Mr. Jameson 226

Cross-Examination by Mr. Utz 228

" " " " Stamets 233

ALVIN DEAN

Direct Examination by Mr. Jameson 236

Cross-Examination by Mr. Kellahin 242

JOE BOYD

Direct Examination by Mr. Jameson 247

Cross-Examination by Mr. Kellahin 265

Re-re-direct Examination by Mr. Kellahin 284

Re-cross-examination by Mr. Morris 293

E X H I B I T S

OFFERED AND
ADMITTED

SOUTHERN UNION

MARKED

Exhibits 1 through 17 126

Exhibit 18 162

Exhibit 19 249

Exhibit 20 251

Exhibit 21 254

Exhibit 22 255

Exhibits 18 through 22 were admitted 259

265

