

dearnley-meier reporting services, inc.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
January 5, 1972

EXAMINER HEARING

IN THE MATTER OF:

Application of Amoco Production
Company for special pool rules,
Lea County, New Mexico.

Case No. 4640

BEFORE: Daniel S. Nutter,
Alternate Examiner.

TRANSCRIPT OF HEARING

1 MR. NUTTER: Case 4640.

2 MR. HATCH: Case 4640: Application of Amoco
3 Production Company for special pool rules, Lea County, New
4 Mexico.

5 We will take a recess.

6 (Recess.)

7 MR. NUTTER: The Hearing will come to order, please.

8 MR. BUELL: If I may say a few words to accomplish a
9 double purpose, one, kind of a little opening statement; two,
10 kind of an apology.

11 As you probably are aware, Mr. Examiner, it has been an
12 extremely long period of time since I have been before you on an
13 Application involving pool rules.

14 I hope this is an omen of good times to come and we will
15 have many many more pool rule hearings before you.

16 This is our Application for pool rules in the east Jim-Yates
17 Pool.

18 At the present time it is a one-well pool, although, as our
19 testimony will show, subsequent development is seriously being
20 contemplated.

21 I might also point out that while production from Yates and
22 some of our exhibits and our testimony, in order to more
23 precisely define the exact producing interval, we will be
24 referring to the top of the lower Yates conglomerate, because
25 that is the precise interval proposed, which the well is producing

1 I might also point out, Mr. Examiner, after Mr. Porter sees
2 the excellent performance of this one well he may move to change
3 the name of the pool to the Little Gem Yates Oil Pool, because
4 the well is a little gem.

5 We have one witness, Mr. Malloy, who has not been sworn.

6 TOM MALLOY

7 BY MR. BUELL

8 Q Would you state your complete name, Mr. Malloy; by whom
9 you are employed; and in what capacity and what location,
10 please, sir?

11 A Thomas V. Malloy.

12 I am employed by Amoco Production Company as a staff
13 engineer in the Division Office at Houston, Texas.

14 Q Mr. Malloy, you have never testified before the New
15 Mexico Oil Conservation Commission?

16 In view of that, would you briefly state your
17 educational background in the field of petroleum
18 engineering?

19 A I received a degree of Bachelor of Science in Petroleum
20 Engineering from the University of Pittsburgh in 1938.

21 Q What have you done in the field of petroleum engineering
22 since graduation?

23 A I have been employed in the oil industry continuously
24 since graduation, since 1942 I have been employed by
25 Amoco Production Company in various engineering capacities.

1 Q All right, sir. Now, you testified as a petroleum engineer
2 before the Conservation Commission of both the states of
3 Louisiana and Texas; is that right?

4 A Yes, sir, I have.

5 Q Are there any questions of his qualifications, Mr. Examiner?

6 MR. NUTTER: No, he is qualified.

7 Q (By Mr. Buell) In order that the Examiner can evaluate your
8 testimony, I am going to ask you at the outset to briefly
9 state the pool rules that we are recommending here today.

10 A In that connection, Mr. Examiner, I will also refer to our
11 Exhibit No. 1, which is somewhat of a summary itself of the
12 rules we are recommending.

13 MR. NUTTER: I will ask, Mr. Malloy, in the interest
14 of brevity, to be more brief.

15 A The pool rules that we are recommending here today would
16 provide for the 80 acre oil units consisting of either the
17 north half, southeast half, east, or west half of the
18 governmental quarter section, with the usual right to drill
19 a well on each quarter section, the spacing provision that
20 the well be within 200 feet of a government center, of a
21 governmental quarter section, the usual provisions for the
22 exceptions being granted, administration for topographical
23 conditions, and that the well on a standard proration unit
24 of 79 to 81 shall be given 80 acre proration factor of two.

25 Q (By Mr. Buell) The production in this pool is more shallow than

1 5,000?

2 A Yes.

3 Q The current unit allowable for the existing well in the
4 pool is 80 barrels a day, is it not?

5 A Yes.

6 Q As I understand your recommendation, if it is approved by
7 the Commission, what would be its allowable?

8 A Its allowable would be 160 barrels.

9 Q All right, sir. Would you turn now, Mr. Malloy, to what
10 has been identified as Amoco's Exhibit No. 2?

11 A This is the structural contour map on the top of the lower
12 Yates carbon pay. This is the pay section within the
13 Yates Formation.

14 This was prepared utilizing data from the completed
15 well, the discovery well for this Pool, which is identified
16 by a large red arrow, and also data obtained from numerous
17 other wells in the area which were completed as dry holes
18 which have been drilled subsequent to the completion of
19 this well.

20 Q Would you locate for the record the discovery well, Amoco's
21 Discovery Well, Amoco's Bates Federal No. 1?

22 A Amoco's Bates Federal No. 1 is located 660' from the south
23 line; 1980' from the west line of Section 26, 19 South, 33
24 East.

25 This is in the unit in Section 29.

1 Q All right, sir. How would you describe the structure of
2 the pay that is reflected on Exhibit No. 2?

3 A Well, this would be described as an asymmetrical domal
4 feature.

5 It has an axis trending from the southeast to the
6 northwest.

7 Q Speak up. Were logs running on all of the dry holes shown
8 on this exhibit?

9 A No, sir, not in all of the wells.

10 Several of the wells did have logs, others the tops
11 were obtained from sample data, too, so it is entirely
12 possible that with additional drilling and more rigid data
13 the structure interpretation shown here could be slightly
14 changed.

15 Q Based on your study of this reservoir and the immediate
16 area, its position in the area, do you feel that the
17 position on the structure will be critical from the stand-
18 point of whether or not a well will be productive or a dry
19 hole?

20 A No, sir. Several of the wells which were completed as dry
21 holes, based on the depth at which the pay was encountered,
22 would have been expected to be producers.

23 However, they had no permeability in the pay zone;
24 therefore, they were completed as dry holes.

25 Q So, you feel that porosity, permeability development will

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 249-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 be more controlling than position on the structure?
2 A Yes, that is correct.
3 Q Mr. Malloy, as you probably recall, back in June of 1968,
4 a discovery allowable application was held on our Bates
5 Federal No. 1.
6 I believe that is Case No., Mr. Examiner, 3795.
7 Was an exhibit introduced at that hearing that
8 reflected structure?
9 A Yes, there was a map introduced as an exhibit at that
10 hearing in 1968 showing structure.
11 However, it was the structure on the top of the Yates
12 Formation.
13 It was not on the top of the pay interval, which we
14 have identified as the lower Yates on Exhibit No. 2.
15 Q It just showed Yates on the regional basis rather than
16 looking closely and critically at an area like you are
17 doing here?
18 A That is correct.
19 Q All right. Do you recall what the current horizontal lim-
20 its of this Pool are?
21 A The East Jim Yates Pool has been defined as the south half
22 of Section 26, 19 South, 33 East.
23 Q Do you have any other comments to make on Exhibit No. 2,
24 Mr. Malloy?
25 A No, sir.

1 Q All right. Would you look now at what has been identified
2 as Amoco's Exhibit No. 3; what is that exhibit?

3 A Exhibit 3 is the zonic gamma ray log of the Bates Federal
4 Well No. 1, the discovery well for this Pool.

5 The Yates pay has been identified on this log at near
6 the total depth of the well, and the interval which has
7 been perforated for completion has been also shown.

8 Q All right, sir. Do you have any other comments to make on
9 this log?

10 A I don't believe so, sir.

11 Q Are you introducing a cross-section exhibit here today,
12 Mr. Malloy?

13 A No, sir. At the Hearing in 1968 a cross-section was
14 introduced.

15 There has been some drilling in the intervening time.

16 However, there is really not new data that would
17 change the interpretation and change the picture, so I
18 didn't prepare a cross-section for this Hearing.

19 Q That is already in the Commission records and files?

20 A Yes.

21 Q Would you turn now to what has been identified as Amoco's
22 Exhibit No. 4?

23 A Amoco's Exhibit No. 4 is a tabulation of data such as is
24 available on the reservoir fluid characteristics, on the
25 reservoir rock.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 Very briefly, this lists the average porosity as eight
2 per cent interstitial water saturation, twenty-eight per
3 cent.
4 The permeability is unknown.
5 The oil produced from this pool is 34° api gravity;
6 the solubility of the gas is unknown because the gas-oil
7 ratio is too small to measure and because of the very low
8 gas solubility, we have estimated the reservoir volume
9 factor at 1.02, reservoir barrel.
10 Q Do you have any other comments?
11 A I don't believe so.
12 Q If you will look at Amoco's Exhibit No. 5, what is that
13 exhibit?
14 A Exhibit No. 5 is a performance graph of the East Jim Yates
15 Pool or Yates Federal Well No. 1 from the discovery in 1968
16 until the latter part of 1971.
17 Q Would you comment very briefly, please, on each indice of
18 performance that is mentioned on this exhibit?
19 A At the top we have tabulated the available--shortly after
20 completion of the well, the bottomhole pressure measurement
21 was made. The pressure datum of thrust plus 230' was 1,209
22 pounds per square inch.
23 In late November, early December, 1971, an additional
24 pressure measurement was made at the same datum of +230'.
25 The pressure was 1,187 psi or a decline of only 22

1 pounds from the original.

2 The second curve on Exhibit No. 5 is the barrels of
3 oil per day produced each month throughout the life of the
4 reservoir after the production of the discovery allowable.
5 This generally shows then that the well has been capable of
6 producing the normal allowable assigned, normal unit
7 allowable assigned, and at the bottom is a curve showing
8 the cumulative production, which is about 116 barrels of
9 oil today.

10 Q Let's go back to your middle curve, the average barrels of
11 oil per day.

12 I noticed in October of 1970 that it shows it produced
13 an average of about 40 barrels of oil per day.

14 I know that the normal unit allowable was much higher
15 than that.

16 How do you account for that?

17 A Was made--the answer was made through a misunderstanding,
18 and the production during August of 1970 was at a higher
19 than the allowable rate, it being thought that discovery
20 allowable still continued because of that original
21 production in August.

22 Then there was the well that was under produced in
23 October to compensate for it.

24 Q So, this well does have excellent ability to produce?

25 A Yes, it does.

1 As a matter of fact, it has been tested a number of
2 times at rates about 200 barrels per day, and maybe even
3 exceeding that slightly.

4 Q Let me ask you this. I don't notice any curve here showing
5 water production. Did this well ever make water?

6 A No, it has never produced any water.

7 Q And it has produced a 116,000 barrels with only a 22 pound
8 pressure drop?

9 A Yes, sir, that is correct.

10 Q Is this well slowing or pumping?

11 A This well is pumping because of a very small amount of gas
12 that is in solution in it, even with the bottomhole
13 pressure being at a high level, it just won't flow, so it
14 is pumped.

15 It does pump with a very high fluid level, however.

16 Q Some of these tests that have been conducted on this well
17 in the range of 200 barrels a day are based on an observa-
18 tion that you made that the fluid level in the well was
19 high?

20 A Yes, sir.

21 Q The fluid was high?

22 A Even producing at the 200 barrel a day test rate.

23 Q Do you have any other comments on Exhibit 5?

24 A No.

25 Q Would you turn then, please, to what has been identified

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
 209 SIMMS BLDG., P.O. BOX 1092, PHONE 243-6691, ALBUQUERQUE, NEW MEXICO 87103
 FIRST NATIONAL BANK BLDG. EAST, ALBUQUERQUE, NEW MEXICO 87108

1 as Amoco's Exhibit 6; what is that exhibit?

2 A Exhibit 6 is a data sheet which I have set forth a

3 comparison of the oil recovery to date, to the oil in

4 place, I have repeated the parameters that we used, the

5 porosity of eight per cent, the water saturation 28 per

6 cent, the RVF of 1.02.

7 It has been determined that the well has an effective

8 net pay of 16', so going through those calculations, that

9 calculates as 7,040 barrels of oil in place here per acre,

10 or 281,600 barrels in place in this 40 acre unit.

11 Q While you are giving some figures, go a little slower for

12 the sake of the reporter. I believe he is up with you

13 right now.

14 A Then, using the cumulative production of 116,000 barrels

15 and 281,000 barrels of oil in place, you had a 40-acre unit

16 with 16' of pay, we have recovered 41.2 per cent of the oil

17 in place under a 40-acre unit.

18 Q Mr. Malloy, do you as a reservoir engineer, what data of

19 these types indicates to you from the standpoint of the

20 drainage radius of the well--

21 A The fact we have had no water influx to the well, the

22 reservoir is exhibiting very slight signs of depletion in

23 that the reservoir pressure has dropped only 22,000 pounds.

24 I concluded definitely we are draining an area in excess

25 of the 40 acres.

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. P.O. BOX 1092 PHONE 243-6691 ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST ALBUQUERQUE, NEW MEXICO 87108

- 1 Q All right, sir. Let me ask you this. We didn't core the
2 pay and we have no core data as to permeability. Do these
3 types of form data give you any idea as to the permeability
4 in the well bore?
- 5 A Yes, I would say that the performance data of the well and
6 the reservoir indicate a very excellent permeability in
7 this pay.
- 8 Q All right, sir. Based on the data reflected on our Exhibit
9 6 and other performance characteristics of this well which
10 you have observed have you formed an opinion as to whether
11 or not one well in this Pool will effectively and effec-
12 iently drain in excess of 80 acres?
- 13 A Yes, sir, I feel because of the excellent performance of
14 the well and the reservoir that very definitely one well
15 can efficiently and economically drain in excess of 80 acres.
- 16 Q Do you foresee that any reservoir damage could occur if the
17 Commission approved our recommendation here today and adop-
18 ted our 80 acre units and our two times factor which at
19 this time would result in 160 barrels a day rate for this
20 Field; do you see any reservoir damage or waste occurring?
- 21 A No, sir, I would not anticipate any damage of that type.
- 22 Q Do you feel that the recommendations made here today will
23 prevent waste as well as protecting the correlative rights
24 of all of the owners in the area?
- 25 A Yes, sir, I do.

1 Q Do you have anything else you would care to add?

2 A I don't believe so.

3 Q Mr. Examiner, that is all we have by way of direct evidence
 4 and testimony.

5 I would like to formally offer Amoco's Exhibits 1
 6 through 6.

7 MR. NUTTER: Amoco's Exhibits 1 through 6 will be
 8 admitted in evidence.

9 CROSS-EXAMINATION

10 BY MR. NUTTER

11 Q Mr. Malloy, your bottom-hole pressure decline curve is
 12 based on two points?

13 A That is correct.

14 Q There is no confirming point that would indicate whether
 15 the line is to the flat or to the steep?

16 A No, nothing at this time, no, sir.

17 Q Either point could be in error?

18 A The pressure that was obtained in late 1971, I believe, was
 19 after either a 48 or 72 hour shut-in.

20 The data that were entered on the form at the initial
 21 one showed stabilized pressure.

22 I don't recall of there being a record of shut-in time
 23 for that.

24 However, it was considered a stabilized pressure, and
 25 we feel the long shut-in time for this later pressure would

1 give us stabilized pressure, also.

2 Q What is the original IP on this one?

3 A This initially was swabbed at a rate of 137 barrels in four
4 hours, I believe, on the initial test.

5 Q It would appear that the well was capable of producing top
6 allowable for most of the period of time plus the discovery
7 allowable?

8 A Yes, sir.

9 Q Which was, I guess, the discovery allowables were completed
10 then just prior to August when they over produced these?

11 A That is correct. Just looking at the data, discovery
12 allowable hearing that was held in June, '68, it can be
13 presumed that the discovery started then probably August 1
14 and in '68, and ended August 1st, '70, but through error
15 they produced at the higher rate throughout the month of
16 August.

17 And we do feel, I mean the well has been capable of
18 producing the normal allowable in excess of that, as shown
19 by the test that has been taken from time to time.

20 Q Do you have a current potential on the well?

21 A I have seen some test data. I don't know if I have it with
22 me, of the well pumping, oh, in the vicinity of 200 barrels
23 a day.

24 Q So, in other words, if your proposal were approved here and
25 you got here your acreage factor of two, the well would

1 have been on an allowable of 160 barrels, which would be
 2 up here off of your chart?

3 A Yes.

4 Q We have no evidence to indicate that the well can't produce
 5 that. You do have a test?

6 A We do have test data from time to time throughout the life
 7 of the well that shows the well has been able to produce
 8 in the vicinity of 200 barrels a day.

9 Q How come you have never drilled a second well here, Mr.
 10 Malloy?

11 A I think because of the fact there have been so many dry
 12 holes drilled, some of these dry holes have been drilled
 13 subsequent to the completion of this well. This subject
 14 well was completed in May, 1968, the well that is on
 15 Exhibit No. 2 is labeled as Gorman-McKnight, which is
 16 immediately south of that in Section 35. It was completed
 17 as a dry hole in July, '68.

18 The well over towards the northwest corner of Section
 19 35, the Smith-McKnight was April, 1971.

20 The well immediately to the east of the discovery
 21 well was October, 1968.

22 Q That is a Pan-Am well there?

23 A Yes, sir, it was. All three of these wells were Pan-Am or
 24 Amoco wells.

25 Then up in the two McKnight wells in the northwest of

1 26-4, they were 1969 completions as dry holes.

2 So, we have tried to drill another well in this
3 reservoir. We just haven't hit it.

4 MR. PORTER: You think that one well will get all of
5 the oil that would be gotten by more wells?

6 THE WITNESS: We are still contemplating doing some
7 more drilling, probably in the southwest of 26, for this
8 reservoir.

9 Q (By Mr. Buell) Actually, a recommendation to drill the
10 additional well has been processed through the lower level
11 of management and is ready to go to top management now?

12 A Yes.

13 Q Would you like for us to furnish you the latest potential
14 tests by--by that, by potential tests, I mean to show that
15 the well can easily make in excess of the 160.

16 MR. NUTTER: You might file that with the Commission.

17 CROSS-EXAMINATION

18 BY MR. NUTTER

19 Q What is your interpretation of 16 feet of net pay based on
20 Mr. Malloy?

21 A It was obtained from the microlateral log.

22 Q Were there any cores run?

23 A No cores were taken in the interval from the microlateral
24 log.

25 It has been estimated that there is possibly sixteen

1 feet of pay.

2 Q There is a calculated porosity?

3 A Yes, it is a calculated porosity, and the water saturation
4 from the logs.

5 See, the completion is actually over a forty foot
6 interval from 3,305 to 3,390, and within that forty foot
7 interval we feel there is probably sixteen feet of good
8 effective net pay.

9 Q You feel you do have a water drive here?

10 A It is either a water drive or there is a mighty big
11 reservoir to maintain the pressure as it has, with the
12 production of 116,000 barrels, with the number of dry holes
13 that we have around here, we have to find where the biggest
14 reservoir is.

15 Q The biggest reservoir doesn't show up as yet?

16 A It hasn't shown up as yet, so I would presume there is
17 probably an aquafair thus far that is aided in maintaining
18 the pressure.

19 Q Wouldn't there be a possibility if you had a water
20 production drive and you increased your pressure to a level
21 higher--

22 A That might result in a condition of water--oh, some adverse
23 effect on the reservoir by those high productions. I mean,
24 nothing that has been obtained in producing and testing the
25 wells so far has indicated any adverse effect.

1 Q It has never been produced at the rate?

2 A It has never been produced over a sustained period of time
3 at the rate, though, but if that would be the case, if
4 there were indications of damage, then drilling a second
5 well on an 80 acre unit and reducing the individual well
6 producing rates would certainly appear to be in order.

7 MR. NUTTER: Are there any further questions of Mr.
8 Malloy?

9 You may be excused.

10 Do you have anything further, Mr. Buell?

11 MR. BUELL: No, Mr. Examiner, I do not.

12 MR. NUTTER: Does anyone have anything they wish to
13 offer in Case 4640?

14 We will take the case under advisement.
15
16
17
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

WITNESS

PAGE

THOMAS V. MALLOY

Direct Examination by Mr. Buell

4

Cross-Examination by Mr. Nutter

15 & 18

E X H I B I T S

APPLICANT'S

MARKED

ADMITTED

Exhibit No. 1

5

15

Exhibit No. 2

6

15

Exhibit No. 3 & 4

9

15

Exhibit No. 5

10

15

Exhibit No. 6

; 3

15

SPECIALIZING IN: DEPOSITIONS, HEARINGS, STATEMENTS, EXPERT TESTIMONY, DAILY COPY, CONVENTIONS
209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108