

dearnley, meier & mc cormick

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
CONFERENCE HALL, STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
September 13, 1972

EXAMINER HEARING

IN THE MATTER OF:

Application of Tipperary Land
and Exploration Corporation for
a waterflood project, Lea County,
New Mexico.

CASE NO. 4818

BEFORE: Daniel S. Nutter
Examiner

TRANSCRIPT OF HEARING

1 MR. NUTTER: Case Number 4818.

2 MR. HATCH: Application of Tipperary Land and
3 Exploration Corporation for a waterflood project, Lea County,
4 New Mexico.

5 MR. KELLAHIN: Jason Kellahin, Kellahin and Fox,
6 appearing on behalf of the Applicant. I have one witness I
7 would like to have sworn.

8 * * * * *

9 LARRY McINTOSH

10 was called as a witness and, after being duly sworn according
11 to law, testified as follows:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q Would you state your name, please?

15 A Larry McIntosh.

16 Q What business are you engaged in, Mr. McIntosh?

17 A I'm a consultant petroleum engineer in Midland,
18 Texas.

19 Q And with whom are you associated?

20 A I am associated with Ralph V. Viney.

21 Q Have you ever testified before the Oil Conservation
22 Commission and made your qualifications a matter of
23 record?

24 A No, sir, I haven't.

25 Q For the benefit of the Examiner, would you briefly

1 outline your education and your experience as a
2 petroleum engineer?

3 A I have a degree of Bachelors of Science, degree of
4 Petroleum Engineering, receiving them at the University
5 of Oklahoma, June of 1958. Following graduation, I
6 worked with Atlantic Richfield Company until January
7 of 1967, working as a reservoir engineer and an
8 operations engineer. In January of 1967 I entered
9 private consulting business and continued in that
10 business working independently and associated with
11 Ralph V. Viney.

12 Q In connection with your work at Atlantic Richfield,
13 where did you work?

14 A Primarily in the Midland, Texas, office, and the
15 west Texas area.

16 Q Does that have to do with operations in the State of
17 New Mexico?

18 A No, sir, those did not.

19 Q But it was in the Permian Basin?

20 A Yes, sir.

21 Q Now, with your work as a consultant, have you done any
22 work with Tipperary Resources?

23 A Yes, sir, I have.

24 Q Did you prepare a report in connection with the
25 Application?

1 A Yes, sir, I have.

2 MR. KELLAHIN: Are the witness' qualifications
3 acceptable?

4 MR. NUTTER: Yes, they are.

5 Q (By Mr. Kellahin) Mr. McIntosh, what's proposed in
6 the Application?

7 A Tipperary Land and Exploration Corporation is seeking
8 authority here to institute a waterflood project in the
9 North Bagley-Pennsylvanian Pool, specifically to
10 inject water into the Strawn.

11 Q Now, would this be in the nature of a pilot waterflood
12 project?

13 A Yes, it is.

14 Q It would not be, at this time, a full-scale water
15 injection project?

16 A No, sir.

17 Q Now, referring to what has been marked as Applicant's
18 Exhibit A, which is the multiple paged Exhibit
19 containing individually numbered Exhibits, would you
20 discuss that Application, please?

21 A Sir, the North Bagley-Pennsylvanian Field has been a
22 prolific oil producer. It produced approximately
23 30 billion barrels of oil to date. However, for the
24 past three years, the oil rate has been dropping in
25 the field and it would now appear that about 70 percent

1 of the ultimate primary production for the field has
2 already been recovered. It is the Applicant's
3 feeling that it is now time to give some serious
4 consideration to the possibility of secondary recovery
5 in this field and for this reason the Applicant is
6 proposing to institute a pilot waterflood that will
7 obtain information that will help in evaluating the
8 possibility of the waterflood in the field.

9 Q Now, in connection with the present state and depletion,
10 would you say that this pool is in an advanced stage of
11 depletion?

12 A Yes, it's an advanced stage, I would say more than 70
13 percent.

14 Q Is it a stripper stage?

15 A No, it's not in a stripper stage.

16 Q So, you are familiar with the Commission rules in
17 connection with the waterflood project, are you not,
18 which requires that they be at a stripper stage?

19 A Yes, sir, I am familiar with that.

20 Q In that connection, why is this Application being
21 filed at the present time, rather than waiting until
22 the pool is at a stripper stage?

23 A Well, sir, there are several reasons for this. One
24 being that it does usually require extensive negotiation
25 and study to unitize a field, and a unitized field is

1 the most efficient type of operation. There are only
2 several completion factors involved in this. Most of
3 the wells in this field are on hydraulic pumps, currently
4 capable of handling large volumes of fluid. This is the
5 type of pump that would be desirable in the end that
6 water fluid is taken in this field. However, unless
7 the likelihood of a flood becomes evident soon, it is
8 likely that most operators will convert to rod pumping
9 installations that are less expensive to operate; this
10 would require a later change back to hydraulic pump
11 and involve, what I consider, some unnecessary economic
12 expenditure. Another reason is that at the present
13 time there is an ample amount of produced water
14 available in this field to conduct a pilot test to some
15 extent. However, along with the decline in oil
16 production, the water production is also dropping and
17 it is possible at some future date that an ample supply
18 of water will not be available.

19 Q So the present purpose of this Application is merely
20 to obtain information for a future project, is that
21 right?

22 A Yes.

23 Q And in the event it is not a stripper stage at the
24 present time, a unitized form, it could readily be
25 converted to a pressure maintenance project, could it not?

1 A Yes.

2 Q Now, refer to what has been marked as Exhibit A-1
3 and would you identify that, please?

4 A Exhibit A-1 is a lease plat showing a portion of the
5 North Bagley field around the proposed injection well.
6 The proposed injection well is the Tipperary Bess
7 Well Number 1 which is located 660 feet from the
8 north line and 1,980 feet from the east line of
9 Section 20, Township 11 South, Range 33 East. This map
10 also shows the wells having the "F" zone open to
11 production. These wells are encircled on the lease
12 plat. The Applicant is the operator of all of the
13 wells directly offsetting this proposed injection well.
14 I might add that each of the offset wells is equipped
15 with an individual tank battery which will permit
16 closed monitoring of fluid, and should add in
17 evaluating the effectiveness of the pilot flood.

18 Q Now, have the royalty owners consented to utilizing
19 the Bess Number 1 for injection purposes?

20 A Yes, sir, they have.

21 Q And the Applicant has the operator rights?

22 A Yes, sir, that is true.

23 Q Now, referring to what has been marked as Exhibit 2,
24 would you identify that, again, please?

25 A Exhibit 2 is a portion of the gammaray acoustic log

1 that was run on the Bess Number 1 that shows the
2 producing intervals of the wells. This well is
3 perforated in 14 or more porosity zones ranging in
4 depth from 9,308 feet to 10,179 feet. Also shown on
5 this log is the Applicant's designation of the various
6 porosity zones in the Strawn formation. The Applicant
7 proposes to inject initially into the "F" zone, which
8 is the lowermost producing zone in this well. This
9 well is approximately 15 feet below the next porosity
10 zone.

11 Q The well is currently producible, is it not?

12 A Yes, that is right.

13 Q And how much oil has it recovered?

14 A Exhibit Number 3 shows the production history on this
15 well. The well was completed back in December of
16 1967 and through July of this year it had accumulated
17 oil production of 329,816 barrels of oil. As the
18 curve shows, it has been declining for the past two
19 and one-half years and the present producing rate on
20 the well is only about 27 percent of its top producing
21 rate.

22 MR. NUTTER: And what was that?

23 THE WITNESS: It's approximately 2,700 barrels
24 per month, or about 90 barrels per day. This is for June.

25 A From the projection that I show on the Exhibit there

1 down to the estimated economic limit of 200 barrels
2 of oil per month, I would estimate this well to have
3 an ultimate production of 384,800 barrels of oil. In
4 other words, in my opinion, this well has already
5 recovered more than 85 percent of its ultimate
6 primary production.

7 Q Now, you already discussed Exhibit Number 4; would you
8 turn to Exhibit Number 5, please and discuss that
9 Exhibit?

10 A Mr. Kellahin, Exhibit Number 4 is a graph and I haven't
11 covered it in detail.

12 Q Discuss Exhibit Number 4, then, I was looking at 5 here.

13 A Exhibit Number 4 is quite similar to Exhibit Number 3
14 in that it is also a production graph. This graph is
15 a plot of the combined production of the Bess Number 1
16 and the nine offsetting wells in the pilot area. These
17 wells, which are colored on the map insert, are the ones
18 most likely to be affected by water injection into the
19 Bess Number 1. The combined performance of the wells
20 in the pilot area is very similar to that of the Bess
21 Number 1. The ten wells combined production to July
22 of this year was in excess of 3,000,000 barrels. I
23 estimate ultimate production to be 3,786,400.

24 Q Now, is that based on the institution of this waterflood,
25 or is that the primary production?

1 A That's the primary, estimate of the primary recovery
2 under present conditions.

3 Q Now, referring to Exhibit Number 5, will you discuss
4 that Exhibit, please?

5 A Exhibit 5 is a diagramatic sketch of the proposed
6 completion for the proposed injection well, the Bess
7 Number 1. The Applicant proposes to set a packer
8 between the E and F zones of the Strawn and inject
9 produced water from the field down the tubing. As I
10 previously mentioned, there are only about 15 feet of
11 vertical separation between the top of the porosity
12 in the "F" zone and the bottom of the porosity in
13 the E zone. For this and other reasons, the Applicant
14 would desire permission to inject into other zones
15 in this well, if the possibility of communication
16 should develop between these zones. If this
17 communication should develop, the Applicant would want
18 to move a packer above the E zone and inject into both
19 zones.

20 Q Now, are all those wells open and flowing wells?

21 A Yes.

22 Q Some of the zones are open, in other words?

23 A Yes, most of them are. I might add that it's the
24 desire of the Applicant, in this case, to conduct this
25 pilot flood zone so long as it is needed to obtain

1 positive results, either good or bad, about the
2 floodability of it. We do not think that this is
3 going to be of a long duration, the test. We propose
4 not to internally coat the tubing at this time, unless
5 it is required.

6 Q Now, you are injecting produced water, are you not?

7 A Yes, sir, that's true.

8 Q And you have a later Exhibit covering that?

9 A Yes, I do.

10 Q Now, in connection with your proposed completion,
11 would it be possible for you to fill the casing tubing
12 annulus with a fluid?

13 A No, we cannot fill it. This, we find in the wells in
14 the field, and this well in particular will take fluid
15 on a vacuum, and we cannot completely fill the casing.

16 Q Do you propose to use any pressure on injection?

17 A No, sir, we do not think it will be required, and
18 until it appears that it will just be impossible, we
19 will not use pressure.

20 Q Now, what volume of water do you propose to inject?

21 A We don't have individual tests on this F zone on which
22 to predict the rate that would be used, but on a
23 comparison with other intervals that were drill stem
24 tested, we would estimate about 1,400 barrels of water
25 daily, and it's produced from the field, from the

1 various zones.

2 Q But not from this well?

3 A No, sir.

4 Q How can you insure the Commission that there is no
5 communication?

6 A It is the desire of the Applicant, of course, to
7 insure himself that there is no communication here
8 and they propose to periodically run radioactive
9 tracer surveys on this well to see that communication
10 is not occurring. I'm sure they would be agreeable
11 to furnishing the Commission of copies of these
12 surveys and also being at the period that the
13 Commission might specify.

14 Q Now, referring to what has been marked as Exhibit 6
15 of Exhibit A, would you identify that Exhibit?

16 A Exhibit 6 is a copy of the water analysis that was
17 recently collected from the field gathering line at
18 a location near the Bess Number 1 and this should be
19 representative of the water that's going to be used
20 for injection purposes.

21 Q That is the source of water you are going to use, is
22 it not?

23 A This was taken from the water line on the field
24 gathering system at a location very close to the
25 Bess Number 1 and this is where the water would come

1 off of and would be injected.

2 Q Now, the analysis would indicate that this water came
3 from the Bess Number 1, is that correct?

4 A No, sir, that should be corrected. It did not actually
5 come from the Bess Number 1, it was very close to the
6 location, but it's actually the produced water from
7 the field.

8 MR. NUTTER: From a number of wells?

9 THE WITNESS: Yes, sir, that's right.

10 Q (By Mr. Kellahin) Now, on the basis of this analysis,
11 would you consider this water highly corrosive?

12 A I would classify it as being moderately corrosive.
13 I'm informed that in pulling wells in the field
14 that they find that there is not extensive corrosion
15 on the tubular downhole line in these cases and in this
16 field, and for this reason they are not proposing to
17 internally coat the tubing at this time, unless it is
18 required.

19 Q Now, for a short period of water injection, do you
20 think that would cause any problems?

21 A No, sir, I don't believe it would.

22 Q Was Exhibit A, consisting of six separate Exhibits,
23 prepared by you or under your supervision?

24 A Yes, sir.

25 MR. KELLAHIN: At this time I'd like to offer

1 Exhibit A in evidence.

2 MR. NUTTER: Exhibit A, Applicant's Exhibit
3 will be admitted in evidence.

4 (Whereupon, Applicant's Exhibit A was marked
5 and received into evidence)

6 MR. KELLAHIN: That completes the Direct
7 Examination.

8 * * * * *

9 CROSS-EXAMINATION

10 BY MR. NUTTER:

11 Q Mr. McIntosh, now, you mentioned you were going to
12 conduct tracer surveys to see if there was communication.
13 What will you be measuring, communication between F
14 zone and this well and what?

15 A I'm talking about communication behind a pipe in
16 this well just to see that we are confining it.

17 Q Well, you won't be producing the other zones, however,
18 will you?

19 A No.

20 Q So how would you know?

21 A Well, by lowering a tool into the hole and injecting
22 and measuring to see if it comes up behind the pipe.

23 Q And so, if you have any radioactivity behind the pipe
24 and above the perforation there, you wouldn't be
25 measuring for communication between any other wells?

dearnley, meier & mc cormick

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

- 1 A No.
- 2 Q In fact, all the wells offering this are completed
3 in this F zone?
- 4 A Yes.
- 5 Q Now, you mentioned that this well is making 2,700
6 barrels a day and your Exhibit Number 4 shows the
7 rate of production from wells that would be offsetting
8 the Bess Number 1. Now, what's the current rate of
9 production there, about 25,000 barrels a day for all
10 of them?
- 11 A This is the monthly rate, yes, sir. It's been
12 25,000 barrels a month.
- 13 Q And how many wells does that represent?
- 14 A That includes the Bess Number 1 and nine additional
15 wells, or ten wells.
- 16 Q So the average production is about 2,500 barrels a
17 month?
- 18 A Yes.
- 19 Q What's the high and what's the low, as far as
20 productivity of these offsetting wells?
- 21 A I believe in June, 1972, the low rate was from the
22 Kay 1, 1,940 barrels. The high rate appears from the
23 Eva Com 1, 3,141 barrels. The reducing rate is fairly
24 uniform in the Bess.
- 25 Q The Bess well there is producing a little over 100

1 barrels a day?

2 A That's right.

3 Q Well, in accordance with the definition of a waterflood
4 in the Commission Rules and Regulations, this could
5 not be classified as a bona fide waterflood?

6 A Not if you consider it as being a stripper well, sir.
7 If you considered it an advanced stage of completion,
8 it is an advanced stage of completion, considering that
9 the wells, most of them, are capable of 400 or 500
10 barrels a day, initially; where they are now 80 or
11 90 barrels a day, on the average.

12 Q The bottom-hole pressures here are down below the
13 bubble point of the reservoir, I'm sure, aren't they?

14 A I do not have any recent pressures on the wells in
15 the field. However, the gas-oil ratio field situation
16 is increasing and there is evidence that it is now
17 well below the bubble point.

18 Q This may be unimportant, I don't know. What is the
19 acreage dedicated to the offsetting wells, do you know?

20 A These are all 80 acre tracts.

21 Q Well, do you know how the 80 runs? That might be
22 important in defining what a project area would be,
23 whether you have an offset or not.

24 A Sir, I don't have that information myself.

25 Q Well, both plats are on file and we can assert what the

1 dedicated acreage to each well is. It would depend
2 on how they run as to whether a well would be offsetting
3 the 80 that the injection well is on.

4 What are you proposing to call this now, a pilot
5 injection project or a pilot waterflood project?

6 A Sir, we would like to call it anything that's
7 required to get it approved. It is, in essence, it's
8 a pilot waterflood in that we propose to evaluate the
9 floodability of the Pennsylvanian reservoir in the
10 North Bagley field.

11 Q Although it doesn't meet the qualifications of a
12 waterflood under the Commission's definition?

13 A That's right.

14 Q Well, whether it's a pressure maintenance or a waterflood,
15 it might make a difference here.

16 A As I say, we would be glad to call it a pressure
17 maintenance.

18 Q Now, if the injection project is successful, you
19 intend to unitize the area and expand it, is this it?

20 A That's right.

21 Q Maybe at that time it could be determined what the
22 project could rightfully be called?

23 A Yes, sir. I would suspect that by the time studies
24 could be conducted that the field probably will be
25 qualified under the stripper clause, by that time. I

1 feel that the pilot flood is definitely needed to
2 give them the information that they need to see if
3 the flood is feasible there.

4 MR. NUTTER: Are there any further questions
5 of the witness?

6 (No response.)

7 MR. NUTTER: He may be excused.

8 (Witness excused.)

9 MR. NUTTER: Do you have anything further, Mr.
10 Kellahin?

11 MR. KELLAHIN: No.

12 MR. NUTTER: Does anyone have anything they wish
13 to offer in Case 4818?

14 (No response.)

15 MR. NUTTER: Take the Case under advisement and
16 recess the Hearing until 1:30 o'clock.)

17 (Whereupon, the Hearing was recessed until
18 1:30 o'clock P.M.)

I N D E XWITNESS:PAGELARRY McINTOSH

Direct Examination by Mr. Kelleher

3

Cross-Examination by Mr. Nutter

15

E X H I B I T SAPPLICANT'S:OFFEREDADMITTED

Tipperary Land & Exploration Corp.

Exhibit A

5

15

Exhibit A-1

8

15

Exhibit A-2

9

15

Exhibit A-3

9

15

Exhibit A-4

10

15

Exhibit A-5

10

15

Exhibit A-6

13

15

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25