

dearnley, meier & mc cormick

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
MORGAN HALL
STATE LAND OFFICE BUILDING
SANTA FE, NEW MEXICO
Wednesday, April 25, 1973

EXAMINER HEARING

IN THE MATTER OF:

Application of Atlantic Richfield Company
for a unit agreement, Eddy County,
New Mexico

Case No. 4952

IN THE MATTER OF:

Application of Atlantic Richfield Company
for a pressure maintenance project, Eddy
County, New Mexico

Case No. 4953

BEFORE: Richard L. Stamets

TRANSCRIPT OF HEARING

1 MR. STAMETS: The hearing will come to order, please.
2 We will take next Case 4952; and I believe that will be
3 consolidated with Case 4953 for testimony.

4 MR. CARR: Case 4952, Application of Atlantic Richfield
5 Company for a unit agreement, Eddy County, New Mexico. And
6 Case 4952, application of Atlantic Richfield Company for a
7 pressure maintenance project, Eddy County, New Mexico.

8 MR. STAMETS: I'd like to call for appearances in these
9 two cases. Mr. Hinkle, the cases are consolidated on your
10 recommendation.

11 MR. HINKLE: Clarence Hinkle, Hinkle, Rondurant, Cox &
12 Eaton, appearing on behalf of Atlantic Richfield.

13 MR. STAMETS: Other appearances, please.

14 MR. LANDIS: Bruce Landis appearing on behalf of
15 Amoco Production Company.

16 MR. LOSEE: F. A. Losee appearing on behalf of Yates
17 Petroleum Corporation and the various interests.

18 MR. MORRIS: Richard Morris of Montgomery, Federici,
19 Andrews, Hannahs, & Morris of Santa Fe, appearing on behalf
20 of Signal Oil and Gas Company.

21 MR. STAMETS: Are there any other appearances in this
22 case?

23 MR. KELLAHIN: Jason Kellahin, Kellahin & Fox of Santa
24 Fe appearing for Cities Service Oil Company, Samedan Oil
25 Corporation, Penroc Oil Corporation, and C & K Petroleum, Inc.

1 Fred Turner and V.P. Shelton.

2 MR. STAMETS: At this point I would like that all
3 witnesses and prospective witnesses stand and be sworn at one
4 time. This should save us quite a bit of time.

5 (Whereupon, the witnesses were sworn.)

6 MR. HINKLE: Mr. Examiner, we have two witnesses and
7 12 exhibits. This is the official marked copy and here is one
8 other copy for the attorney. We have two extra copies if any-
9 body wants them.

10 BILL EMBRY

11 previously sworn as a witness, testified as follows:

12 DIRECT EXAMINATION

13 BY MR. HINKLE:

14 Q Would you state your name, your residence, and by whom you
15 are employed?

16 A Bill Embry. I work for Atlantic Richfield in Midland,
17 Texas.

18 Q What is your position with Atlantic Richfield?

19 A I'm land man.

20 Q Are you familiar with the Empire-Abo proposed unit area?

21 A Yes, sir.

22 Q What has been your position with the company with respect to
23 this unit?

24 A Well, I'm a land man; and I prepared the agreements for the
25 final drafts and for final mailing to the working-interest

1 owners and the royalty owners. And then I was concerned
2 primarily with the royalty sign up and the working-interest
3 owner's sign up.

4 MR. KELLAHIN: Could the witness speak up a little
5 louder, please?

6 Q So it's been your duty to try to get the unit agreement
7 signed up by the working-interest owners and royalty
8 owners?

9 A Yes, sir.

10 Q Have you prepared or has there been prepared under your
11 direction certain exhibits for introduction in this case?

12 A Yes, sir.

13 Q And they are exhibits which have been marked exhibits 1
14 through 3?

15 A Right.

16 MR. STAMETS: Mr. Embry, I'm sure that they can't
17 hear you in the back row there. It is necessary to speak up
18 quite a bit in this room.

19 Q Refer to exhibit number 1.

20 MR. STAMETS: One thing I'm not clear on, Mr. Embry.
21 You have been a land man with Atlantic Richfield for a number
22 of years?

23 THE WITNESS: Fifteen.

24 MR. STAMETS: Fifteen years. And you will be testifying
25 in your expert capacity as a land man?

1 MR. HINKLE: No, I don't think it is necessary that he
2 qualify as an expert. He's just in the land department of
3 Atlantic Richfield. His duties have been in connection with
4 this unit to get signed up.

5 MR. STAMETS: Okay. In that limited area then, we will
6 accept his qualifications.

7 Q Refer to Exhibit 1 and explain what this is and what it
8 shows.

9 A Exhibit 1 is a plat showing the outline of the unit area.
10 It's the same plat that is Exhibit A attached to the Unit
11 Agreement. The plat shows all the tracts in the unit. It
12 shows the tract number, all the Abo wells. The federal
13 acreage is cross-hatched and the state is white.

14 That's all federal and state acreage. The total acres
15 in the unit are 11,339.15. The federal lands comprised
16 36.91 per cent of the unit area being 4,184 acres. The
17 state lands are 63 per cent of the unit area and comprised
18 7,154 acres.

19 Q Does this exhibit show all the wells which have been
20 completed in the Empire-Abo pool?

21 A Yes, sir.

22 Q It also shows the acreage ownership?

23 A Yes, sir. It shows the lease ownership.

24 Q Lease ownership. Now, refer to Exhibit 2 and explain what
25 this is and what it shows.

1 A Exhibit 2 is a letter from the United States Department
2 of Interior Geological Survey from Washington signed by
3 the acting director which designates the area shown on
4 Exhibit 1 as logically suitable for a unitization.

5 Q Does this also indicate that they approved a form of Unit
6 Agreement?

7 A Yes, sir. It does.

8 Q And also concur in the supervisor's recommendation as to
9 the basis of allocating the unitized production?

10 A Yes, sir.

11 Q That's provided for in the Unit Agreement; is it not?

12 A Yes, sir.

13 Q Now, refer to Exhibit 3 and explain what this is.

14 A Exhibit 3 is a letter from the office of the Commissioner
15 of Public Lands wherein as stated the commissioner
16 approved the unit as to form and content.

17 Q And this is dated August 30, 1972?

18 A Yes, sir.

19 Q Are you familiar with the proposed Unit Agreement?

20 A Yes, sir.

21 Q Is Atlantic Richfield designated as the unit operator?

22 A Atlantic Richfield is the operator.

23 Q Does the Unit Agreement cover all formations or is it
24 just limited to a particular formation?

25 A The Unit Agreement is limited to the Abo formation as

1 defined in Section 2-H of the Unit Agreement.

2 Q You might refer to that and state briefly what that
3 formation consists of, how it's defined.

4 A The unitized formation refers to the Abo formation which
5 is a continuous stratigraphic interval occurring between
6 the base of the Drinkard formation and the top of the
7 Wolfcamp formation and which is the same formation that
8 was encountered between the logged depths of 5,325 feet
9 and 6,533 feet in Amoco Production Company's State of
10 New Mexico AU Number 1 Well.

11 Q Now, is this agreement in substantially the same form
12 as heretofore approved by the Commission where Federal
13 and State lands are involved?

14 A Yes, sir.

15 Q And where it's for secondary recovery or pressure
16 maintenance purposes?

17 A Yes, sir. It is.

18 Q Now, have you invited or have Atlantic Richfield invited
19 all the owners of working-interests and overriding
20 royalty and other interests to commit their interest to
21 the Unit Agreement?

22 A Yes, sir. We have.

23 Q What is the preference status of the unit with respect to
24 commitment of acreage? You can refer to Exhibit Number 1.

25 A On Exhibit 1 we show in green 21 tracts the owners of which

1 have indicated to us that they probably won't join this
2 unit. Now, this area comprises of approximately 840 acres
3 and would be 7 per cent of the unit area.

4 Q When you refer to 21 tracts, you mean 21 40 acre tracts?

5 A Right. Actually 16 unit tracts.

6 Q 16 unit tracts but 21 40 acre tracts?

7 A Right.

8 Q These are the only ones who have definitely refused so far
9 to commit their interests to the unit?

10 A To the best of my knowledge.

11 Q What do you anticipate with respect to all of the other
12 owners?

13 A We expect all of the other tracts in the unit area to come
14 in sooner or later. They are expected.

15 Q What percentage would that constitute?

16 A That would be 93 per cent.

17 MR. HINKLE: I'd like to offer into evidence exhibits
18 1 through 3.

19 MR. STAMETS: Are there any objections to the
20 introduction of these exhibits? They will be admitted into
21 evidence.

22 MR. HINKLE: That's all the direct of this witness.

23 MR. STAMETS: Are there questions of this witness?

24 MR. MORRIS: Mr. Examiner.

25 MR. STAMETS: Mr. Morris?

1 MR. MORRIS: Mr. Hinkle, would it be appropriate for
2 me to ask questions of this witness concerning the formula?

3 MR. HINKLE: No. I should have stated there that our
4 next witness will go into the formula and the operating aspects
5 of it.

6 MR. MORRIS: I have no questions.

7 MR. KELLAHIN: Mr. Examiner, I just have one question.

8 CROSS-EXAMINATION

9 BY MR. KELLAHIN:

10 Q How much of the unit has presently been signed up?

11 A 85.4 per cent.

12 Q Is that an acreage figure?

13 A It's a unit Phase 1 figure, working-interest figure.

14 Q 85.40, did you say?

15 A 85.4.

16 Q And of that what percentage is owned by Arco?

17 MR. HINKLE: By who?

18 Q Atlantic Richfield?

19 A Our interest in the unit.

20 Q Of 85.4 per cent or your interest in the unit?

21 A Well, it would be our interest in the unit, 31 per cent.

22 Q What is the interest of the Amoco?

23 A Let me look. I better get exact. Amoco's interest is
24 30.38392. Atlantic's interest is 33.143.

25 MR. KELLAHIN: Thank you.

CROSS-EXAMINATION

1
2 BY MR. STAMETS:

3 Q Mr. Embry, on the second page of Exhibit number 2 there
4 seems to be some indication by U. S. G. S. that they thought
5 at that time you did not have sufficient commitment. Let's
6 see. "However, the right is reserved to deny approval of
7 any executed agreement that, in our opinion, does not have
8 full commitment of sufficient lands to afford effective
9 control of operations in the unit area." Do you know if
10 85.4 per cent will be sufficient in the eyes of the
11 U. S. G. S.?

12 A Well, that's a determination that will have to be made by
13 the U. S. G. S., that my personal opinion if you want that--

14 Q So to your knowledge it's not been made at this time?

15 A I beg your pardon?

16 Q That decision has not been made at this time?

17 A No.

18 MR. HINKLE: I might say in that connection, this is
19 the way that all of these letters are written by the U. S. G. S.,
20 because the regulations provide that they will only approve the
21 Unit Agreement where sufficient acreage has been committed to
22 give effective control. So this is a determination which has
23 to be made by the U. S. G. S. and also by the Commission of
24 Public Lands when the unit is filed for final approval.

25 Now, the fact that they only have 84.4 per cent signed at
~~the present time doesn't mean that's all they are going to get~~

1 before they submit it for approval. It's not necessary, as we
2 see it, to have any particular percentage signed up before the
3 Oil Conservation Commission can approve it or approve the
4 injection of gas.

5 MR. STAMETS: Are there any other questions of the
6 witness? He may be excused.

7 S. U. CHRISTIANSON

8 having been previously sworn testified as follows:

9 DIRECT EXAMINATION

10 BY MR. HINKLE:

11 Q State your name and your residence and by whom you are
12 employed.

13 A S. U. Christianson. I reside in Midland, Texas; and I am
14 employed at Atlantic Richfield Company.

15 Q Are you a petroleum engineer?

16 A Yes, sir. I am. A particular title at the present time
17 is Senior Analytical Engineer.

18 Q Have you previously testified before the Commission?

19 A No, sir. I have not.

20 Q State briefly your educational background and experience as
21 a petroleum engineer.

22 A 1954 I received a degree, Bachelor of Science in Petroleum
23 Engineering with the Reservoir Engineering Option from the
24 University of Houston. The previous year in 1953 I had
25 received a Bachelor's Degree in Geology from the University

1 of Houston.

2 In 1954 I was employed at Atlantic Refining Company,
3 predecessor to Arco in Midland, Texas, as a junior reservoir
4 engineer working with the Permian Basin Fields and
5 Reservoirs. In 1958 I moved to Tulsa, Oklahoma where I
6 was working with Midcontinent Fields and Reservoirs
7 primarily in Oklahoma, Kansas, and Texas during this period
8 of time, and the next few years in Oklahoma City and
9 Amarillo and partially in Denver later.

10 I was working primarily with Colorado, Kansas,
11 Oklahoma, Texas Panhandle. My duties were primarily, well,
12 you name it. Development, drilling, gas and oil wells,
13 reservoir studies of all types for all types of secondary
14 and primarily projects. During this period of time I
15 testified before the Commissions of Kansas, Oklahoma, and
16 the Railroad Commission of Texas.

17 In '65 I moved to Denver, was there for two years.
18 1967 I was transferred to Roswell, New Mexico, specifically
19 for the purpose of beginning a reservoir study on the
20 Empire-Abo Reservoir which would lead to eventual
21 unitization of this reservoir.

22 Q Have you continued your studies since 1967?

23 A That is correct.

24 MR. HINKLE: Are the qualifications of the witness
25 acceptable?

1 MR. STAMETS: They are.

2 Q Now, have you prepared or has there been prepared under
3 your direction certain exhibits for introduction in this
4 case?

5 A Yes, sir. There has.

6 Q And they have been marked Exhibits 4 through 12?

7 A That's correct.

8 Q Refer to Exhibit 4 and explain what this is and what it
9 shows.

10 A Exhibit 4 happens to be a map of the Empire-Abo pool
11 contoured on the top of the Abo porous reef. The subsea
12 contours are shown. You can readily see by looking off to
13 the southwest that probably the structurally highest well
14 in the field is the Malco Federal Number 8 which happens to
15 be located in the northwest quarter of the southeast
16 quarter of 9, 18 South, 27 East, at the top of the Abo
17 reef at minus 1621 feet subsea, as you can see there.

18 From this point, the crest of the reef can be followed
19 around dipping at about 1 degree. Approximately miles east
20 of that point, the crest of the reef dips below water-oil
21 contact in the Abo formation which was determined by
22 the engineering committee to minus 2665 feet subsea. The
23 heavy dashed line is the unit area which was approved by
24 USGS as being a proper area for unitization of the Abo
25 formation.

1 The dashed line most easily seen on the north side
2 is the engineering committee's determination of the zero
3 net pay in the Abo reefe.

4 O Now, refer to exhibit 5 and explain what this is.

5 A Exhibit 5 is a plat of the various production variables
6 normally plotted for any reservoir versus with the variables
7 themselves plotted on the vertical scale and time encountered
8 being on the horizontal scale with the production increments.
9 Actually the most, as you can see by looking at the example,
10 the most important figure to the income as related to it
11 is the daily oil rate. And this is the heavy curve down
12 here which happens to be labeled "Daily Oil" strangely
13 enough.

14 And as you can see, back during the low allowables
15 in the middle '60's that rate for the entire, this is for
16 the entire Abo, Empire-Abo pool as it says on the top,
17 this rate was kicking along at 15 to 16,000 barrels a day.

18 O The numbers are in the thousands, are they?

19 A Right. I'm sorry. The vertical scale on the left is in
20 thousands per day. So you can see that, for example, this
21 15 over here on the left means 15 thousand barrels per day.
22 And the 20 means 20 thousands. And there by each individual
23 line division between 15 and 20 would represent a thousand
24 barrels a day of production. So as I was saying, you
25 kick along here; and, of course, this field has been a

1 field that has had a great deal more capacity than the
2 allowables. And as you can see in the middle '60's 15 to
3 16 thousand barrels a day and the market demand began to
4 pick up.

5 The Commission upped the New Mexico Allowables. You
6 can see the Empire-Abo's rate going right up. If you
7 plot an allowable curve to the state of New Mexico, it will
8 be parallel to this thing right here. Moving on out to
9 current times, I might say that just happened at the time
10 we plotted this curve. We didn't have January's data.
11 The curve shows that we are, I'm still on the oil rate
12 curve. It shows that we are producing at the end of the
13 year 1972 approximately 25,500 barrels per day from the pool
14 as a whole.

15 Moving up one curve, you find that cumulative oil
16 curve. This is the increased oil production in the
17 original first production back in November, 1957, to
18 1-1-72. And you see that as, I mean, 1-1-73. And you see
19 as of 1-1-73 approximately 89.5 million barrels of oil had
20 been produced from the reservoir.

21 Q Do you have any later figures on that?

22 A Well, we do have January which, you might imagine, is about
23 the same as December. Allowable stayed the same. It's
24 25,625 barrels of oil per day. I might mention the water
25 at this time is plotted on the low slide line down toward

1 bottom, daily water production, so labeled.

2 And in January that production is 25,036 barrels of
3 water per day which amounts to about 9 per cent of the
4 water-oil combined production. That amount of production
5 to 2-1-73 represents 23.4 per cent of the original oil in
6 place.

7 Moving up to the next curve of cumulative gas, you see
8 that along with this oil production we have had gas
9 production, of course. And our cumulative gas production
10 as of the end of '73 is 118 billion cubic feet. The curve
11 on the white is in, well, it's again, it's in millions of
12 barrels of oil for the cumulative. And it is in billions
13 of cubic feet for the gas cumulative. So we have produced
14 almost 90 million barrels in this curve of oil and the
15 118 billion cubic feet of gas through the year of 1972.

16 If we move on up to the curve that is plotted across
17 the top, this is as indicated on the left margin, this is
18 your reservoir pressures, points per square inch on the
19 vertical scale. Plotted it is the heavy line as indicated
20 by words "Reservoir Pressure." 2355 is the point back
21 here in November of 1957 at the beginning of production.

22 The last pressure survey taken in July of 1972 was
23 1,418 PSI, again plotted far over here to right from the
24 middle of 1972. The other curve which we haven't yet
25 discussed is the gas-oil ratio curve which again is shown

1 on up here with the Reservoir Pressure curve. The gas-oil
2 ratio curve is read over here in the right margin. Gas-oil
3 ratio is cubic feet per barrel of oil. I think you can
4 see that in that early days it was average perhaps, 1,100
5 cubic feet per barrel. That had been a gradual increase
6 in the pool to the gas-oil ratio. However, it's been
7 holding pretty steadily in the last few years and currently
8 is averaging 1,300 cubic feet per barrel and 1,500 cubic
9 feet per barrel.

10 Q Now, have the working interest owners formed an engineering
11 committee in connection with the study of unitization in
12 this area?

13 A Yes, sir. They certainly have.

14 Q When was that formed?

15 A That was formed at a working interest owner's meeting in
16 October of 1967.

17 Q What was the purpose of the formation of this committee?

18 A The primary purpose charged to the engineering subcommittee.
19 Actually there were two primary purposes. First, to
20 determine the proper area to be unitized. And second,
21 to work up a number of parameters which would be suitable
22 as a basis for the working interest owners and to negotiate
23 possible participation in a possible future unit.

24 Q Over what period of time did the engineering committee meet?

25 A It met in work sessions virtually continuously for anyone

1 who wanted to go from about November of '67 until just
2 before a report, just before July of, August of '68.

3 Q Was the engineering--

4 A Nine or ten months.

5 Q Did they formulate a report by that time for the working-
6 interest owners?

7 A That's right, which included a recommended unit area and,
8 of course, a number of parameters.

9 Q What procedure did you follow then in getting the working-
10 interest owner's representatives together?

11 A A meeting was called, of course. We had the address list
12 as complete as--. Of course, Amoco, I'm saying, was
13 ramrodding at this point, although Arco was working closely
14 with them. But there was a complete address list of all
15 working-interest owners that we could find in any way,
16 shape or fashion; and they were notified as a matter of
17 routine of all engineering meetings and all working-interest
18 owners meetings.

19 Q What was the purpose of these meetings between the
20 engineering committee or subcommittee and working-interest
21 representatives?

22 A Well, it was to simply present the work that the engineering
23 subcommittee had completed and then to stand back out of
24 the way and let the working-interest owners work with them.

25 Q Did they approve at one meeting or did it take a number of

1 meetings?

2 A No. I think, well, actually the negotiations -- are you
3 leading up to this point?

4 Q Yes.

5 A Real negotiations didn't begin until both major operators
6 here had completed their reservoir feasibilities studies
7 which actually was sometime around early December of 1971,
8 I believe. No, December of 1970, I'm sorry. Then awhile
9 back, December of '70 was when actually various
10 negotiations began to the working interest owners.

11 Q What was the combination of the negotiations?

12 A Combination after a vote on some 56 different formulas
13 were a favorable vote of about 87 percent of the Phase 2
14 ownership on a formula which at that time was called
15 Formula 47, because it happened to be Number 47 in the
16 sequence that we looked at. So at this point it was a
17 decision of the group, at least the majority, that it was
18 time to move ahead then in the direction of seeking
19 USGS and State Land Commission approval.

20 Q In other words after numerous meetings and proposals of
21 about 56 different formulas 87 percent of the working
22 interest owners did approve the formula which was finally
23 adopted?

24 A That's correct. And that is the formula which we are
25 offering for the basis for unitization here today.

1 Q Now, what was your next step that was taken by the working-
2 interest owners or the engineering committee?

3 A Well, of course, this meeting now was in July of '71, I
4 believe; and we had the vote at the meeting; but this
5 needed to be ratified by signed ballots. And this
6 always takes a while so --

7 Q And you circulated this?

8 A We circulated the ballots, and we got back 6 from those
9 who had voted yes, you know. I forget, a couple of months,
10 maybe two or three months. At this point then we were
11 ready to go to the U.S.G.S., and then we did with our
12 application.

13 Q Did you have numerous conferences with the U.S.G.S.
14 officials?

15 A Beginning some time there in the mid-fall of 1971 and
16 continuing until August of 1972, we had numerous conferences
17 with the engineering staff and other personnel of the
18 U.S.G.S. in Roswell, with their supervisory personnel
19 in Washington, D.C., also.

20 Q Then you did file an application with the U.S.G.S. for
21 designation of the area as proper and suitable for
22 unitization and for approval of the form of Unit Agreement
23 and also the participation formula?

24 A That's correct. And after, I might say, very exhaustive
25 studies by the U.S.G.S., they did send us in August of

1 '72 the approval you have that has previously been entered
2 into evidence by Mr. Embry?

3 Q Exhibit Number 2?

4 A Exhibit Number 2, right.

5 Q How long did it take the USGS in their study before they
6 approved the participation formula?

7 A Well, it was approved by the letter of August of '72.

8 Q Approximately how many months after it was submitted?

9 A After the first application.

10 Q Yes.

11 A I believe we officially submitted the application in
12 November of '71, although we had talked to them informally
13 about it before then. So it's from November, I'll say,
14 November 21; but I don't guess it makes any difference. I
15 think that's what it was, though.

16 Q Approximately ten months?

17 A Oh, it was sometime early in August when we actually got
18 the letter.

19 Q Was the form of the Unit Agreement and the formula also
20 submitted to the Commission of Public Lands for approval?

21 A Yes, it was.

22 Q Now, during all of this period of time were the working
23 interest owners kept informed of what was going on and
24 the steps that were being taken?

25 A Yes. They were. There was correspondence any time we felt

1 that some significant event had occurred. We informed the
2 working interest owners.

3 Q Now, the tract participation formula is set forth in Section
4 13 of the Unit Agreement. Would you refer to that and
5 explain it briefly?

6 A That's on Page 10. Okay. If you are looking at it, it
7 looks like -- Page 10, Dick.

8 MR. STAMETS: Okay.

9 A Okay. Page 10. Now, this looks like as I was going to say,
10 this looks a little bit complicated; but it really isn't.
11 Phase 1 covers the first 11,000,000 barrels produced after
12 the unit effective date. And it's simply 75 percent
13 current production and 25 percent future primary as
14 predicted by the Numeric Models Studies. That's Phase 1.

15 MR. STAMETS: Now, would you repeat that for me so I
16 can get it down here?

17 THE WITNESS: 75 percent current production and 25
18 percent future primary as predicted by Reservoir Numeric Model
19 Studies.

20 MR. STAMETS: Okay. Thank you.

21 Q (By Mr. Hinkle) Okay. Phase 2 which looks like it's got
22 a lot of stuff in there can really be summarized as being
23 33 1/3 percent original oil-in-place and the rest which is
24 66 2/3 percent is future reserves as predicted by Reservoir
25 Numeric Model Studies.

1 MR. STAMETS: Future reserves under any particular
2 tract?

3 WITNESS: Each tract.

4 MR. STAMETS: Under each tract?

5 WITNESS: Of course, yes. That's it.

6 Q Now, in your opinion is the formula fair and equitable in
7 the interest of conservation, prevention of waste, and will
8 tend to protect correlative rights.

9 A Yes, sir. It certainly is.

10 Q Now, Section 11 of the Unit Agreement provides for a plan
11 of operation which is to be approved by the working-interest
12 owners and the supervisor of the U. S. G. S. and
13 Commissioner of Public Lands and this Commission. Refer to
14 Exhibit 6 which is the plan of operation and explain briefly.

15 A Page 1 is simply letter directed to the people who have to
16 approve this plan of operation which happen to be the
17 district supervisor of the U. S. G. S. over in Roswell,
18 Mr. Armijo, who is the Commissioner of Public Lands, Mr.
19 Ray Graham, Director of Oil and Gas Department of the
20 Commission of Public Lands, and then the State of New
21 Mexico Oil Conversation Commission, Mr. Al Porter, and
22 then the working-interest owners.

23 And the letter is a cover letter stating that this is
24 the "Initial plan of operation, Empire-Abo unit, Eddy
25 County, New Mexico," And, "in compliance with Section 11

1 of the Unit Agreement, Empire-Abo Unit, Eddy County, New
2 Mexico, Atlantic Richfield Company as unit operator on
3 behalf of itself and the other participating working
4 interest owners, hereby submit for your approval a Plan
5 of Operations to cover the period beginning with the
6 effective date of the Unit Agreement and extending through
7 the remainder of Calendar Year 1973."

8 The next page which would be the third page starts
9 with the Initial Plan of Operation, Empire-Abo Unit. The
10 first paragraph here is history in background to the project
11 area. And I might call your attention to the attached plat,
12 Exhibit 1; and we will flip back here, if you will, flip
13 back to that exhibit. Now, these are just strictly exhibits
14 on the Plan of Operation. They don't have any relationship
15 to the overall series of exhibits here for the hearing.
16 Other than that, they are a part of Exhibit 6 here.

17 I will state what this is, and this is and this is
18 as I stated over here in the legend in the lower right-hand
19 corner, it is the unit boundary and all the individual
20 tracts within the full unit as approved by the USGS. It
21 shows each tract in its boundary and its tract number
22 corresponding to the exhibit in the Unit Operating
23 Agreement.

24 The little added features here are location of the
25 Empire-Abo Gasoline Plant which is in the south half,

1 northeast quarter of Section 3, Township 17, I mean 18
2 South, 27 East, Section 3. That's the Empire Gasoline
3 Plant.

4 The Phillips Gasoline Plant is shown located down in
5 the southeast corner of Section 7, 18 South, 28 East.
6 Then also shown in this map are, by the shaded triangles,
7 the specific wells into which we plan to inject gas into
8 the gas cap of the Empire-Abo Reservoir. And there happens
9 to be 8 of those wells shown on this map.

10 Okay. Moving on down to Page 3 of the Plan of
11 Operation, we see dropping on down its discussion about
12 the general characteristics of the Abo Zone geologically
13 and structurally speaking. We might point out Exhibit 2
14 which happens to be the type log which Mr. Embry referred
15 to earlier which is in the Unit Agreement.

16 Let's flip over here back behind the map and we find
17 Exhibit 2 which is the Amoco Production Company State AU
18 Number 1 Well. This is a gamma ray neutron radio activity
19 line log, and there you see up near the top log the base
20 of the Drinkard at 5,325 minus 1,784. And on down here at
21 the bottom, we find of the Wolfcamp at 6,533 or minus 2,992
22 subsea. That is Exhibit 2.

23 Moving on to Paragraph 2 of the Initial Plan of
24 Operation, this covers current production, future recovery.
25 We have discussed that pretty much already. Doesn't seem

1 to be any point in repeating it. There is a little more
2 information in there. Paragraph 3 now is the basic
3 concepts. Now, I'm over on page 4. Paragraph 3 is the
4 basic concepts. "A. Field production history and Reservoir
5 Numeric Models Studies have demonstrated that reservoir
6 recovery is governed by a gravity drainage mechanism. With
7 unitization, the operator will be able to maximize beneficial
8 effects of this most efficient recovery mechanism by
9 careful observation of well performance and shutting in
10 or curtailing production from inefficient wells.

11 Paragraph B. Injection of plant residue gas will act
12 toward pressure maintenance and orderly control of
13 expansion of the secondary gas cap."

14 These are the concepts by which we will do our best
15 to operate this reservoir, this unit area. Paragraph 4
16 covers the special rules that we are going to request.

17 Q Go ahead and explain what the special rules are that you
18 are proposing.

19 A Paragraph 4 "Special Rules. A. Unit Allowable. Starting
20 on the effective date of the unit, the unit will receive a
21 unit allowable, calculated so that Unit Area reservoir
22 voidage will not exceed average daily reservoir voidage rate
23 for 1972." Let me see. Where am I? "This will result in
24 an increase from current 23,600 BOPD to about 30,000' BOPD
25 for the Unit Area."

1 Then --

2 MR. MORRIS: Excuse me, Mr. Examiner. Are there copies
3 of this Plan of Operation available? We don't have one. We
4 haven't seen one of these. It's hard for us to follow the
5 testimony.

6 MR. HINKLE: We have got one other one here. Here is
7 one, Dick.

8 MR. MORRIS: Thank you.

9 A The second step, then, to the allowable would be effective
10 with the start of gas injection. At this point we would,
11 the unit area allowable would be 40,192 barrels of oil
12 per day. Reservoir Numeric Model Studies demonstrate added
13 recovery and no reservoir waste at this rate.

14 We would then have a provision to produce the unit
15 allowable. This is under B. This would be for B. "To
16 produce the unit allowable from the most efficient wells
17 without restriction. The only exception will be where a
18 unit producing well directly offsets a non-unit well."

19 Paragraph C would be a "Provision that if any unit
20 well is located within 660 feet of a non-participating
21 tract on which is located an Empire-Abo producing well,
22 such unit well will be allowed to produce no more than
23 two times normal unit allowable for the Empire-Abo Pool."

24 Section 4-D then would be "Provision for administrative
25 approval of additional injection wells, or changes in

1 injection well locations."

2 Moving ahead to part 5 which covers our operating
3 Plans for 1973, "Initially gas injection will be into
4 the Abo Gas Cap," in the same 8 wells that we just looked
5 at over on Exhibit 1. And they are enumerated here.
6 Okay. Attached Exhibit 3, flipping back to our exhibits
7 here to the plan of operation again, Exhibit 3. If you have
8 got it, there happens to be a Gamma Ray Neutron
9 Log of the Atlantic Richfield M. Yates "B" (ARC) Well
10 No. 8 which is one of the injection wells shown in Exhibit
11 1.

12 This shows reef top and reef base, and we would
13 intend to inject gas into this well building in the
14 upper part of the section. Exhibit 4 now right behind
15 Exhibit 3 is generally the same well, and this a schematic
16 diagram of the mechanical system in the wellbore itself
17 that we would have to inject this gas. This is typical
18 of all injectors as far as the mechanical set up is
19 concerned.

20 Moving back over to page 5 to the last paragraph,
21 we would expect or we anticipate maximum gas injection
22 volume into all these 8 wells we just saw on Exhibit 1
23 to be no more than 7 million cubic feet a day. In terms
24 of reservoir space fill up, this is equivalent to over
25 60,000 barrels of water injection per day.

1 Plans are to pick up the residue gas from the outlet
2 side of the two gasoline plants at about 700 pounds per
3 square inch and compress it to 2,000 pounds per square
4 inch for injection. The gas will contain hydrogen sulfide.
5 And super-hydration facilities are planned in order to
6 minimize possible corrosion.

7 Q How did you arrive at this first step and the second step
8 in the project allowable?

9 A The first step allowable of about 30,000 barrels of oil
10 per day is based on the fact there will be no more
11 voidage at that rate than there was from the unit area
12 as an average in 1972 on our primary operation.

13 Q In other words, that was the same voidage as in 1972?

14 A That's correct. The same voidage though more barrels of
15 oil are being produced.

16 Q Now, what about your second step of 40,192 barrels?

17 A This is based on the numeric model studies which show
18 not only no waste at this kind of rate, but increased
19 recovery.

20 Q Now, how do you propose to allocate the project allowable?
21 In that connection, you can refer to Exhibit no. 7. Okay.
22 Refer to Exhibit 7 and explain what this is and what it
23 shows.

24 A Exhibit 7 is our method of well-by-well allocation and
25 credit for net reservoir voidage in determination of the
~~allowable. The heading and the first six columns on the~~

1 first page, and by six columns I mean the columns with
2 the little numbers up here at the top, 1 through 6, they
3 actually include a number of subcolumns within most of them,
4 numbered columns, but at any rate those columns to the left
5 of column 7, I'll say, and that's the easiest way to look
6 at it, are exactly like other pressure maintenance project
7 forms that are presently in operation under this
8 Commission's rulings now, such as the Vacuum Abo, for
9 example, Phillips Vacuum Abo.

10 So it's simply a statement of well tests in the month
11 we are basing the thing on, which happens to be a
12 hypothetical month of the future, after we are injecting
13 gas, March, 1974. Then we have in Column 5 average
14 production, and then column 6 gas injection. So these,
15 as I say, are very much the same as others.

16 Now, the voidage calculations begin on column 7 through
17 11, and they simply reflect voidage in allowable values.
18 This is true of both pages one and two. Now, you get
19 through over here to the well count on page 2 and you will
20 see twenty wells and wonder about that. And, of
21 course, the reason for that is that we are dealing with
22 a hypothetical sample here, a 20 well sample of that will
23 be hopefully a 210 to 220 well unit area.

24 Every attempt was made to scale this sample in scale
25 with the reservoir; but, of course, it had to approximate

1 by necessity. Nevertheless, the attempt was to reflect
2 the types of wells that are in the reservoir at the present
3 time, but I want to emphasize that these are not real
4 tests. This is a hypothetical production, because we
5 haven't got through March, 1974 yet. We will get there, we
6 hope.

7 Okay. And then you move on over. That's the first
8 two pages, and then you move over to the last three pages,
9 1, 2, 3. And some of you, I'm sorry, will not have the
10 very last page which is a table of fluid properties versus
11 reservoir pressure, but we will get them to. That's just
12 a foul up on our part, but any way those last three pages
13 are simply, they simply show how we arrived at the voidage
14 values that are over here on pages 1 and 2.

15 So under this allowable plan, the project area
16 reservoir voidage I want to emphasize will be reduced to
17 less than half of the current primary reservoir voidages.

18 Q Now, refer to Exhibit 8 and explain what this is and what
19 it shows.

20 A Well, Exhibit 8 would try to throw a little more color
21 into the proceedings here. Christmas red and green.
22 This is the same map that we looked at back over here
23 on one of the earlier, well, I guess it was Exhibit 4,
24 the very same structure map, the same unit outlined and so
25 forth; but it does now have the 8 injection wells as the
red triangles, the same 8 wells we looked at in

1 Exhibit 1 on the plan of operation on, I believe, Exhibit
2 6 a while ago.

3 Q Why were the injection wells located as you have shown
4 them on this presentation?

5 A Well, of course, there are a number of factors you have got
6 to consider. Of course, our intent here in what we are
7 going to do is put this down in the Gas Cap. So that was
8 number 1. We want to distribute it as equally as possible
9 to maintain pressure as much as we can throughout the
10 reservoir.

11 So the attempt is to distribute the wells
12 volumetrically over the reservoir.

13 Q And the Gas Cap is toward the north border of the reservoir?

14 A Well, the Gas Cap is over the whole structure virtually
15 and along the whole rest of the reef and and back to the
16 back reef. And these wells are located, of course, in
17 the Gas Cap. This was a primary consideration. You
18 have got to consider permeability, injectivity, are you
19 going to be able to get gas in the wells, and then
20 naturally, and this is why the green tracts are on here.

21 These green tracts are the same tracts that Mr. Embry
22 had on his map being those tracts that we have now reason
23 to believe likely will be in the unit. Naturally, we do not
24 want to damage in any way these tracts; and, therefore,
25 we are locating our injection wells as you can see by
looking at Exhibit A at least two locations away.

1 which will not participate in any unit, and in some cases
2 three locations away.

3 Q Do you have anything else with respect to this exhibit?

4 A No, that's all I have on that.

5 Q I refer to Exhibit Number 9. I might state that Exhibit
6 Number 9 is a diagrammatic sketch of each of the 8 injection
7 wells, and we have just numbered it as 1 exhibit. Refer
8 to Exhibit 9 and explain what it shows.

9 A Exhibit Number 9. What you are looking at there at the
10 first, this is a packet which has the mechanical diagram of
11 each of the wells, each of the injectors. This shows how
12 we will complete these wells, the equipment we will have in
13 the hole, the mechanics of completing them here. On all
14 these wells, they are all the same on. So unless someone
15 wants to, I'll not go into detail on each of these.

16 Q The only reason for having a separate diagram is that
17 perforations are at different depths, the cementing and
18 so forth is different in each well?

19 A That's correct.

20 Q Now, refer to Exhibit 10 and explain it.

21 A Exhibit 10 again is a packet which includes the Gamma Ray
22 Neutron Log on each of the injection wells that we just
23 had in the packet of diagrams in the mechanical setup.
24 And it's pretty well self-explanatory so I'll say no more
25 about that.

1 Q In your opinion in completing these injection wells in
2 the plans which have been indicated, will it confine the
3 injection of gas to the Abo reef formation?

4 A Yes, sir. We intend to make every effort to see that gas
5 stays in the Abo reef.

6 Q Now, refer to Exhibit 11 and explain what this is and what
7 it shows.

8 A On Exhibit 11 the heading states that it's Empire-Abo Pool,
9 future recovery projections as they affect State of New
10 Mexico Leases. There are several vertical columns, several
11 horizontal lines on the left. For example, starting with
12 the very first line, we see what variable we are dealing
13 with. In this case, it's pool ultimate oil recovery as
14 a per cent of the original oil in place.

15 Moving to the first column immediately to the right of
16 the definition there, we find a 45.0, and that is the per
17 cent of the original oil in place which the pool will
18 recover or the total unit area will recover under
19 competitive natural depletion, non-unitized.

20 Then the second operational method one step to the
21 right, residue gas injection unitized which is what we are
22 proposing. We are under this method of operation. The
23 increase for the pool will go from 45 per cent of original
24 oil in place to 52.9.

25 Looking over in column 3 which is labeled Advantage Of

1 Unitized Case over non-unitized case, we find a plus
2 7.9; and that's simply the difference or the incremental
3 increase in terms of percent of the original oil-in-place
4 some are 45.0 in primary to 52.9 in residue gas injection.

5 The next column deals with pool total reserves after
6 7-1-73. And there is barrels of oil. And you see that
7 there are numbers here that indicate under competitive
8 natural depletion future recovery would be 79 million
9 barrels of oil. This is from the pool as a whole. Under
10 residue gas injection, that recovery goes up to 109
11 million barrels. This, of course, corresponds to this 52.9
12 percent of original oil-in-place or this increased recovery
13 due to residue gas injection shown in Column 3 of
14 approximately 30 million barrels of oil.

15 Now, we move from the pool to the figures in the first
16 two horizontal lines down in the State Leases Gross
17 Reserves after 7-1-73, barrels of oil. So the first
18 column which is 60 million 700 plus thousand barrels, this
19 states the gross share of that 79 million figure directly
20 above it. This is what the State would recover after
21 7-1-73 under primary continued competitive operation.

22 And moving 1 Column over to the right we see that if
23 the State, if we form a unit here, State Leases gross
24 reserves increase from 60.7 million to 77.7 million. Now,
25 this is an increase as shown in Column 3 of almost

1 17 million barrels gross reserves in increase to the State.

2 Moving down to the next line then, this is simply a
3 figuring calculation of what the State's 12 1/2 percent
4 net royalty share of that gross figure up there on the
5 line above would be under each of these same conditions.
6 And we see then that under competitive natural depletion,
7 the State's net royalty oil would be about 7.6 million
8 barrels after 7-1-73. If we unitize and go ahead their
9 share of net with our gas injection case, their share
10 of the net, their net royalty share, is 9.7 million or
11 an increase of in excess of 2.1 million barrels of oil
12 net to the State royalty from unitized residue gas
13 injection.

14 All right, the next line down then simply gives the
15 dollar value to the State of these net royalty reserves
16 after 7-1-73 at a price set over here of \$3.81 a barrel.
17 We see that moving to the column to the right under primary
18 that 7.6 million barrels of oil that the State would net
19 is worth 28.9 million dollars. Under secondary, that
20 9.7 million barrels net royalty oil to the State is worth
21 37 million dollars.

22 In other words, in the last column to the right you
23 see a gain in dollars to the State of approximately 8.1
24 million dollars from the residue gas injection over
25 continuation of primary operation. The last line merely

1 shows that the future life after 7-1-73 under competitive
2 natural depletion is expected to be 26 years. Under our
3 residue gas injection operation, it would be predicted to
4 be 24 years.

5 The note below simply shows what interest, what state
6 interest in the unit formula the reserves above were based
7 on. Phase 1, the state's gross interest will be about
8 69.6 per cent that covers the first 11 million barrels
9 after unitization. Then in Phase 2 the state's interest
10 builds up to 71.5 per cent and continues at that point until
11 depletion.

12 The bottom note states that the calculated oil loss
13 for each year's delay due to starting unit operation and gas
14 injection at a lower reservoir pressure is in excess of
15 2 million barrels of oil loss, forever, I might add, per
16 year delay. The State of New Mexico's share of this
17 loss interest, I want to emphasize that's deferred income,
18 that's loss. The State of New Mexico's share of this loss
19 is 2 million barrels times their weighted average interest
20 times royalty interest is 183,000 barrels of oil reserves
21 lost net to the state royalty for every year's delay in
22 formation of this unit.

23 The last line simply multiplies that 183,000 barrel
24 number by the price of oil per barrel of \$3.81 to come out
25 with approximately 695,000 dollars loss to the state

1 for every year's delay in unitization of this reservoir.

2 Q Now, refer to Exhibit 12 and explain this.

3 A This is, Exhibit 12 again, we are talking about the
4 State. We are talking there about the potential rate
5 benefits to New Mexico State Lands Leases by unitization
6 as we are proposing here today. Under the pool total
7 requested top allowable, the unitized State rate Phase 1
8 under the Phase 1 participation, 29,253 barrels per day.

9 The non-unitized primary, in other words, State rate
10 at the current rates, 25,600 barrels per day times the
11 current State share of that rate, 17,615 barrels per day.
12 And the next line down simply subtracts 17,615 from
13 29,253, and we find that the State Lease rate gained by
14 unitization from continued primary into Phase 1 is 11,638
15 barrels of oil per day net gain. Well, that's gross gain
16 to the State.

17 Okay. Now, to get the net royalty gain, we multiply
18 that 11,638 figure by .125; and we find a net royalty gain
19 to the State as shown here of 1,455 barrels of oil per day.

20 And the next and final column we simply multiply that
21 3.81 dollars a barrel and we find that the net gain moving
22 from primary into Phase 1 of the Unit Agreement to the
23 State is 5,544 dollars per day. And I might emphasize,
24 as we saw in Exhibit 11, that the State's interest increases
25 in Phase 2 so that we would expect the State's gain

1 primarily to be somewhat greater than \$5,544 per day.
2 And after those first 11,000,000 barrels are produced,
3 then we move into Phase 2.

4 Q So every day that is lost in putting this into effect,
5 they are going to lose over \$5,000 a day as far as the
6 State is concerned?

7 A That's right. They defer that. They lose \$182,000 a
8 year as Exhibit 11 said, per year's delay.

9 Q Now, Exhibits 11 and 12 relate to the State's interests.
10 Have you made a study as to the overall gain that will
11 be effected by reason of unitization?

12 A Well, yes, of course.

13 Q All right. What do you anticipate will be the total
14 ultimate recovery they will gain over the primary?

15 A Thirty million barrels of oil approximately.

16 Q Over what period of time will this be produced?

17 A Over the next twenty-four years as was mentioned in one
18 of the previous exhibits.

19 Q Now, in the event the Unit Agreement is approved and the
20 participation formula is approved and the project
21 allowable, in your opinion will this be in the interest
22 of conservation, the prevention of waste, and tend to
23 protect correlative rights?

24 A Yes, sir. It certainly will.

25 Q Do you have anything else you would like to add?

1 A No, sir. I do not.

2 MR. HINKLE: We'd like to offer into evidence
3 Exhibits 4 through 12.

4 MR. STAMETS: Are there objections to the entrance
5 of these exhibits? They will be admitted into evidence.

6 MR. HINKLE: That's all of the Direct.

7 MR. STAMETS: There will be a 15-minute coffee
8 break at this time.

9 (Whereupon, the hearing was held in recess from
10 2:40 P.M. until 2:50 P.M.)

11 MR. STAMETS: The hearing will come to order, please.
12 Are there questions of this witness?

13 CROSS-EXAMINATION

14 BY MR. MORRIS:

15 Q Mr. Christianson, concerning your Exhibits 11 and 12
16 where you made a projection of future recovery for the
17 State Lands involved in this unit --

18 A Yes, sir.

19 Q -- did you make any similar studies with respect to
20 individual tracts or tracts owned collectively by the
21 various companies that are participating in the, excuse
22 me, not participating necessarily but have acreage within
23 the unit?

24 A Some studies, yes, sir, of various tracts. Right.

25 Q And have you made studies of this sort with respect to

1 those tracts and companies that at this point are non-
2 consenting interests in the unit?

3 A Yes, some of them, right.

4 Q Did you make a study of this sort with respect to the
5 tracts that are owned by Signal Oil and Gas Company?

6 A Yes. I've got, of course, we looked at two or three
7 different things with them, right. Sure did.

8 Q Now, on your Exhibit 11 and 12 where you show the future
9 recovery projections for the State, if you made a similar
10 study with respect to the Signal Oil and Gas Company
11 tracts, would it show a gain or a loss?

12 A Relative to what?

13 Q Well, the same relative considerations that you made on
14 your Exhibits 11 and 12.

15 A Well, let me, as a matter of fact, of course, we do have
16 a study. Now, let me see. I guess I'm not clear on
17 your question. Relative --

18 Q My question is this: You have made a rather detailed
19 study here of future recovery projections as they affect
20 the combined State of New Mexico leases.

21 A Right.

22 Q And obviously you have presented this to show the State's
23 relative position, as you interpret it here, as where you
24 compare the non-unitized production against what the
25 recovery would be under the Unit Plan of Operation. And

1 I'm simply asking you if you had made a similar study
2 with respect to the two leases that are owned by Signal
3 Oil and Gas Company?

4 A Yes. Let me give you a few answers from that, if you
5 will. Okay.

6 Q That's what I want.

7 A All right. First of all, Signal State E-1 and State M-1
8 combined, that's the total Signal interest; am I correct?

9 Q Yes, sir.

10 A Now, the original oil-in-place on that twin forty-acre
11 tract that has two wells on it is 892,082 barrels from
12 the Engineering Committee study. The cumulative oil
13 actually produced from that tract from those two wells
14 on that tract from the beginning to February 1st, 1973,
15 happens to be 870,688 barrels of oil. This is actually
16 oil measured in the tanks.

17 Q Mr. Christianson, excuse me. Let me interrupt you a
18 moment.

19 A That happens to be 97.6 percent of Signal's original oil-
20 in-place that you have produced up to February 1, 1973.
21 That's the first thing in our study. You want me to go
22 ahead with the rest of it?

23 Q Mr. Christianson, you are not answering my question, sir.
24 I am asking you the question, please. Have you made a
25 similar determination as shown on Exhibit 11 with respect

1 to the Signal tracts? The first consideration shown on
2 Exhibit 11 was what the State tracts would produce under
3 competitive natural depletion, that is, non-unitized
4 production.

5 A Yes, I am getting to the answer of your question in
6 fullness of the whole consideration. I think the
7 Commission needs to hear the whole thing, not just your
8 specific question which I will answer as I move on down
9 this study. It will come. You'll hear it, but first
10 of all --

11 MR. STAMETS: Mr. Christianson, in the interest of
12 time here, I think it would be better if you would answer the
13 attorney's specific questions; and then if your counsel has
14 something on Redirect, you can cover those points at that time.

15 THE WITNESS: I see. Okay.

16 Q (By Mr. Morris) All I'm asking, Mr. Christianson, is if
17 you have made a study that would produce for the Signal
18 Oil and Gas Company the same type of figures that you
19 have shown here in your three columns on Exhibit 11. The
20 first consideration being what recovery Signal would
21 expect to get under your studies under non-unitized
22 operation. And then make a comparison from that to what
23 Signal would receive under the Unit Plan of Operation.

24 A Okay. Let's see now. Your total ultimate primary
25 recovery or your primary recovery, let me get my numbers

1 straight here. Let me say your total ultimate recovery,
2 I'll state it this way. Your total ultimate recovery
3 from primary to wells, from primary all the way through
4 including your ultimate recovery as predicted by our
5 Numeric Models --

6 Q Yes, sir.

7 A -- that happens to be, you want me to give you that
8 number?

9 Q Yes, sir.

10 A It is 273.2 percent of your original oil-in-place. Now,
11 in barrels if you want that, your total ultimate primary
12 recovery is 2,429,300 barrels. After subtracting, let's
13 see, well, let's take your cumulative to February 1st,
14 '73, or let's take it to 7-1-73, which I believe was the
15 way the State was figured.

16 Okay. Your predicted primary recovery, I think this
17 is after two Numeric Model Studies, your recovery after
18 7-1-73, and that's comparable to what we talked about
19 for the State, and this is your gross working interest
20 recovery, is 174.5 percent of your original oil-in-place.
21 Now, in terms of barrels, now, this is under primary
22 production with your tract located advantageously as it
23 is on one of the two wells or two of the lowest
24 structural wells in a gravity drainage reservoir which
25 means as these recovery numbers I've already shown in

1 terms of percent original oil-in-place which means that
2 you, under competitive depletion, will continue to drain
3 oil from all the tracts up.

4 Q Mr. Christianson, if you will please answer my very
5 simple question. All I have asked you is to please give
6 me in terms of barrels what according to your study
7 would be the remaining production of Signal Oil and Gas
8 Company tracts if the field is not unitized.

9 A Well, that 174.5 percent of your original oil-in-place
10 which you will produce if the field is not unitized from
11 7-1-73 to abandonment under primary is equivalent to
12 approximately 1,559,000 barrels of oil.

13 Q Okay. We finally got there. One million five hundred
14 and fifty-nine thousand barrels?

15 A Right.

16 Q All right. Now, if the field is unitized effective
17 7-1-73, what would Signal's production in barrels be
18 under both Phases 1 and 2 of the proposed Unit Agreement?

19 A Well now, keep in mind these are estimated numbers,
20 because we don't know exactly how much oil is going to be
21 produced to 7-1-73; and, of course, the engineering
22 predictions are subject to some degree of inaccuracy.

23 Okay. Let's see. We are saying now, what was the
24 question? I'm sorry. What was the question?

25 Q The question was simply, Mr. Christianson: Under the

1 proposed Unit Participation both Phases 1 and 2
2 according to your calculations, what would be Signal Oil
3 and Gas Company's production in barrels?

4 A If they joined the unit?

5 Q Yes, sir, if we joined the unit.

6 A Your total recovery now, see, my problem, I'll have to
7 subtract. Your total ultimate recovery would be, if you
8 join the unit, would be 2,147,000. Now, this is under
9 the formula. So if we subtract from that, take that
10 number, your production to 7-1-73 which is 914, is
11 estimated to be 914,000 barrels approximately, we get,
12 what do we get? We get that you would get under unitized
13 operation, now I want to, okay. You'd get 2,233,000
14 barrels of oil after 7-1-73 if you joined the unit.

15 And I want to amend, I'm sorry; but I made a wrong
16 calculation when I said you would get 1,559,000 after
17 7-1-73. That's after 2-1-73. I should have subtracted
18 your estimated cumulative to get these two numbers on an
19 equal basis.

20 I should have subtracted 914,000 barrels instead of
21 the 870 that I did in fact subtract. So your previous
22 number that I gave you is in error, and I'm sorry. Okay.
23 That's 1,514,000 barrels.

24 MR. STAMETS: Mr. Christianson, I've heard so many
25 numbers here that I'm fully lost. Let me get a couple here I

1 can hang the hat on. You predicted under primary conditions
2 Signal's ultimate recovery of 2,429,300 barrels of oil.

3 THE WITNESS: That's right. If this unit is ever
4 formed, their recovery to 7-1-73 plus their recovery after
5 7-1-73 under primary operation would be this total number.

6 MR. STAMETS: Their share of the unit production
7 plus what they had before unitization would come to 2,147,000
8 barrels?

9 THE WITNESS: Right. A total ultimate recovery
10 primary to 7-1-73 plus unit recovery is 2,147,000 barrels.

11 MR. STAMETS: You are talking about a loss there of
12 around 300,000 barrels?

13 THE WITNESS: I don't define that as a loss.

14 MR. STAMETS: Difference in numbers of a minus
15 300,000 barrels?

16 THE WITNESS: If the reservoir is no longer going to
17 be produced under the conditions under which Signal has had
18 this advantageous drainage position, then you can't really talk
19 about that as being a loss.

20 MR. STAMETS: Okay. I'm clear on this.

21 Mr. Morris, do you have some more questions?

22 MR. MORRIS: Yes, sir.

23 Q (By Mr. Morris) Without characterizing it one way or
24 another, Mr. Christianson, there is a difference between
25 the two figures of approximately 300,000 barrels? That

1 is the difference of 7-1-73 into the future being the
2 difference in what Signal would produce if no unit is
3 formed compared to what they would produce if a unit is
4 formed and Signal joined it. Is that a fair statement?

5 A Yes, sir. If the reservoir were to continue under
6 primary operations, competitive operations as they now
7 exist and the rules were to continue as they are now,
8 in other words, the rules that have been in operation
9 designed as they are for a general-type reservoir
10 situation, simply don't quite cover a gravity drainage
11 type recovery situation.

12 Q Now, the rules have been --

13 A Therefore, if you continued to enjoy your advantageous
14 drainage position, you would recover this amount of oil.

15 MR. STAMETS: Mr. Christianson, if you could make
16 your answers somewhat shorter, I certainly would appreciate it.
17 Like I say, these things can be brought out in Redirect.

18 THE WITNESS: I see. Okay.

19 Q (By Mr. Morris) Mr. Christianson, this pool has been
20 produced under the General Rules and Regulations of the
21 Commission governing oil production?

22 A Yes, sir.

23 Q And under the form unit allowables for this department.
24 Now, your Unit Plan of Operation actually would
25 accomplish a complete change of Proration Formula, would

1 it not?

2 A We are applying it only to the Unit Area, the Project
3 Unit Area.

4 Q But that is your intent by unitizing the field as a
5 whole would be to change the allocation method as to
6 all wells in the unit based upon this Participation
7 Formula that is proposed in the Unit Agreement?

8 A Yes. You mean each operator or working interest owner
9 would participate on that basis of what's in the Unit
10 Formula as far as this Phase 1 and Phase 2 procedure?

11 Q Yes. In other words, your Unit Participation Formula
12 would supersede the allocation formula that is presently
13 provided by the General Rules and Regulations of the
14 Commission?

15 A No, I don't think. The unitization doesn't. It merely
16 sets out whatever one's interest is in the total oil
17 provided from the unitized or project area.

18 Q Is each working interest owner being asked to contribute
19 a certain amount of capital to the unit operation based
20 upon its equity ownership in the unit?

21 A Yes, sir.

22 Q What is the total unit capital requirement?

23 A Well, for the overall project, now keep in mind that
24 this is just, I'm not a, I'm a Reservoir Engineer, not
25 a Production Engineer. I'm no expert on costs.

1 Q Approximately?

2 A But it amounts to about a 3.3 million dollar additional
3 cost of unitized operation over primary operations, in
4 that range.

5 Q It's about three and a half million?

6 A Well, when it boils down at the end, it may be different
7 from either one of those numbers, but that's
8 approximately right.

9 Q And each operator would be expected to contribute its
10 share of capital to the unit?

11 A Yes, sir.

12 Q So in other words, Signal in addition to the difference
13 in oil production that we were discussing a minute ago
14 comparing continued primary and unit operations, in
15 addition to that difference that Signal would suffer it
16 would also be expected if it joined the unit to
17 contribute capital to the unit; is that correct?

18 A That's correct. They would be expected to contribute
19 capital, but let me point out that their share, their
20 immediate share of right in the unit would be greater
21 than their current primary rate. So that in terms of
22 pay out that capital, I'm certain, would be paid out
23 because your rate could go up.

24 You got, I don't know the exact figure. I've got it
25 here someplace, but it would go up. Your rate goes up

1 from its current amount of barrels a day to something
2 greater than that. For example, if you want to figure
3 it out, you can figure it out.

4 Q I didn't ask you that question.

5 A Well, your rate will go up and you will pay out your
6 increased investment relative to time.

7 Q Mr. Christianson, in all the 56 formulas that were
8 considered by your operating group, was any formula
9 ever considered that would in effect hold harmless some
10 of the edge tracts such as the Signal tract that would
11 allow them to at least participate in the unit on a
12 basis that would return to them the amount of oil that
13 they would otherwise expect to receive on continued
14 primary conditions plus something in addition to cover
15 their capital contribution to the unit?

16 A Well, 56 formulas were considered. Signal voted yes on
17 a few. I don't remember which ones. I think they were
18 the ones that had 100 percent remaining primary in them
19 or roughly that, but I'm not going to, I don't want to
20 answer that question in the sense that the way you
21 stated it.

22 You said was any formula considered that would hold
23 harmless. What is your definition of harmless? Harmless
24 relative to what? In my opinion, the Unit Formula holds
25 Signal harmless relative to their fair equity in the

1 reservoir.

2 Q Even though they would lose some 300,000 barrels of oil?

3 A They would be unable to continue to drain the other
4 tracts as they are now draining them, or let's say,
5 their drainage would be reduced, I'm afraid, if not
6 limited.

7 Q I'd like to talk about your Plan of Operations a minute,
8 Mr. Christianson.

9 A Yes, sir.

10 Q Do you have a provision in your Plan of Operations that
11 would restrict the production from any well in the unit
12 that is a direct offset to a well located outside of the
13 unit?

14 A Yes, sir.

15 Q Now, what was the purpose of restricting those wells?

16 A Restricted wells that are direct offsets to non-
17 participants?

18 Q Yes. What was the purpose of that?

19 A Well, really it is in line with what the Commission has
20 done in other partial-pressure maintenance or pressure
21 maintenance projects.

22 Q All right. But what is the purpose of restricting? As
23 I understand your Plan of Operations, the wells would be
24 able to produce unrestricted within the unit, but the
25 wells that would be located as direct offsets, the non-

1 unit wells, would be restricted to twice a top unit
2 allowable. What is the purpose of restricting those
3 wells?

4 A Really, it was in line with what other pressure
5 maintenance units had done, and we didn't mind it or
6 object to it. So we said, "Okay. We will restrict the
7 direct offsets to twice normal allowable."

8 Q Obviously, Mr. Christianson, it's a protection to the
9 well outside the unit so that you won't be creating a
10 big pressure sink or coning water or damaging the non-
11 unit well; isn't that the obvious purpose for such a
12 restriction?

13 A Let me point out that we will be reinjecting 70 percent
14 of our produced gas in the unit, and I don't know if you
15 have run any voidage calculations, but our 284-barrel-
16 a-day offset, you won't be avoiding as much net
17 reservoir space as your 142-barrel-a-day will be. And
18 the pressure drop goes in the direction of the well
19 that's voiding space.

20 Q As far as you know, there is no reason for that
21 restriction other than this is what has been in other
22 Unit Agreements? You don't have any engineering basis
23 for it?

24 A That's right.

25 Q Would excessive production from any well cause the

1 prospect of water cone in this area?

2 A I honestly don't know. Our Model Studies didn't really
3 indicate that, no.

4 Q You ran those studies to observe the effects of
5 production and the rate of production on water coning
6 because there is a water problem here; is there not?

7 A Well, there is in some edge wells, yes. That's right.
8 As a matter of fact, I might add that under unitized
9 operation not having to worry about maintaining a
10 competitive position with offsets as the operator in the
11 primary has to do, the unit would be able to control the
12 situation.

13 That is, if a well that belonged to the unit was
14 producing at a rather high rate and began to give
15 indications that water was coning in, we would be of no
16 necessity to compete particularly with any offset tracts.
17 Therefore, we would be able to reduce that oil rate and
18 produce it from a well which had no water coning problem,
19 was in the thick oil column away from the water-oil
20 contact.

21 So this is the whole purpose for unitizing this
22 reservoir to gain the flexibility. If we see a well
23 that is inefficient, we can shut that rascal in and
24 transfer its voidage. This is the whole purpose of
25 forming the units, that we are not going to be forced to

1 produce a well coning water at a higher rate in order to
2 compete with our neighbor.

3 We have got flexibility. We can move that oil
4 production around in the place where the oil column is
5 the thickest maximized recovery from this reservoir.

6 MR. MORRIS: I have no further questions.

7 MR. STAMETS: Are there other questions of this
8 witness?

9 CROSS-EXAMINATION

10 BY MR. KELLAHIN:

11 Q Mr. Christianson, you have set out the Participation
12 Formula in the Unit Agreement. Is it the policy to
13 admit all tracts solely on the basis of this formula?

14 A Is it the policy to what?

15 Q Admit the various tracts. Do they have to come in under
16 this Participation Formula or do you make any adjustment
17 in the participation from one tract to another?

18 A Not at this very meeting. Now, I don't know if someone
19 perhaps at some date could.

20 Q I'm talking about in the tracts joining the unit as of
21 today. They come in under this formula; is that correct?

22 A That's right.

23 Q And you don't make any adjustment from one tract to
24 another in order to induce somebody to come in?

25 A Not today.

1 Q How about tomorrow?

2 A Maybe not ever, but we don't know, but our position is
3 no.

4 Q That would call for an amendment of your Unit Agreement,
5 wouldn't it?

6 A I think so, yes. I mean, the participations are set.
7 They have been approved by the USGS. I didn't really
8 understand your question, I'm sorry. The USGS has
9 approved these participation factors and so have the
10 working interest owners.

11 Q In your Phase 2, you have 33 1/3 percent original oil-
12 in-place and 66 2/3 future reserves. How were these
13 figures arrived at for each tract?

14 A Yes, sir.

15 Q How did you arrive at those figures? I don't mean the
16 percentage. I mean, how did you arrive at the amount of
17 oil that would be attributed to each tract?

18 A To each tract? Well, basically the Engineering Committee
19 as a group studied the reservoir and determined this
20 oil-in-place. That is, representatives from all
21 operators who were interested and asked to participate.
22 We had a great volume of various types of data. We
23 analyzed it and came up with these values.

24 Q Now, you did use a Reservoir Model Study, did you not?

25 A Not to determine the original oil-in-place, no, sir.

- 1 That was entirely independent.
- 2 Q How about your future reserves, your 66 2/3 figure?
- 3 A Oh, yes. Oh, yes.
- 4 Q Who made that study?
- 5 A Amoco made a study and Arco made a study.
- 6 Q They are the owners of some 60 percent of the unit?
- 7 A Correct. Right.
- 8 Q Now, do you have the reserve figures on each individual
- 9 tract available here?
- 10 A Yes.
- 11 Q Would it come under Phase 2?
- 12 A You mean, what reserve? I've got the fraction which I
- 13 can multiply. I have some. Go ahead. Which tract?
- 14 Q Well, I would like to have the figures on Amoco's Number
- 15 71 and Arco Number 37-D. Do you have that?
- 16 A Amoco's Number Tract 71?
- 17 Q Yes, sir.
- 18 A You mean the remaining reserves that they would --
- 19 Q Well, their participation on the Phase 2, whatever it
- 20 might be.
- 21 A I don't really have that number as such. I suppose I
- 22 could take Phase 1 and Phase 2 participations for those
- 23 tracts and multiply by the recovery.
- 24 Q Well, you did give them a participation, did you not,
- 25 those two tracts?

1 A Of course, yes. They got a participation, and it's
2 shown in Exhibit C of the Unit Operating Report or Unit
3 Operating --

4 Q Neither one of them has a well on it, does it?

5 A I don't know. Let's look. You are probably right, but
6 I don't understand. Let me see. Let's see what tracts
7 you are talking about. Okay. Can you give me the
8 location?

9 Q I don't have any plats, Mr. Christianson.

10 A You don't have a copy of the Unit Operating Agreement?

11 MR. STAMETS: I believe 71 is in Section 31. They
12 are both in 31, in the south half of the northeast quarter of
13 31.

14 THE WITNESS: South half of the northeast quarter of
15 what?

16 MR. STAMETS: Thirty-one. Eighteen, twenty-seven.
17 It looks like 18, 28.

18 THE WITNESS: Yes, Amoco C. Okay. There is 71.
19 Now, 37-D. Where is that rascal? There is 37-C and D. Well,
20 let me look in the report here. I know what these are. I
21 mean, it's just a question of finding it right there. They
22 are edge tracts that had a little original oil-in-place.

23 MR. STAMETS: They are both in the south half of
24 that northeast quarter. One is the southwest and the other is
25 the southeast.

1 THE WITNESS: Thirty-seven?

2 MR. STAMETS: Of 31.

3 THE WITNESS: That's 57 from the southwest quarter,
4 northwest quarter. Are you talking about 37 or 57?

5 Q (By Mr. Kellahin) Thirty-seven D is the one I was
6 talking about.

7 A That happens to be located in the southeast of the
8 northeast of Section 31. So, well, we can go back to
9 the first, very first exhibit and see why those tracts
10 were given some participation.

11 Q Could you tell me this? Wasn't there a well drilled on
12 each of those tracts plugged and abandoned?

13 A Yes, sir. That's right. They are shown on the map.

14 Q Dry holes?

15 A Right, but let's look at, I mean, we want to find out
16 where the exhibit --

17 Q Well, you can come to that later when your attorney asks
18 you the questions. I'd like to go on to another.

19 MR. STAMETS: I'd like to get to whatever point Mr.
20 Kellahin is trying to make.

21 A They were given original oil-in-place and original oil-
22 in-place is in the Phase 2 Formula; and therefore, they
23 got participation because there is a little bit of oil-
24 in-place under a corner of each one of these tracts.

25 Q Do you know whether or not they actually got more credit

1 under Phase 2 than Penroc's Tract 56 did?

2 A No, I don't. You mean individually or the two tracts
3 together or what?

4 Q Each tract individually.

5 A No. I don't know whether they did or not.

6 Q Well, your exhibit would show it, would it not?

7 A Oh, yes. Exhibit C of the report, we can look and see.
8 I presume you have got the numbers or you wouldn't be
9 asking. Are you referring to Tract 56 for Penroc?

10 Q Yes. The well on that tract according to my figures is
11 making 135 barrels a day.

12 A That's correct. You mean, are you referring to that well
13 that is deviated down into the corner of the Section B
14 130 feet from the south line and 150 feet from the east
15 line?

16 Q I haven't any idea.

17 A I think that's the well you are referring to.

18 Q I don't know what that has to do with the question. It
19 is making 135 barrels a day, right?

20 A That's right. I just wanted to make sure we were talking
21 about the same well.

22 MR. STAMETS: Let's go off the record.

23 (Whereupon, a discussion was held off the record.)

24 MR. KELLAHIN: If the Examiner please, I think the
25 witness has said his exhibit will show the allocations to each

1 one of these tracts; and I'll refer to that and make no
2 further questions.

3 A Okay. The allocation of Tract 56. You want me to put
4 that in --

5 Q I'm through asking questions, Mr. Christianson. I am
6 through. You don't need to answer anymore questions.

7 MR. STAMETS: Are there other questions of the
8 witness?

9 CROSS-EXAMINATION

10 BY MR. STAMETS:

11 Q Mr. Christianson, a wide variety of engineering problems
12 and results have been described here; and many times
13 they refer to Numeric Models.

14 A Yes, sir.

15 Q And of course, these covered and number these exhibits.
16 Let me qualify here one point. You as a Professional
17 Reservoir Engineer, are you in agreement basically with
18 the various calculations associated with the Numeric
19 Model?

20 A I certainly am, yes, sir.

21 Q And you are in agreement with the estimates of additional
22 recovery and so on?

23 A Yes, sir.

24 Q Okay. You are familiar with the Numeric Model calculated
25 allowable of 40,192 barrels a day from the Unit Area will

1 not be harmful to the reservoir and will in fact be less
2 harmful than the current allowable; is that correct?

3 A Yes, sir. It will. In fact -- You want me to be
4 responsive to that at all?

5 Q No. I think that that's a sufficient answer there. I'm
6 somewhat concerned about wells located higher on the
7 structure here and whether or not these tracts will be
8 drained. I'm talking about non-participating tracts now,
9 whether these tracts will be drained earlier and will
10 actually lose production by the plan that you have
11 proposed here with injecting gas high to the structure
12 and withdrawing oil lower to the structure.

13 A Let me say first that we are locating our injection wells
14 subsea. Let's see. You have the exhibit that has the
15 injection wells in green tracts on it. So you can see,
16 I think we are locating the wells well away from any
17 tracts that we feel will be outside the unit. We are
18 also --

19 Q You don't think the higher rates of withdrawal will have
20 any effect on these non-participating tracts?

21 A The higher rates of withdrawal will not, no, because we
22 are not, well --

23 Q Referring to Exhibit Number 8 again in Section 6,
24 Township 18 South, Range 26 East, in the northwest
25 quarter of the northeast quarter there is a well

1 identified on this exhibit as Shelton, et al.

2 A You are on which exhibit? I'm sorry.

3 Q Well, Exhibit Number 8. I think practically any of the
4 pool exhibits will catch that well.

5 A Now, will you lead me back to that well?

6 Q It's in the northwest quarter of the northeast quarter
7 of Section 6, 18 South, 28 East.

8 A The northeast quarter of the northeast quarter.

9 Q Northwest of the northeast.

10 A Oh, yes. All right. Mr. Shelton's.

11 Q Right.

12 A That's right. Yes, sir.

13 Q And according to this Exhibit Number 8, that is one of
14 the non-participating tracts?

15 A We believe that's probably true, yes, sir.

16 Q That's surrounded by edge participating tracts?

17 A Yes.

18 Q Okay. Conceivably each one of these tracts could have
19 a well on it providing twice the current top allowable?

20 A That's right.

21 Q Under that situation, will oil be drained from Mr.
22 Shelton's tract and he be deprived of producing, or his
23 chance to produce the oil-in-place under this tract?

24 A No.

25 Q This is based on the --

1 A Not, there will be no deprivation due to producing 284
2 barrels a day from these wells. Would you like me to
3 answer why or would you rather I not?

4 Q Well, yes, in just a second. Let me ask one more
5 question first. Have you made an analysis such as --
6 Never mind. Tell me why.

7 A You have to get your orientation away from, you know,
8 we look, most of what we look at are solution gas drive
9 reservoirs, right? And I will agree with you that the
10 recovery there is very sensitive to rate, and this is
11 the way our rules have been set up; but what we are
12 talking about here is a gas-oil contact which moves
13 down structure. And this is what determines the recovery
14 from a well.

15 First, the movement of the cap down structure is
16 what finishes off a well, because what we have got here
17 is a reservoir that is well communicated both vertically
18 and horizontally. Okay. Now, as a further corollary of
19 this in terms of just simply voidage straight out,
20 voidage per well, because the unit is reinjected 70
21 percent of its produced gas.

22 On the average, it's voiding much less spurtage per
23 well at 284 barrels a day than is an offsetting well
24 producing at 142, because essentially we are reducing
25 net voidage from unit wells by this reinjection of 70-odd

1 percent of the produced gas. Of course, the people that
2 stay out of the unit are not participating in this, and
3 they are not sharing in the expenditures, anything like
4 this; but it will be the gas-oil contact which will gas
5 out Mr. Shelton's well, not what we produce immediately
6 offsetting him.

7 Q Now, you have shown on one of these exhibits twenty-six
8 year life under primary production, twenty-four life
9 under this unitized program.

10 A Yes, sir.

11 Q You think it will be practical to operate this unit for
12 twenty-four years?

13 A This is actually, well, I don't know. This is a twenty-
14 four year total life. We assumed operation throughout.
15 In other words, we ceased operating when we no longer
16 could pay operating expenses in our projects. There
17 was abandonment conditions.

18 Q I just wondered how much this might affect the ultimate
19 recovery and the ultimate additional recovery in here if
20 after ten years the economics of the situation
21 deteriorated and you ceased to produce it this way. How
22 much of this extra 30,000,000 barrels of oil would still
23 be in the ground on recovery?

24 I didn't make myself clear on that. Let me
25 describe what I mean. In order for you to recover the

1 full 30,000,000 barrels that you foresee here, you have
2 made this calculation based on operating the unit to
3 depletion, the twenty-four year life of the field. How
4 much of this extra 30,000,000 barrels is produced in those
5 last years where it might reasonably shut down because
6 of economics. It might get too expensive to operate.

7 A Actually very little. One or two percent, but the fact
8 is we didn't shut it down till it became uneconomical.
9 Can I discuss a little bit how this thing will go, I
10 mean, how our model projections and our reservoir studies--

11 Q Yes. I'd like to have that information.

12 A Well, essentially what you do, you start replacing, well,
13 you reduce voidage by 60 percent or so because you are
14 reinjecting 70 percent of your produced gas, you see.
15 That gas reduces the voidage from the reservoir. The
16 effect of the reduction in voidage is to flatten the
17 pressure decline.

18 In other words, the pressure is declining with time,
19 as one of our earlier curves showed it. This curve will
20 flatten in slope after you start injecting this gas and
21 in fact it will happen virtually immediately to some
22 extent. Okay. You go along and you continue to produce
23 under unitized operation from the most efficient wells,
24 the wells located where the oil column is the thickest.

25 You continue to do this throughout the life. You

1 allow the gas cap then to move uniformly down structure
2 displacing this oil that is draining down to the low
3 structure wells continually. At some point, and it's
4 very near the end of the whole project, your gas-oil
5 ratios get so high that it's uneconomic to continue
6 injecting gas.

7 You are just producing too much gas because you have
8 gradually moved your gas cap down until it's gassing out
9 the very lowest structural wells. At this point, you
10 have swept with your gas injection. You have allowed
11 to drain down structure oil. You are at blow-down.
12 That's what Reservoir Engineers call it.

13 And so you blow the reservoir down to a pressure as
14 low as you can get it. And as long as gas is coming out,
15 you are selling that gas. And so you continue to
16 produce it right on down to a very low pressure. You
17 deplete the reservoir in other words. But by this time
18 your relative permeability situation is such that you are
19 producing virtually all gas, you see, and very little oil
20 continues to drain at this time.

21 Anyway, of course, the 30,000,000 barrels is a
22 result of a calculation which projected this type of
23 performance; and we would never abandon the reservoir
24 until we were probably down to an extremely low pressure,
25 because we would still be making money.

1 Q I believe that answers the question I had in mind.

2 A Okay.

3 Q I believe you indicated you did not use the model for
4 calculations of oil-in-place; is that right?

5 A That's right. That's strictly determined from log
6 analysis, core data, everything we could lay our hands on
7 by the Engineering Committee as a group with all
8 companies who wish to participate being represented by
9 engineers and geologists working together to come up
10 with this.

11 MR. STAMETS: Are there other questions of this
12 witness? He may be excused. Mr. Hinkle, does that conclude
13 your testimony?

14 MR. HINKLE: I believe it does. That's all we have
15 to present.

16 MR. STAMETS: I believe we had another witness
17 sworn. You are not going to put him on?

18 MR. MORRIS: No.

19 MR. STAMETS: Are there any other appearances in
20 this case? Does anybody wish to put on testimony? We will
21 call then for statements.

22 We have got a whole flock of telegrams. Let us
23 read those first and then everybody can get organized while
24 we are doing that.

25 MR. CARR: The text of all of these are virtually

1 the same. I will read one and read the names of those who
2 sent us the various wires. It reads, "As a working interest
3 owner on State-owned lands in the Empire-Abo Field, I object
4 to the formation of the unit under the present participation
5 factors. My interest and the State's royalty would be
6 reduced approximately one-half under the proposed factors."
7 It is signed Edward Egbert.

8 We have also received them from Hanover Planning,
9 Incorporated; Hanagan & Hanagan; Penroc Oil Corporation; Monroe
10 Roberts; W. V. Roberts; B. W. Broaddus; J. F. Pritchett;
11 Clarence H. Albaugh; John C. Ryan; Jean Blanc and James Blanc;
12 Bruce Clampton; Joe D. Denton; and F. M. Late Oil Company.

13 And also, Walter Crockett, Bill J. Rogers, and
14 Cactus Drilling Corporation.

15 MR. STAMETS: Mr. Kellahin, I believe you stood for
16 a statement.

17 MR. KELLAHIN: If the Examiner please, Jason
18 Kellahin, Kellahin & Fox, Santa Fe. I entered my appearance.
19 I'm representing Cities Service Oil Company, Samedan Oil
20 Corporation, Penroc, C & K, Fred Turner, and V. P. Shelton.
21 Needless to say my clients are less enchanted with the
22 Participation Formula than are Arco and Amoco. And while we
23 do not object to the formation of the unit and we eventually
24 feel that such a procedure is necessary, we do object to the
25 Participation Formula.

1 Cities Service Oil Company operates 11 wells on
2 seven leases in the proposed Empire-Abo unit.

3 Cities Service is not opposed to unitization nor to
4 the proposed pressure maintenance project. As of this date,
5 Cities has not committed any of its operated leases to the
6 unit but believe certain safeguard rules should be included
7 in an order to protect the non-unitized leases.

8 Cities feels that it is the duty of the Oil
9 Conservation Commission to protect correlative rights of the
10 non-unitized leases and offers the following: Number 1. No
11 producing wells direct or diagonal offsets to non-unit wells
12 should produce more than a normal forty-acre allowable for
13 the field unless the operator of the non-unit well signifies
14 no objection by waiver and the transfer of additional allowable
15 be approved by the New Mexico Oil Conservation Commission.

16 Number 2. Injection wells should be located at
17 least two regular locations from a non-unit lease unless the
18 operator of the non-unit lease indicates no objection by
19 waiver and the injection location is approved by the New Mexico
20 Oil Conservation Commission.

21 I believe there is one of Arco's witnesses who
22 testified that this is the procedure that they propose to
23 follow, but we would ask that it be included in the order.

24 Samedan Oil Corporation signed by the other
25 operators whom I am representing feel that they would suffer a

1 serious loss by joining this unit.

2 If Samedan Oil Corporation were to join the proposed
3 Empire Abo Unit, it would suffer both loss of ultimate and
4 current income. Samedan's interest in the proposed Unit is in
5 Tracts 49 and 79 as shown on Exhibit "B" of the Unit
6 Agreement (1-1-72). Atlantic Richfield's study indicates the
7 following: Tract 49, Samedan-Walker State No. 1, Royalty
8 Owner - State of New Mexico, had primary oil reserves on 1-1-73
9 of 400,379. Tract 79, Chambers & Kennedy-Abo No. 1, Royalty
10 Owner - State of New Mexico, had primary Oil Reserves in 1-1-73
11 of 404,385. These are Atlantic Richfield's remaining primary
12 oil reserves (1-1-71) less 1971 and 1972 oil production.

13 Samedan's share of this forecasted reserve is
14 347,652 barrels of oil.

15 Samedan's share of the unitized reserve under the
16 proposed participation is 335,946 barrels of oil which includes
17 the company's share of the predicted 30.1 million barrels of
18 incremental secondary oil.

19 Samedan would be required to invest \$20,615.00 in
20 the unit operation to recover 11,706 less barrels of oil.

21 Phase I is defined as the first eleven (11) million
22 barrels of oil produced after the effective date of the Unit.
23 According to the updated Engineering Report furnished by
24 Atlantic Richfield on November 21, 1972, Phase I will have a
25 duration of 9.5 months. We estimate our two (2) wells to be

1 top allowable for another 3.75 years before commencing decline.
2 During this 3.75 year period Samedan will lose 47,882 barrels
3 of oil by joining the Unit.

4 Therefore, Samedan has no incentive to join this
5 Unit and wishes to register opposition to its formation under
6 the formula that has been adopted.

7 The quality of the reef pay varies widely across
8 the length of the reservoir as depicted by the thirteen (13)
9 bands that were used in the model studies. Permeability, or
10 the capacity to produce, ranges from 12 to 195 millidarcies
11 from west to east. It is noted that forty-seven percent
12 (47%) of the total tracts and thirty-eight percent (38%) of
13 the productive tracts inside the Unit outline are not capable
14 of producing top allowable as set out in the annual "Report of
15 the New Mexico Oil and Gas Engineering Committee" for the
16 Calendar Year of 1971. The majority of the future productivity
17 must come from an area between the west edge of Section 2,
18 Township 18 South, Range 27 East and the Center of Section 25,
19 Township 17 South, Range 29 East. Allowable transfers will
20 hasten the recovery from this area as migration of oil continues.
21 Anyone owning an interest in a well in this area not receiving
22 sufficient incentive to join the proposed Unit could not
23 protect their correlative rights with the increased withdrawals
24 due to allowable transfer. Likewise, normal migration of oil
25 would be severely altered resulting in loss of ultimate oil

1 recovery by a non-unit well.

2 Further damage would be experienced if gas
3 injection were permitted in the vicinity of a non-unit well due
4 to gas coning. This gas coning concept was developed in the
5 Engineering Report in arriving at maximum safe oil producing
6 rates as well as predicted future oil reserves.

7 We ask that this Commission give due consideration
8 to approving the items of recommendation set out below as
9 protection to those Royalty and Working Interest Owners not
10 having sufficient incentive to join the proposed Unit.

11 We make the following recommendations:

12 1. All unit wells which directly or diagonally
13 offset any non-unit well, all of which are producing from the
14 same common source of supply, be restricted to produce an amount
15 of oil equal to the top well allowable.

16 2. Top unit allowable shall be equal to the sum of
17 the individual unit well allowables providing the allowable
18 assigned to any well which is shut-in, which allowable is to
19 be transferred to any well or wells in the unitized project area
20 for production, shall in no event be greater than its ability
21 to produce during the final 24-hour period of a 72-hour test,
22 or greater than the current top well allowable for the pool
23 during the month of transfer, whichever is less.

24 3. The injection of gas into any unit well not be
25 permitted within 2,640 feet in any direction from the boundary

1 of any non-unit tract.

2 4. The following be made a provision and included
3 as part of the Commission Order: If it is apparent, as
4 pointed out by any non-joining party, that correlative rights
5 are not being protected, that the Commission agree to consider
6 what other measures are necessary for such protection.

7 I think that states the position of a number of non-
8 participating operators in this pool; and as read off by Mr.
9 Carr, I believe there were some 18 that have seen fit to file
10 telegrams on this. And I ask that the Examiner give
11 consideration to these objections.

12 MR. MORRIS: If the Examiner please, Signal Oil and
13 Gas Company also recognizes the desirability of unitizing this
14 pool. We find ourselves in the position of being opposed to
15 unitization in its present form and under the Unit Participation
16 Formula as proposed in the presently proposed Unit Agreement
17 as presented here today by Atlantic Richfield. For this
18 reason, we are opposed to the Commission's approval of the
19 unit or of the pressure maintenance project at this time.

20 We think it apparent that the correlative rights
21 of all operators in this pool have not adequately been
22 considered in the proposed Allocation Formula. We believe this
23 is very obvious through the admission finally of Atlantic's
24 witness that the interests of Signal Oil and Gas Company under
25 the proposed Participation Formula would be 300,000 barrels of

1 oil less than what Signal could expect to receive from
2 primary production continued ununitized.

3 We think as a minimum, we should be allowed to
4 join a unit under a Participation Formula that would allow us
5 to at least produce that which we would be entitled to produce
6 under continued primary operations. We would observe that
7 Atlantic has not provided the Commission with any evidence
8 concerning the extent of the correlative rights of the various
9 operators involved in this proceeding, and we submit that the
10 Commission does not have sufficient evidence in the record
11 before it upon which it can approve the proposed Unit Agreement
12 and pressure maintenance project, because it is the Commission's
13 duty to protect correlative rights. And there is no evidence
14 in the record to define what the correlative rights of the
15 parties are.

16 Should the Commission determine to approve the
17 Unit Agreement, we concur with the recommendations that were
18 read by Mr. Kellahin on behalf of Samedan Oil Corporation, his
19 recommendations 1, 2, 3, and 4. Thank you.

20 MR. LOSEE: Mr. Examiner, I earlier appeared for
21 Yates Petroleum Corporation and its related interests. At
22 this time, they have not ratified the Unit Agreement; and they
23 hold approximately 5 percent of the Participation Formula under
24 Phase 1 and Phase 2. Yates does not oppose the unitization in
25 principal, but at this point in time a problem remains unsolved

1 to which we would like to call the Commission's attention.

2 Arco conducted a study which found that it would be
3 more economic for the working interest owners to unitize the
4 field without gas injection than it would be with gas injection.
5 The requirement or the proposal here to inject gas into the
6 reservoir through seven or eight wells is a requirement of the
7 United States.

8 The problem arises by virtue of the fact that the
9 two gas plants in the area, one, the Abo Plant, owned 50 percent
10 by Arco and 50 percent by Amoco, who are 64 percent interest
11 owners in the unit; and they take two-thirds of the gas
12 presently from the unit; and the Phillips Plant takes the
13 balance.

14 Under existing contracts each of these plants are
15 only required to deliver residue gas for repressuring at
16 somewhere between 15 and 25 pounds, although these plants do
17 operate at and can deliver the residue gas at 700 pounds without
18 any further compression. Now, although Yates has brought this
19 matter to the attention of the Unit Operator in an effort to
20 find a solution to get a satisfactory contract or a proposal
21 whereby the unit takes over the Abo Plant, at this point in
22 time, no solution has been offered. There is no protection
23 for the other working interest owners who have committed their
24 interest that gas for repressuring can be furnished at a
25 reasonable price.

1 Until this protection is offered or a solution is
2 found for this problem, Yates will not be in a position to
3 ratify the unit.

4 MR. STAMETS: Are there other statements? Mr. Landis?

5 MR. LANDIS: If it please the Examiner, the working
6 interest owners of the Empire-Abo Field have worked together
7 now voluntarily and diligently for a period of five and one
8 half years to provide a depletion program for this reservoir
9 of highest order of conservation. The Amoco Production Company
10 supports Atlantic Richfield Company's application in these
11 efforts and urges this Commission to speedily approve the
12 project as presented here today in the interest of preventing
13 waste of the reservoir and increasing ultimate recovery. Thank
14 you very much.

15 MR. STAMETS: Are there other statements?

16 MR. HINKLE: I think that all of the telegrams that
17 were read and all of the protests that have been here represent
18 the owners of the 7 percent which are shown on Exhibit A in
19 green which is 21 forty-acre tracts and consists of 840 acres.

20 Now, as Mr. Landis has pointed out, this has taken
21 a long time to get this unit together. And the evidence shows
22 that there were some 56 formulas considered, and every
23 opportunity was given to the representatives of the working
24 interest owners to participate in these meetings and to reach
25 an agreement. This is a large unit, contains 11,339 acres and

1 it would be a miracle really if you could get all of the owners
2 to agree 100 percent.

3 I think they have done real well to get the owners
4 to agree as far as they have. As the evidence shows, it's
5 anticipated that as a final result there will be approximately
6 93 percent of all of the acreage committed to the unit. It
7 clearly shows that by unitization there will be an additional
8 recovery of some 30,000,000 barrels.

9 Now, as I see it, the prerogative of the Commission
10 is only to approve the Unit Agreement as a conservation measure
11 and to find that the application for the injection of gas and
12 pressure maintenance is fair and reasonable and will not
13 violate correlative rights. It's not grounds for this
14 approval that some of the parties did not want to join in the
15 unit. That's a privilege which is open in connection with any
16 unit so long as we do not have forced unitization in the State.

17 So this is something they can do or not do. They
18 have an opportunity to join. They have been invited to join
19 and given every opportunity to participate; but if they want
20 to stay out, of course, that's their privilege; but I do not
21 believe that this small percentage of 7 percent should cause
22 the Commission to turn down their approval of the unit and of
23 the pressure maintenance which would in effect commit the
24 waste of 30,000,000 barrels of oil. That's all.

25 MR. STAMETS: Okay. Are there no other statements?

1 We will take the case under advisement.

2
3 REPORTER'S CERTIFICATE

4 I, JANET RUSSELL, a Court Reporter, do hereby certify
5 that the foregoing and attached Transcript of Hearing before
6 the New Mexico Oil Conservation Commission was reported by me;
7 and that the same is a true and correct record of the said
8 proceedings to the best of my knowledge, skill and ability.


9
10 
11 COURT REPORTER

12 I N D E X

13	<u>WITNESS</u>	<u>PAGE</u>
14	BILL EMBRY	
15	Direct Examination by Mr. Hinkle	4
16	Cross-Examination by Mr. Kellahin	10
17	Cross-Examination by Mr. Stamets	11
18	S. U. CHRISTIANSON	
19	Direct Examination by Mr. Hinkle	12
20	Cross-Examination by Mr. Morris	39
21	Cross-Examination by Mr. Kellahin	54
22	Cross-Examination by Mr. Stamets	60

23 E X H I B I T S OFFERED & ADMITTED

24 Exhibits #1 - #3 I do hereby certify that the foregoing in 9
25 Exhibits #4 - #12 a complete record of the proceedings in
the Examiner hearing of Case No. 4952-4953
heard by me on April 25, 1973.


Richard J. Stamets, Examiner
New Mexico Oil Conservation Commission