



1 MR. STAMETS: Case 5117.

2 MR. CARR: Case 5117: Application of Roger C. Hanks  
3 for creation of a new pool and special rules, Eddy  
4 County, New Mexico.

5 MR. CHRISTY: John Christy, of Roswell, appearing  
6 on behalf of the applicant.

7 MR. STAMETS: Are there any other appearances?

8 (No response)

9 MR. STAMETS: You may proceed, Mr. Christy.

10 \* \* \* \*

11 LARRY McINTOSH,

12 was called as a witness, and after being duly sworn according  
13 to law, testified as follows:

14 DIRECT EXAMINATION

15 BY MR. CHRISTY:

16 Q State your name, address, and by whom you are employed,  
17 and in what capacity.

18 A Larry McIntosh. I reside in Midland, Texas. I am  
19 employed as a consultant petroleum engineer.

20 Q Mr. McIntosh, have you previously testified before this  
21 regulatory body and had your qualifications accepted?

22 A I have.

23 Q Are you familiar with the area and the wells involved in  
24 this application and what is sought by this application?

25 A Yes, I am.

1 MR. CHRISTY: Are the witness's qualifications  
2 satisfactory?

3 MR. STAMETS: They are.

4 Q (By Mr. Christy) Now, Mr. McIntosh, what is sought by  
5 the application in Case 5117?

6 A The applicant, Roger C. Hanks, is seeking approval,  
7 designation, and special rules for an area of Eddy County,  
8 New Mexico. This area consists of eight sections,  
9 approximately 5,120 acres, consisting of Sections 24, 25,  
10 and 36 of Township 19 South, Range 24 East. And Sections  
11 18, 19, 30, and 31, Township 19 South, Range 25 East.  
12 And Section 1 in Township 20 South, Range 24 East.

13 Q Is that area depicted on Exhibit One and outlined in  
14 yellow?

15 A Yes, it is.

16 Q Now, you have given us the horizontal limits. What are  
17 the vertical limits?

18 A The vertical limit would be the Cisco Canyon portion of  
19 the Upper Pennsylvanian formation.

20 Q Are there any producing wells producing from the Cisco  
21 Canyon within the proposed area outlined?

22 A Yes. Hydrocarbon production was discovered back in 1964,  
23 and to date, there have been six wells completed, Cisco  
24 Canyon wells within the proposed area.

25 Q Are those shown in red on Exhibit Number One?

1 A That's correct. At the present time, one of these wells  
2 is producing under temporary permit; three of the wells  
3 are shut in and have been for some time, due to the  
4 absence of a gas connection and a salt water disposal  
5 facility in the area.

6 Q Let's identify those wells.

7 A The producing well is the Roger C. Hanks Federal No. 2,  
8 which is in the Southeast of Section 18, 19 South, 25 East.

9 MR. STAMETS: Is that in the Southeast or the  
10 Southwest?

11 THE WITNESS: The Southwest, excuse me.

12 A (Continuing) The three shut-in wells are the Barbara  
13 Federal No. 1, which is in the Northeast of Section 18;  
14 the Roger C. Hanks Stagger Draw No. 1, which is in  
15 Section 30; and the Roger C. Hanks Cathy "R" Fed, which  
16 is in Section 31. These are all in Township 19 South,  
17 Range 25 East.

18 Q Now, there are also two that have ceased to produce.

19 A Yes.

20 Q What are those?

21 A Those are the Atlantic No. 1 Hondo Fed, which is in  
22 Section 24 of 19 South, 24 East. And then we have the  
23 Yates Petroleum No. 1 Foster, which is in Section 1 of  
24 20 South.

25 MR. STAMETS: Are those plugged and abandoned?

1 THE WITNESS: The Atlantic Well is plugged and  
2 abandoned. The Yates is plugged back to the Wolfcamp  
3 gas pipe.

4 Q (By Mr. Christy) What is the approximate time frame in  
5 which these wells have been drilled and completed?

6 A The initial production was established in 1964, November  
7 of 1964, and the first wells were the Atlantic Well in  
8 Section 24 and the Monsanto Hondo Well in Section 31.

9 Q The Monsanto Well is now known as the Cathy Erie?

10 A That's correct. These wells were completed in 1964, and  
11 then the Yates Well in Section 1 was completed in April  
12 of 1965.

13 Subsequently, all three of these wells were abandoned,  
14 the Yates Well being plugged back, and the other two  
15 being plugged and abandoned. There was no additional  
16 development in the area until 1970. At this time, Roger  
17 C. Hanks completed the No. 1 Dagger Draw Well in Section  
18 30. Then in 1971, he re-entered the Monsanto Well, and  
19 recompleted that well.

20 Then he drilled the Barbara Federal No. 1 in Section  
21 18. These wells produced for a few months, and were  
22 then shut in in the latter part of 1971 and the early  
23 part of 1972.

24 There had been no additional activity in the area  
25 until June of this year when Roger C. Hanks completed

1 the Barbara Federal No. 2 in Section 18.

2 Q Now, very briefly, on Exhibit One, I notice there are a  
3 number of other red-marked wells and some green-marked  
4 wells. Would you explain those, please?

5 A On this exhibit, which is the lease plat of the area,  
6 the producing wells in the Cisco Canyon are shown in  
7 red circles while wells that penetrated the Cisco, but  
8 either did not attempt completion or were unsuccessful  
9 with completions, those are shown with green squares.

10 This proposed area is part of a large producing  
11 trend which covers a lot of Cisco Canyon production.

12 We have here (indicating) the Indian Basin Field,  
13 which is a large field just north of the Dagger Draw  
14 Field. Just north of that is the Boyd Cisco Field, which  
15 has one gas well. Over to the left of the map, you have  
16 the Antelope Sink Field, which has one gas well.

17 Q Returning to the area involved in the application, I  
18 would like to ask you if you made a cross section study  
19 of the wells, and I refer you to Exhibit Two.

20 A Yes. Exhibit Two is a cross section which shows the logs  
21 of the producing intervals on each of the six wells  
22 within the area which have produced from the Cisco Canyon.  
23 The Cisco Canyon is composed of a carbonate reef, and  
24 the reservoir rock is described as limestone containing  
25 varying degrees of dolomite. The porous portions of the

1 reef, those which have been found to be productive, are  
2 predominantly dolomite. I think the cross section shows  
3 there are several porosity zones within the Cisco Canyon.  
4 Some of the zones appear to correlate from well to well,  
5 and appear to be continuous, while others do not.

6 Q We have many little stringers within the Cisco Canyon  
7 formation, do we not?

8 A That's correct.

9 Q What kind of pressures do we have on these wells?

10 A We have a very limited amount of pressure data at the  
11 present time, because the wells have been shut in most  
12 of the time. There were some pressures taken back in  
13 1971 and 1972 when three wells were producing. The  
14 bottomhole pressures were taken when the wells were shut  
15 in in November of 1971, and the pressure taken on the  
16 Cathy Erie in Section 31 showed pressure of 2222 PSI at  
17 a depth of 7500 feet.

18 Approximately two months later, the Dagger Draw  
19 No. 1 Well in Section 30, which is more than one mile  
20 from this well, was also shut in, and the bottomhole  
21 pressure taken on this well-- They were unable to get to  
22 the bottom of the well, they stopped at 6200 feet, and  
23 the pressure at that point was 1917 pounds, and we were  
24 not getting fluid.

25 This is the reason we can't accurately project what

1 the pressure on this well would have been at the  
2 reservoir depth. It appears that they would have been  
3 very close together, though.

4 The other well that was producing at that time was  
5 the Barbara Federal No. 1 in Section 18. This well, in  
6 my opinion, is producing from some upper stringers in  
7 the Cisco Canyon not open in these other two wells. It  
8 showed a pressure of 2806 pounds. That was in December  
9 of 1971.

10 Subsequent to that, we do not have any pressures  
11 on any of the producing wells.

12 Q What are the drive mechanisms?

13 A It is my opinion that the predominant drive mechanism is  
14 solution gas drive.

15 Q I notice on your second chart in Exhibit Number Two  
16 reference is made to the Monsanto Hondo No. 1. That is  
17 the same well that was the Cathy Erie, is it not?

18 A Yes, it is. This well was re-entered by Roger Hanks, and  
19 subsequently renamed.

20 Q Now, would you tell us the production to date from the  
21 wells within the area, and may I refer you to Exhibit  
22 Number Three?

23 A Exhibit Three is a tabulation of the oil and water  
24 production from the six wells that have produced from  
25 this area. At the bottom of the tabulation are the totals

dearnley, meier &amp; associates

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 of oil and water for each of the wells through October  
2 of this year.

3 Starting on the left with the Atlantic Refining  
4 Company Federal No. 1, production had been 4168 barrels  
5 of oil before it was abandoned.

6 On the Monsanto Hondo Federal No. 1, we had production  
7 of slightly under 6000 barrels of oil. Roger Hanks then  
8 re-entered this well, and it produced an additional  
9 5759 barrels. At the time the well was shut in in  
10 December of 1971, the well was making 50 barrels of oil  
11 daily, with about ninety-five percent water.

12 The third well, the Yates Petroleum Foster No. 1,  
13 made 6114 barrels of oil before being plugged back.

14 The next well, the Roger C. Hanks Dagger Draw Unit  
15 No. 1 Well, has accumulative production of 22,629 barrels  
16 of oil. At the time this well was shut in, it was making  
17 about thirty barrels daily, with about ninety percent  
18 water.

19 The next well, the Roger C. Hanks Barbara Federal  
20 No. 1, this well had accumulative oil production of  
21 <sup>2511</sup> 25,011 barrels. When it last produced, it was making  
22 about 35 barrels daily, with ninety-six percent water cut.

23 The last well in the tabulation is the Roger C.  
24 Hanks Barbara Federal No. 2. This well has just been  
25 producing since June. From all indications from early

1 production on the well, it is going to be a somewhat  
2 better well than the other wells in the area. The  
3 accumulative production to November 1st was 12,720 barrels  
4 of oil. In October, it averaged about 138 barrels daily,  
5 and was making about seventy-five percent water.

6 Q I gather from your testimony that these wells are not  
7 barn burners?

8 A No, they are not. The production of the wells has been  
9 quite good, but as this tabulation shows, the water  
10 production has been very high. As a result of the high  
11 water percentage, the six wells have accumulative  
12 production of less than <sup>40,000</sup> 6000 barrels of oil. These wells  
13 cost about \$215,000 to drill, and equipped with hydraulic  
14 pumps, it would appear that unless the oil rate on  
15 these wells improve rather drastically, at least five  
16 of the six out there will be unprofitable.

17 Q You mentioned this large amount of water. How is the  
18 water disposed of?

19 A There is a salt water disposal well, which I believe is  
20 this one (indicating).

21 Q That is the one in the Southwest of the Southeast of  
22 Section 6?

23 A No, I believe it's in Section 5 of 20 South, 25 East;  
24 the Northwest corner of that lease.

25 Q There is a salt water disposal well for this large amount

1 of water?

2 A Yes, sir.

3 Q Is this the same salt water disposal well testified to  
4 before this regulatory body in about July or August of  
5 this year under Order R-4637?

6 A Yes, that's right.

7 Q We talked a little bit about the bottomhole pressures.  
8 Do you have any indication as to whether or not these  
9 wells in the producing area are within communication of  
10 each other other than the pressure tests you have  
11 mentioned?

12 A The pressure tests are not entirely conclusive, although  
13 they are indicative of communication between the wells.  
14 Other than that, it is my opinion that they are in  
15 communication because the wells have indicated good  
16 permeability, and each of the wells has at one time  
17 produced a fluid rate in excess of 800 barrels of fluid  
18 per day. Because of this, it is my belief that these  
19 wells probably are in communication and are capable of  
20 draining a rather wide area.

21 Q Would that wide area at this time be as much as 320 acres  
22 for each well?

23 A I believe so.

24 Q I believe the area involved in this application is  
25 presently a portion of the Dagger Draw Upper Pennsylvanian

1 and the Parrish Ranch Upper Pennsylvanian Pools. Do  
2 you have an opinion as to whether or not these are all  
3 one common source of supply?

4 A Yes, it is my opinion that they are.

5 Q Now, let's turn-- I think the application calls for  
6 special pool rules, is that correct?

7 A Yes, this is true.

8 Q What type of GOR, limiting GOR, are you proposing in  
9 the rules?

10 A A limited GOR of 2000 cubic feet.

11 Q What is the present GOR for these wells?

12 A There has been no gas sales from these wells, and we don't  
13 have what we would consider reliable gas volumes available.

14 Q Would you think they would fall within your proposed  
15 limiting rules?

16 A Yes, I do.

17 Q What type of oil allowable would you propose under the  
18 rules?

19 A We are proposing a maximum daily oil allowable of 427  
20 barrels of oil. This would be the normal allowable for  
21 wells drilled on 160-acre spacing in the seven to eight  
22 thousand foot range. Although we are proposing that  
23 320-acre spacing be established here, this allowable  
24 would be adequate for all of the existing wells, and it  
25 would safeguard against any excessive withdrawal if closer

1 spacing should prove desirable at some time.

2 Q Speaking of closer spacing, would you propose these  
3 rules be made permanent at this time, or when would we  
4 take a look-see to see whether or not the GOR and the  
5 320 acres is acceptable?

6 A I propose they be made temporary at this time. As the  
7 wells are produced, some additional pressure information  
8 will be available, and we will be able to determine a  
9 great deal more about the nature of the reservoir.

10 Q For about what? Two years?

11 A I would think that a two-year period should be adequate.

12 Q Do you have an opinion as to whether or not the granting  
13 of this application will result in the prevention of  
14 waste, including economic waste, and at the same time  
15 protect the correlative rights and interested parties  
16 involved in the application?

17 A Yes, I believe that these proposed rules will both  
18 effectively prevent waste and they will permit the  
19 production of recoverable hydrocarbons from the reservoir,  
20 and at the same time protect the correlatives rights of  
21 all the interested parties.

22 Q Do you have an opinion as to whether or not the proposed  
23 special rules would result in the effective production  
24 of the maximum hydrocarbons under the area involved?

25 A Yes, I believe they would.

1 Q Were Exhibits One through Three prepared by you or under  
2 your supervision?

3 A Yes, they were.

4 Q Is there anything else I haven't asked you that you  
5 think would be of interest to the Commission in the  
6 consideration of this application?

7 A No, I think we have covered everything. While the  
8 dominant reason for us proposing this 320-acre spacing  
9 at this time is economic, at this point, it is also my  
10 opinion that the wells will effectively drain areas this  
11 large, and that we can produce the field efficiently in  
12 this manner.

13 Q As a petroleum engineer, and based upon the cost figures  
14 you have given and the results obtained so far from the  
15 area, would you recommend further drilling?

16 A No, I wouldn't at this time. Of course, there are a  
17 number of Upper Pennsylvanian fields in the Southeastern  
18 New Mexico region which have shown a tendency to increase  
19 in oil production as water is depleted within the  
20 reservoir, and these wells have been produced in the  
21 hopes that this will happen.

22 At this time however, until we have additional  
23 information that would indicate it is going to happen,  
24 I wouldn't recommend it.

25 Q That would be strictly from an engineering standpoint?

1 A Yes.

2 MR. CHRISTY: That's all I have.

3 MR. STAMETS: Do you want to offer the exhibits now?

4 MR. CHRISTY: Not yet.

5 \* \* \* \*

6 CROSS EXAMINATION

7 BY MR. STAMETS:

8 Q Looking at Exhibit Number One, the Foster Well in Section  
9 1, I believe you said was a Wolfcamp gas well. Did you  
10 mean an oil well?

11 A It was initially, but it was plugged back to the Wolfcamp.

12 Q So far as you know, you don't have the same situation  
13 here that you do in the South Dagger Draw Upper  
14 Pennsylvanian Pool?

15 A I think not. From all we have seen to date, everything  
16 would indicate that this is predominantly an oil  
17 reservoir, whereas the other one seems to be predominantly  
18 gas.

19 Q The Cisco Canyon is commonly referred to as the Upper  
20 Pennsylvanian in this area, isn't that correct?

21 A That's right.

22 Q Do you anticipate there will be gas connections in this  
23 field in short order?

24 A Yes, there is pipe being strung now, and it is being  
25 connected out there right now to route the gas from this

1 field to the Marathon Plant in Indian Basin.

2 Q There seems to be more acreage set out on your Exhibit  
3 Number One than is absolutely necessary. I notice  
4 quite a bit of either unapproved acreage or acreage with  
5 dryholes. Would you have any objection to the resulting  
6 pool being somewhat smaller than what you have proposed  
7 here if it takes in all of the producible wells?

8 MR. CHRISTY: I think I would rather answer that.  
9 It depends on what you would like to eliminate. Are you  
10 thinking in terms of taking out Section 25?

11 MR. STAMETS: Yes.

12 MR. CHRISTY: Yes, I will go for that. The reason  
13 they were put in was so they would be connected. We also  
14 have the situation here with two pools with some  
15 production, even though they are abandoned at the present  
16 time.

17 Q (By Mr. Stamets) Is it your testimony, Mr. McIntosh, that  
18 these wells cannot be economically developed on less  
19 than 320-acre spacing at the present time?

20 A Yes, that's my testimony at the present time. They could  
21 not be economically developed on less than 320 acres.  
22 Of course, it is doubtful that they will be economically  
23 produced on 320 acres even.

24 Q And in order to create this new pool, you have proposed  
25 that it will be necessary to abolish the Parrish Ranch

dearnley, meier & associates

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1 and Dagger Draw Upper Pennsylvanian Pools?

2 A That's correct.

3 Q And at the present time, there is either no production  
4 in both of those pools or it is only by Mr. Hanks?

5 A That's right, yes.

6 MR. STAMETS: Are there any other questions of the  
7 witness?

8 (No response)

9 MR. STAMETS: If not, he may be excused.

10 (Witness excused.)

11 MR. CHRISTY: At this time, we offer into evidence  
12 Exhibits One through Three inclusive.

13 MR. STAMETS: Without objection, they will be  
14 admitted.

15 (Whereupon Applicant's Exhibits One through Three  
16 were admitted in evidence.)

17 MR. CHRISTY: That's all for the applicant.

18 MR. STAMETS: Is there anything further in this case?

19 (No response)

20 MR. STAMETS: Case 5117 will be taken under  
21 advisement.

22 \* \* \* \*

23

24

25

dearnley, meier & associates

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6691 • ALBUQUERQUE, NEW MEXICO 87103  
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

I, RICHARD E. McCORMICK, Certified Shorthand Reporter, in and for the County of Bernalillo, State of New Mexico, do hereby certify that the foregoing and attached Transcript of Hearing before the New Mexico Oil Conservation Commission was reported by me; and that the same is a true and correct record of the said proceedings to the best of my knowledge, skill and ability.

*Richard E. McCormick*  
CERTIFIED SHORTHAND REPORTER

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 5117, heard by me on Nov 28, 1973.  
*Richard J. Stant*, Examiner  
New Mexico Oil Conservation Commission

I N D E X

<u>WITNESS</u>		<u>PAGE</u>	
LARRY McINTOSH			
Direct Examination by Mr. Christy		2	
Cross Examination by Mr. Stamets		15	
<u>E X H I B I T S</u>			
<u>EXHIBIT</u>		<u>ADMITTED</u>	<u>OFFERED</u>
Applicant's #1	Lease plat	17	3
Applicant's #2	Cross section	17	6
Applicant's #3	Tabulation	17	8

dearnley, meier &amp; associates

209 SIMMS BLDG. • P.O. BOX 1092 • PHONE 243-6891 • ALBUQUERQUE, NEW MEXICO 87103  
1216 FIRST NATIONAL BANK BLDG. EAST • ALBUQUERQUE, NEW MEXICO 87108