

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Santa Fe, New Mexico
February 4, 1976

EXAMINER HEARING

IN THE MATTER OF:

Case 5397 reopened pursuant to the)	CASE
provisions of Order No. R-4949, which)	5397
order established the North Burton)	(Reopened)
Flats-Wolfcamp Gas Pool, Eddy County,)	
New Mexico and promulgated special pool)	
rules therefor, including a provision)	
for 320-acre spacing and proration units))	

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil	William F. Carr, Esq.
Conservation Commission:	Legal Counsel for the Commission
	State Land Office Building
	Santa Fe, New Mexico
For the Applicant:	W. Thomas Kellahin, Esq.
	KELLAHIN & FOX
	Attorneys at Law
	500 Don Gaspar
	Santa Fe, New Mexico

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Page

ROD ANDERSEN

Direct Examination by Mr. Kellahin 4

DON CATRON

Direct Examination by Mr. Kellahin 10

Cross Examination by Mr. Stamets 16

Redirect Examination by Mr. Kellahin 18

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

EXHIBIT INDEX

	<u>Page</u>
1	
2	
3	Applicant's Exhibit No. One, Plat 10
4	Applicant's Exhibit No. Two, Cross Section 10
5	Applicant's Exhibit No. Three, Cross Section 10
6	Applicant's Exhibit No. Four, Isopach 10
7	Applicant's Exhibit No. Five, Porosities 10
8	Applicant's Exhibit No. Six, Structures 10
9	Applicant's Exhibit No. Seven, Map 16
10	Applicant's Exhibit No. Eight, Cross Section 16
11	Applicant's Exhibit No. Nine, Cross Section 16
12	Applicant's Exhibit No. Ten, Production Record 16
13	Applicant's Exhibit No. Eleven, Fluid Analysis 16
14	Applicant's Exhibit No. Twelve, Fluid Analysis 16
15	Applicant's Exhibit No. Thirteen, Fluid Analysis 16
16	Applicant's Exhibit No. Fourteen, Cell Analysis 16
17	Applicant's Exhibit No. Fifteen, Plot 16
18	Applicant's Exhibit No. Sixteen, Analysis 16
19	Applicant's Exhibit No. Seventeen, Well Performance 16
20	
21	
22	
23	
24	
25	

sid morrish reporting service

General Court Reporting Service

825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. STAMETS: We will call next Case 5397.

MR. CARR: Case 5397, in the matter of Case 5397 being reopened pursuant to the provisions of Order No. R-4949, which order established the North Burton Flats-Wolfcamp Gas Pool, Eddy County, New Mexico, and promulgated special pool rules therefor, including a provision for three hundred and twenty acre spacing and proration units.

MR. STAMETS: Call for appearances in this case.

MR. KELLAHIN: Tom Kellahin, Kellahin and Fox, Santa Fe, New Mexico, appearing on behalf of Cities Service Oil Company and I have two witnesses to be sworn.

MR. STAMETS: Will they all stand and be sworn, please?

(THEREUPON, the witnesses were duly sworn.)

ROD ANDERSEN

called as a witness, having been first duly sworn, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q Would you please state your name, by whom you are employed and in what capacity?

A My name is Rod Andersen, I'm a development geologist for Cities Service Oil Company.

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q Mr. Andersen, have you previously testified before
2 this Commission?

3 A No, I have not.

4 Q For the benefit of the Examiner will you describe
5 for him when and where you obtained your degeee?

6 A I have a Bachelor of Science and Master of Science
7 from Wichita State University.

8 Q What years were those obtained?

9 A The Bachelors in 1972 and the Masters in '74.

10 Q And subsequent to your graduation where have you
11 been employed?

12 A Excuse me.

13 Q Where have you been employed subsequent to graduation?

14 A For Cities Service for a year and a half.

15 Q Are you familiar with the facts surrounding this
16 particular application and the cause in question?

17 A Yes.

18 MR. KELLAHIN: If the Examiner please, are the
19 witness's qualifications acceptable?

20 MR. STAMETS: They are.

21 Q (Mr. Kellahin continuing.) Mr. Andersen, would you
22 refer to what has been marked as Exhibit Number One and
23 identify that for us, please?

24 A Yes, this is a plat from portions of Township 20
25 South, Range 28 East and 19 South, 28 East. Cities Service

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 acreage in the area is indicated in yellow and the wells which
2 have been perforated in the Wolfcamp are indicated as starred
3 gas wells, also two lines of cross sections which are the
4 next two exhibits.

5 Q Which sections compose the horizontal limits for the
6 north Burton Flats-Wolfcamp gas pool?

7 A Fourteen and twenty-three.

8 Q Is it Cities Service Oil Company's desire to
9 continue the pool rules as they are currently in effect and
10 established by this Commission pursuant to Order Number R-4949?

11 A Yes, it is.

12 Q Please refer to Exhibit Number Two and identify that?

13 A Exhibit Two is a cross section seen from Exhibit
14 One along the east side of the field and covers six wells,
15 it extends from the Monsanto-Burton Flat 12 to the CSO Govern-
16 ment AB Number 2. For purposes of correlation, these have
17 been set to a common datum on a Canyon shale marker. You can
18 see along the east side of the field we have the Wolfcamp
19 marked as the lower line and the upper line. The lower line
20 is the most continuous in the cross section and the perforated
21 intervals are indicated on the cross section.

22 Q You show that the upper Wolfcamp zone begins to
23 pinch out as it approaches this Government R Number 1 Well,
24 is that right?

25 A Yes, that's true. It's present in the AB Number 2,

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 the T Number 1 and pinches out to the R Number 1. It is not
2 present in the AA, the Z or the Burton Flats 12.

3 Q Identify for the Examiner the three wells that
4 originally composed the pool in Sections 14 and 23?

5 A This is The Government Z, the Government AA and the
6 Government T.

7 Q Are all of those wells completed in the lower Wolf-
8 Camp?

9 A Yes, they are.

10 Q Are they completed and producing from the upper
11 Wolfcamp?

12 A No.

13 Q Please refer to Exhibit Number Three and identify
14 it?

15 Q Exhibit Number Three is indicated on Exhibit One,
16 it is a cross section across the western portion of the
17 pool and it indicates the presence of the upper line in all
18 of these wells. The upper line is only perforated in the
19 AB Number 2.

20 Q The Ab Number 2 is located in Section 10?

21 A Yes.

22 Q Okay. What conclusion do you draw from these
23 two exhibits, Mr. Andersen?

24 A By setting all of the wells here, the electric logs,
25 to a common horizon we have found that over the area there are

1 a series of Wolfcamp limestone mounds which occur at varying
2 stratigraphic positions. However, here in Sections 10, 11, 14,
3 15 and 22 and 23, they all fall on a common horizon and we feel
4 are all of one large limestone mound complex. These are
5 separated, both from the wells which are started in the north
6 and south, away from this acreage.

7 Q Please continue by referring to what has been
8 marked as Exhibit Number Four?

9 A This is a gross thickness isopach of the lower
10 zone. You will note the zero contour by setting these wells
11 to the Canyon datum we feel that the mound to the north, which
12 is the Winchester field, indicated by the starred wells to
13 the north, is a separate mound from the one which we are
14 discussing here. Also it is a separate mound from the Great
15 Western Well in Section 28. These are different stratigraphic
16 positions and we feel that we have one isolated mound as seen
17 here on this gross thickness.

18 Q Exhibit Number Five, please refer to that?

19 A Exhibit Number Five indicates the porosities. The
20 porosity isopach on the lower mound as well and we feel that
21 there is a very strong correlation between the porosity and
22 the gross thickness. Even though the porosity does not extend
23 to the total limits of the lower mound, there is porosity
24 continuous through the inner portion of it. You will note
25 the zero contour line on the outside, indicating zero porosity

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 at that point and outside.

2 Q Okay, Exhibit Number Six?

3 A Exhibit Number Six indicates the structure, again
4 using the Canyon as a datum and this indicates a general
5 southeast dip to the regional dip to the field, with the
6 reservoir being just tilted down dip to the southeast.

7 Q How would you compare this Wolfcamp pool with other
8 Wolfcamp pools in the area?

9 A The Wolfcamp in Eddy County is typically of low
10 porosity, low permeability and small isolated mounds. This
11 particular mound has a larger areal extent than most and also
12 has more continuous porosity throughout than any other Wolfcamp
13 mound I have studied there.

14 Q Do you have a geological opinion as to whether from
15 a geological standpoint you would anticipate that one well
16 could potentially drain an area of three hundred and twenty
17 acres?

18 A Yes, I think it would because of the porosity
19 continuity throughout the reservoir.

20 Q Were Exhibits One through Six either prepared by
21 you directly or under your supervision and direction?

22 A Yes, they were.

23 MR. KELLAHIN: If the Examiner please, we move the
24 introduction of Exhibits One through Six.

25 MR. STAMETS: These exhibits will be admitted.

1 (THEREUPON, Applicant's Exhibits One
2 through Six were admitted into evidence.)

3 MR. KELLAHIN: That concludes our geological
4 presentation for this case.

5 MR. STAMETS: I presume you have an engineering
6 witness?

7 MR. KELLAHIN: Yes, we do.

8 MR. STAMETS: Any questions of this witness? He
9 may be excused.

10 (THEREUPON, the witness was excused.)

11 MR. KELLAHIN: We would call Mr. Catron.

12
13 DON CATRON

14 called as a witness, having been first duly sworn, was
15 examined and testified as follows:

16
17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q Would you please state your name, by whom you are
20 employed and in what capacity?

21 A My name is Don Catron, I'm a reservoir engineer,
22 I work in Midland, Texas for Cities Service.

23 Q Mr. Catron, have you previously testified before
24 this Commission and had your qualifications as an expert
25 witness accepted and made a matter of record?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A Yes.

2 Q And did you testify on behalf of Cities Service
3 Oil Company in the previous hearing of this case upon which
4 Order Number R-4949 was entered?

5 A Yes.

6 Q Have you made a continued study of the area and are
7 you familiar with the facts surrounding this particular
8 application?

9 A Yes.

10 MR. KELLAHIN: If the Examiner please, are the
11 witness's qualifications acceptable?

12 MR. STAMETS: They are.

13 Q (Mr. Kellahin continuing.) Mr. Catron, would you
14 refer to Exhibit Number Seven, which is the first of your
15 exhibits, and identify it?

16 A This is another map of the North Burton Flats-
17 Wolfcamp area. Again it shows the Wolfcamp wells and we con-
18 toured on this map the porosity thickness using a permeability
19 index cut off, which is all of the pay that is shown as
20 having permeability on Coriband logs and this includes both
21 pay in the upper and lower mounds that Mr. Andersen talked
22 about.

23 Q Would you refer to Exhibit Number Eight now and
24 identify it?

25 A Number Eight is a cross section through Sections 11,

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 14 and 23, starting with Government AB 1 and going through
2 Government Z-1 and the traces on this cross section are from
3 Coriband logs and on the right side on each well is a
4 permeability index trace and on the left side is a porosity
5 index trace and as a cut off we used for this isopach in
6 Exhibit One, we used what showed to have a permeability
7 greater than zero on the permeability index and in addition,
8 this cross section shows that the pay zones in these wells
9 fall in about the same stratigraphic position.

10 Q All right, would you refer to Exhibit Number Nine
11 and identify it?

12 A This is another cross section and it is through
13 Section 10, 15 and 22 from Government AB-2 to Government W
14 and this one shows the presence of an upper mound above the
15 lower mound, which is present in the eastern part of the
16 field.

17 Q Okay, Exhibit Number Ten, now, Mr. Catron?

18 A Exhibit Number Ten is the production record of the
19 four wells that we have producing from this field at the
20 present time and one of the important points shown by this is
21 the stable GOR's they produced at. Most of the wells had
22 fairly constant GOR's, GLR.

23 Q Okay, Exhibit Number Eleven.

24 A Exhibit Number Eleven is a fluid analysis and
25 recombined samples from the Government Z-1 and shows the

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 recombined reservoir fluid that have a gravity of about point
2 eight, oh, five. No, it's point six, nine, excuse me. And
3 we also have the same type of analysis for the 1 and the
4 Double A-1, which shows a recombined gravity to be about the
5 same for all four wells.

6 Q That is Exhibits Twelve and Thirteen?

7 A Right, and these analysis were made on fluids that
8 were recombined from separator samples, at the average GOR's
9 for those wells.

10 Q Okay, Exhibit Number Fourteen?

11 A Exhibit Number Fourteen is a windowed cell analysis
12 of recombined samples from the Government T-1 which we
13 recombined as gas and liquid production and an average GOR
14 and at reservoir temperatures and pressures and we found that
15 by expanding the cell and lowering the pressure a liquid
16 began to form at forty-six hundred and seventy pounds and as
17 the pressure was lowered further the liquid volume increased
18 until about thirty-three hundred and seventy pounds. At that
19 time the liquid began to vaporize again.

20 Q In your opinion, Mr. Catron, what type of reservoir
21 are you dealing with?

22 A This data shows it is retrograde condensate
23 reservoir initially in a gas phase and it develops a liquid
24 saturation as you lower the pressure.

25 Q Exhibit Number Fifteen?

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. Exhibit Number Fifteen is a plot of the same data
2 that we have tabulated in Exhibit Fourteen. It shows the
3 liquid saturation building up and re-vaporizing as the
4 pressure is lowered.

5 Q. Exhibit Number Sixteen?

6 A. This is a similar type of analysis, except that
7 the pressure was lowered by withdrawing from the gas phase
8 instead of expanding the cells. We have referred to it as
9 a constant volume depletion test and this is more comparable
10 to what happens in a reservoir than the expansion test in
11 the preceding exhibits showed and the test was started at the
12 dew point of forty-six hundred and seventy pounds and lowered
13 in three hundred pound increments by withdrawing from the gas
14 phase only, then the gas that was produced from the cells
15 from these increments was analyzed and the gravity of the
16 liquids that could be separated from this produced gas and were
17 determined and a GOR was calculated by flash calculations
18 and it shows how the GOR would typically increase with lowering
19 the pressure below the dew point, the bottom line there, with
20 it going to as high as forty-eight thousand to one by the
21 time the pressure was lowered to a thousand pounds.

22 Q. Okay, Exhibit Number Seventeen?

23 A. Exhibit Number Seventeen shows the performance of
24 the well that you could expect as the pressure is lowered
25 from the dew point at forty-six hundred pounds, with the GOR

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 rising to -- I left a zero off the GLR scale. That should be
2 twenty thousand, forty thousand and sixty thousand but the
3 GOR goes to greater than forty thousand, at the point where
4 liquid saturation has developed a peak in the reservoir and
5 then as the liquid starts re-vaporizing, we get a decrease
6 in GLR and finally that the pressure is lowered toward
7 abandonment it starts to rise again and the lower curve shows
8 the percentage of condensate in place that you could expect
9 to recover by volumetric depletion of the reservoir with a
10 peak of about fourteen percent of condensate originally in
11 place.

12 Q In your opinion, Mr. Catron, would this particular
13 reservoir be classified as a gas reservoir under the current
14 New Mexico Rules and Regulations?

15 A Yes.

16 Q In your opinion, Mr. Catron, will one well efficiently
17 and economically drain three hundred and twenty acres?

18 A Yes.

19 Q Were Exhibits Seven through Seventeen prepared by
20 you directly or under your direction and supervision?

21 A Yes.

22 Q Do you have a recommendation as to whether or not
23 the existing field rules for this particular pool be made
24 permanent or not?

25 A Yes, I think they should be.

1 Q That they should be made permanent?

2 A Yes.

3 MR. KELLAHIN: That concludes our direct examination,
4 and we move the introduction of Exhibits Seven through
5 Seventeen.

6 MR. STAMETS: These exhibits will be admitted.
7 (THEREUPON, Applicant's Exhibits Seven through
8 Seventeen were admitted into evidence.)

9
10 CROSS EXAMINATION

11 BY MR. STAMETS:

12 Q Mr. Catron, looking at Exhibits Number Fourteen and
13 Seventeen, if I understand these correctly, you could not
14 physically produce this reservoir without liquids dropping
15 out and reducing the final recovery of liquids to this fourteen
16 percent figure unless there was some way of keeping the
17 reservoir pressure above the dew point, is that correct?

18 A That is correct.

19 Q That would entail the injection of water or inert
20 gases or some such thing as that?

21 A That's right.

22 Q Would that be a practical way of producing the
23 reservoir?

24 A We are studying that very closely right now, as far
25 as to injecting gas, re-injecting crude gas and some

1 maintenance gas?

2 Q What is the current producing pressure?

3 A Reservoir pressure?

4 Q Yes.

5 A The last pressure we had ranged from, the best I
6 remember, forty-three hundred pounds, forty-five hundred
7 pounds.

8 Q So you have already dropped below the dew point?

9 A Well, it would depend. We could be right at it in
10 some wells and we could be slightly below it in some. The
11 dew point we show in one dew point determination for one
12 well, we re-combined fluid from two other wells and they
13 showed a dew point slightly less than -- about three hundred
14 pounds lower than what we show on this exhibit. The dew
15 point we determined has varied from well to well.

16 Q If the current Rules and Regulations are continued
17 in this pool, will any waste occur?

18 A Well, if re-pressuring and pressure maintenance
19 turned out to be uneconomic there will be liquid left in the
20 reservoir.

21 Q I should have said economic, within economic limits.

22 A It would be an efficient way to deplete the reservoir,
23 that is correct.

24 Q Okay, so your answer then to my question is, no,
25 there would not be waste if these Rules were continued?

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. That's right.

2 Q. Within the economic limits?

3 A. That's right.

4 MR. STAMETS: Any other questions of this witness?

5

6

REDIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Catron, how many wells are currently producing?

9 A. We have four wells producing now, making something
10 over five hundred barrels per day of condensate.

11 Q. Do you have any other wells that you anticipate
12 putting on the line shortly?

13 A. We have recommendations in for recompleting two
14 additional wells in the Wolfcamp, these are depleted Morrow
15 wells.

16 MR. KELLAHIN: That's all the questions I have.

17 MR. STAMETS: Any other questions of the witness?

18 He may be excused.

19 (THEREUPON, the witness was excused.)

20 MR. STAMETS: Anything further in this case?

21 MR. CARR: Mr. Examiner, we have received a letter
22 from Eddie Mahfood, petroleum engineer for the Yates Petroleum
23 Corporation. (Reading.) Yates Petroleum Corporation supports
24 the three-hundred-and-twenty-acre spacing, spacing and
25 special field rules on the North Burton Flats-Wolfcamp Gas

1 Pool. If the Commission decides not to continue these
2 rules, Yates requests that the rules not be rescinded prior
3 to April 1, 1976. (End of reading.)

4 MR. STAMETS: Anything further in this case? We
5 will take the case under advisement.

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,
do hereby certify that the foregoing and attached Transcript
of Hearing before the New Mexico Oil Conservation Commission
was reported by me, and the same is a true and correct record
of the said proceedings to the best of my knowledge, skill and
ability.



Sidney F. Morrish, C.S.R.

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 5397
heard by me on 2-7, 1976

_____, Examiner
New Mexico Oil Conservation Commission

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212