

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE  
NEW MEXICO OIL CONSERVATION COMMISSION  
Santa Fe, New Mexico  
April 28, 1976

EXAMINER HEARING

-----

IN THE MATTER OF: )  
 )  
 )  
 Case 5443 being reopened pursuant to ) CASE  
 the provisions of Order No. R-4994, ) 5443  
 which order established special rules ) (Cont'd.)  
 and regulations for the East Lusk- )  
 Bone Spring Oil Pool, Lea County, )  
 New Mexico. )  
 )  
-----

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil Conservation Commission:	William F. Carr, Esq. Legal Counsel for the Commission State Land Office Building Santa Fe, New Mexico
For the Applicant:	W. Thomas Kellahin, Esq. KELLAHIN & FOX Attorneys at Law 500 Don Gaspar Santa Fe, New Mexico

**sid morrish reporting service**  
*General Court Reporting Service*  
 825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
 Phone (505) 982-9212

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I N D E X

HERBERT A. SEIDEL, JR.

Direct Examination by Mr. Kellahin 3

Cross Examination by Mr. Stamets 14

EXHIBIT INDEX

Sun's Exhibit No. Six, Log 14

Sun's Exhibit No. Seven, Recovery Calculations 14

Sun's Exhibit No. Eight, Drainage Calculations 14

Sun's Exhibit No. Nine, Economics Calculations 14

**sid morrison reporting service**  
General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 MR. STAMETS: We will call the next Case 5443.

2 MR. CARR: Case 5443 reopened and continued. In the  
3 matter of Case 5443 being reopened pursuant to the provisions  
4 of Order No. R-4994, which order established special rules and  
5 regulations for the East Lusk-Bone Spring Oil Pool, Lea County,  
6 New Mexico, including a provision for one hundred and sixty  
7 acre spacing and proration units.

8 MR. KELLAHIN: Tom Kellahin of Kellahin and Fox  
9 appearing on behalf of Sun Oil Company and I have one witness  
10 to be sworn.

11 MR. STAMETS: Will you stand and be sworn, please?

12 (THEREUPON, the witness was duly sworn.)

13  
14 HERBERT A. SEIDEL, JR.

15 called as a witness, having been first duly sworn, was  
16 examined and testified as follows:

17  
18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q Would you please state your name, by whom you are  
21 employed and in what capacity?

22 A I'm Herbert A. Seidel, S-e-i-d-e-l, Jr. I work  
23 for Sun Oil Company as a Senior Professional Engineer in their  
24 Dallas Production Region, Dallas, Texas.

25 Q Have you previously testified before this Commission

1 and had your qualifications as an expert witness accepted and  
2 made a matter of record?

3 A. Yes, I have.

4 Q. Have you made a study of and are you familiar with  
5 the regulations concerning the Casey-Strawn Pool, Lea County,  
6 New Mexico?

7 A. Yes, I am.

8 MR. KELLAHIN: If the Examiner please, are the  
9 witness' qualifications acceptable?

10 MR. STAMETS: They are.

11 Q. (Mr. Kellahin continuing.) Mr. Seidel, would you  
12 refer to what has been marked as Sun Oil Company Exhibit Number  
13 One and identify it?

14 A. Excuse me, would this be Exhibit One or Six?

15 MR. KELLAHIN: This is a continuation. Let me  
16 renumber those if you don't mind, Mr. Stamets.

17 MR. STAMETS: Start with Six.

18 MR. KELLAHIN: We'll start with Six. The previous  
19 five exhibits were presented by Mr. Larson in the hearing of  
20 this case a couple of weeks ago.

21 Q. (Mr. Kellahin continuing.) Beginning then with  
22 Exhibit Number Six, Mr. Seidel, would you identify it?

23 A. Yes, sir, this is a semi-log plot of the daily oil  
24 production for this one well in this field, Sun Oil Company's  
25 Jennings Federal No. 1. Production began in February, 1975.

1 I might point out the scale on the left there has a line  
2 drawn through it and it is supposed to represent a decimal  
3 point. In February of '75, for example, is three hundred  
4 barrels a day production and averaged about that for about  
5 eight or nine months and has begun to decline.

6 We have installed a pump just a few days ago and  
7 on pump the well produced three hundred barrels a day. That's  
8 not shown on this exhibit.

9 What we have done here is tried to show in our  
10 opinion what the minimal reserves would be for this well and  
11 to date they have produced a hundred and four point eight  
12 thousand barrels and have a remaining reserve of about ninety-  
13 seven thousand barrels for a total ultimate recovery of  
14 about two hundred and two thousand barrels of oil.

15 Q Would you please refer to Exhibit Number Seven and  
16 identify it?

17 A This is an exhibit showing recovery calculations  
18 assuming three different drainage areas as well as the original  
19 stock tank oil in place based on the porosity and water  
20 saturations calculated from log analysis in the Jennings  
21 Federal No. 1.

22 The original stock tank oil in place, the equation  
23 at the top there is seventy-seven, fifty-eight times the  
24 porosity of point oh six five times the difference in one minus  
25 the water saturation, point three, divided by the formation

1 volume factor at bubble point conditions of one point three  
2 seven. This gives you two hundred and fifty-seven point seven  
3 stock tank barrels per acre foot in place.

4 The first assumption of a hundred and sixty acre  
5 drainage, we have original oil in place of two hundred and  
6 fifty-seven point seven barrels per acre foot times sixteen  
7 feet times a hundred and sixty acres or six hundred and fifty-  
8 nine thousand, seven hundred stock tank barrels.

9 Our ultimate recovery projected at two hundred  
10 thousand barrels indicates a recovery efficiency of thirty  
11 point three percent of the original stock tank oil in place.  
12 Our current recovery of a hundred and five thousand barrels  
13 indicates a recovery efficiency of fifteen point nine percent.

14 On eighty acre spacing, using the same equation,  
15 we have a recovery efficiency of sixteen point six for two  
16 hundred thousand barrels ultimate recovery and thirty-one  
17 point eight percent for a hundred and five thousand current.

18 On forty acre spacing we are expected to produce  
19 more than the original oil in place or a hundred and twenty-  
20 one percent. Current recovery would be sixty-three point  
21 seven percent of the original oil in place.

22 Q. What was the reference you used to make the calcula-  
23 tions for the recovery of the above bubble point calculations?

24 A. We used Stannings Correlations and a six hundred and  
25 seventy-four cubic feet per barrel, initial gas-oil ratio from

1 our potential test.

2 Q And for using the calculations under B, the  
3 recovery below bubble point, what was your source of  
4 authority?

5 A Now, you are moving on to Exhibit Number Eight, am  
6 I right, Tom?

7 Q No, I'm talking about notations down here at the  
8 bottom.

9 A I'm sorry, I've been reading off of this exhibit.  
10 This was my Exhibit Seven.

11 MR. KELLAHIN: Did we get it renumbered here?

12 MR. STAMETS: I've got the same Exhibit Seven as  
13 the witness has.

14 MR. KELLAHIN: I'm sorry I've got mine -- go ahead.

15 A I think that's about all I had to say about this  
16 exhibit. We may refer back to it after we get through with  
17 this Exhibit Number Eight.

18 Q (Mr. Kellahin continuing.) Fine. Let's go now  
19 to Exhibit Number Eight.

20 A This is an exhibit showing the drainage calculations  
21 from the material balance calculations and some statistical  
22 equations developed by John Arps, et al, and published in an  
23 API Bulletin D14 in October, 1967.

24 Starting up at the top we have some recovery above  
25 the bubble point and note we referenced Craft & Hawkins,

1 Applied Petroleum Reservoir Engineering, (Prentice-Hall, Inc.,  
2 1959) and we have barrels per acre foot of two hundred and  
3 fifty-seven point seven, which we had calculations shown on  
4 Exhibit Seven, times the initial pressure, minus the bubble  
5 point pressure of thirty-nine, twenty-seven minus two thousand,  
6 times the oil saturation, which is point seven, times the  
7 compressibility of the oil which is eight times ten to the  
8 minus six, the water saturation at point three times the  
9 compressibility of water at two point eight, times ten to  
10 the minus six, the raw compressibility of formation compressi-  
11 bility is six times ten to the minus six. All of this divided  
12 by one minus water saturation point three, all of this times  
13 the initial formation volume factor, which is determined from  
14 an equation, it is equal to the compressibility of the oil  
15 times the bubble point formation volume factor times the  
16 difference in the initial pressure minus the bubble point  
17 pressure. All of this plus the formation volume factor at  
18 the bubble point, divided by this one point three seven bubble  
19 point formation volume factor which as we earlier said was  
20 developed from Stannings Correlations, using a gas-oil ratio  
21 of six hundred and seventy-four cubic feet per barrel which  
22 was observed on a potential test. This gives us an eight point  
23 seven barrels per acre foot of three point four percent  
24 recovery of the original stock tank oil in place.

25 For recovery below the bubble point we have used this

1 John Arps correlation that I mentioned earlier which is  
2 published in the API Bulletin D14 and this is a rather  
3 complex equation. It's a regression analysis using the  
4 groupings of variables as shown on the exhibit in B.

5 I might point out that we used the six point five  
6 percent porosity water saturation point three, the formation  
7 volume factor of bubble point of one point three seven, a  
8 perm in darcies of point one seven eight or one hundred and  
9 seventy-eight millidarcies of viscosity of oil at bubble point  
10 conditions of point five, five centipoise, again water satura-  
11 tion of point three, bubble point pressure of two thousand  
12 and we assumed an abandonment pressure of two hundred pounds.

13 This equation gives us a recovery of fifty-three  
14 point two barrels per acre foot or twenty point six percent  
15 of original stock tank oil in place.

16 The total recovery under Item C is sixty-one point  
17 nine barrels per acre foot or twenty-four percent of the  
18 original oil in place.

19 I might mention that in the original hearing that  
20 we had assumed a twenty percent recovery but we had used a  
21 four hundred pound abandonment pressure in that case. We are  
22 just trying to show that even if we do have as high a recovery  
23 as twenty-four percent we are draining a relatively large area.

24 These calculations are shown in D using the two  
25 hundred thousand barrels expected recovery, the sixty-one

**sid morrison reporting service**

General Court Reporting Service  
825 Calle Méjia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 point nine barrels per acre foot and sixteen feet of pay, we  
2 have an indicated minimum drainage area from this well of  
3 two hundred and two acres.

4 Now, referring back to Exhibit Seven, you can see  
5 for a hundred and sixty acre drainage we are talking about  
6 an ultimate of thirty point three percent recovery, which is  
7 significantly greater than the twenty-four percent we would  
8 expect.

9 Q. What conclusion then do you draw from that comparison?

10 A. That we are draining in excess of one hundred and  
11 sixty acre spacing.

12 Q. Please refer to Exhibit Number Nine and identify it?

13 A. All right, sir, these are before tax, economics  
14 calculations for the three different cases of development  
15 density on a hundred and sixty acre spacing, eighty acre  
16 spacing and forty acre spacing.

17 We have assumed the same areal extent for each one  
18 of these cases, a hundred and sixty acres, so for the eighty  
19 acre spacing we are talking about two wells, for the forty  
20 acre spacing we are talking about four wells to develop the  
21 area.

22 We have an expense interest of a hundred percent,  
23 revenue interest of eighty-seven point five or royalty of  
24 one eighth, oil price of twelve dollars and eight cents a  
25 barrel, gas price of fifty-one point nine cents per barrel,

1 production tax of seven-and-a-half percent, operating expense  
2 based on our 1975 experiences of a thousand and fifty dollars  
3 per well a month. The cost per completed well is three hundred  
4 and forty-nine thousand dollars, which was provided us by  
5 Sun Oil Company's Regional Drilling Engineer.

6 I might point out that these costs do not include  
7 artificial lift equipment which we anticipate to be about  
8 eighty-four thousand dollars or any surface facilities  
9 indicated would be around thirty-two thousand dollars.

10 At the original hearing we testified that the cost  
11 of a well would be five hundred and thirty-seven thousand  
12 dollars and this is the cost that we had estimated for the  
13 well at the time of the hearing and which included the cost  
14 of some testing in the Wolfcamp, unsuccessful testing in the  
15 Wolfcamp zone.

16 Q. That was the cost of the Jennings Federal No. 1  
17 Well?

18 A. The cost of the Jennings Federal No. 1 Well was  
19 five hundred and eighty-three thousand dollars but we estimated  
20 at the time of our first hearing that the cost would be five  
21 hundred and thirty-seven thousand dollars. We were not clear  
22 in our testimony as to whether the new well would cost as  
23 much as five hundred and eighty-two. Actually when you add  
24 the cost of surface equipment in here you are talking about  
25 four hundred and sixty-five thousand dollars, but again in

1 the interest of showing a very conservative situation on  
2 drainage area and profitability, we have assumed just the  
3 cost of drilling and completing the well.

4 The ultimate recovery, using twenty-four percent  
5 of the original oil in place is sixty-one point nine barrels  
6 per acre foot, sixteen feet of pay and a hundred and  
7 sixty acres, we have a hundred and fifty-eight thousand,  
8 four hundred and sixty-four stock tank barrels. This plus  
9 the three hundred million cubic feet of casinghead gas.

10 Our gross revenue, using the twelve oh eight dollars  
11 per barrel and the fifty-one point nine cents per MCF is  
12 two million, sixty-nine thousand, nine hundred and forty-five  
13 dollars. Taking out the royalty burdens, it leaves us with  
14 one million, eight hundred and eleven thousand and taking  
15 out the production tax it leaves us with one million, six  
16 hundred and seventy-five thousand dollars for all three  
17 cases.

18 A total investment for the hundred and sixty acre  
19 case, three hundred and forty-nine thousand dollars; the  
20 eighty acre case, six hundred and ninety-eight thousand for  
21 two wells, the forty acre case would be one million, three  
22 hundred and ninety-six thousand dollars for four wells.

23 The total operating cost is a hundred thousand, eight  
24 hundred dollars for an eight-year life on a hundred and  
25 sixty acres, for four-year life on the eighty acre and a two-

1 year life on the forty acre spacing. This leaves us with  
2 a profit on the hundred and sixty acre case of one million,  
3 two hundred and twenty-six thousand dollars and a profit  
4 ratio of three point five one to one. On eighty acre  
5 spacing we have eight hundred and seventy-seven thousand  
6 dollars profit or one point two six to one. On forty acre  
7 spacing we have a profit of a hundred and seventy-nine thousand  
8 dollars or a profit ratio of thirteen cents to one.

9           Again I will point out that these are real conserva-  
10 tive numbers as far as the profitability is concerned and  
11 that the total cost involved is not that that was used. We  
12 also have applied no risk factor at all in the area and our  
13 indications are from historical evidence that the success  
14 ratio will be something on the order of one and three.

15           Q.     Your calculations here don't take into account  
16 any risk factor at all?

17           A.     That is correct.

18           Q.     They assume a one hundred percent success?

19           A.     That's right.

20           Q.     In your opinion then, Mr. Seidel, can you economically  
21 drill a well based on less than a hundred and sixty acre  
22 spacing?

23           A.     No, we cannot based on Sun's investment decisions.  
24 Now we would not develop the reservoir on eighty acre spacing.

25           Q.     In your opinion is the area being drained in excess

1 of a hundred and sixty acres?

2 A. Yes, sir, it is.

3 Q In your opinion will the continuation of the existing  
4 pool rules for the Casey-Strawn Pool be in the best interests  
5 of conservation, prevention of waste and the protection of  
6 correlative rights?

7 A. Yes, sir, it will.

8 Q Do you have a recommendation to the Commission as to  
9 whether these pools should continue on a temporary basis  
10 or whether they should be made permanent at this time?

11 A. I would recommend that the Commission approve our  
12 application for hundred and sixty acre spacing in this field.

13 Q And that the rules be made permanent or temporary?

14 A. That they be made permanent.

15 Q Were Exhibits Six, Seven, Eight and Nine prepared  
16 by you or under your direction and supervision?

17 A. Yes, sir, they were.

18 MR. KELLAHIN: If the Examiner please, we move the  
19 introduction of those exhibits.

20 MR. STAMETS: These exhibits will be admitted.

21 (THEREUPON, Sun's Exhibits Six through  
22 Nine were admitted into evidence.)

23 MR. KELLAHIN: That concludes our direct examination.

24 CROSS EXAMINATION

25 BY MR. STAMETS:

1           Q.     Mr. Seidel, referring to Exhibit Nine, the reason  
2 you have shown ultimate recovery on that exhibit as a hundred  
3 and fifty-eight thousand barrels instead of two hundred and  
4 two thousand is that you converted that two hundred and two  
5 acre recovery back to a hundred and sixty acre recovery, is  
6 that right?

7           A.     That is the best in effect pretty much what I'm  
8 saying. I've just said that this well now is draining more  
9 than a hundred and sixty acres. It is really recovering more  
10 than the twenty-four percent of the original oil in place on  
11 the hundred and sixty acres. Additional development in the  
12 area if it weren't done on a hundred and sixty acre spacing,  
13 each well would be expected on an average to recover this  
14 hundred and fifty-eight thousand barrels.

15          Q.     In this case is it probable that this one well is  
16 draining the entire reservoir and there is no additional  
17 reservoir being developed?

18          A.     We have a relatively high permeability in the  
19 area, in this well, we've got about a hundred and seventy-  
20 eight millidarcies and with that kind of perm and assuming  
21 the reservoir covers a relatively large area, the well could  
22 feasibly drain fairly efficiently the entire reservoir. Our  
23 calculations to date indicate that we have energy present in  
24 the reservoir that would suggest that we have something on  
25 the order of three million barrels of oil in place and with

**sid morrison reporting service**

General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1 this I think an area something on the order of eight hundred  
2 acres and this would require for efficient drainage of the  
3 reservoir recovery additional development. At this time,  
4 however, Sun Oil Company is not prepared to develop the  
5 reservoir any further than where we are right now. I think  
6 this could change, of course, with development, future  
7 development. As a matter of fact, there is one well currently  
8 being completed. We are trying to get a log on the well, it  
9 hasn't been released yet but it is in Section 9 and it would  
10 be the northwest offset to Jennings Federal No. 1 in  
11 Section 15.

12 This reservoir obviously, I think from previous  
13 testimony, is very thin in one direction away from this well  
14 and we suspect that it is probably down to the southwest  
15 and then the reservoir would probably have to move in  
16 another direction. We feel that direction is probably  
17 subtended by an arc of something like twenty degrees, so it  
18 is going to be hard to find where it is going.

19 MR. STAMETS: Any other questions of the witness?  
20 He may be excused.

21 (THEREUPON, the witness was excused.)

22 MR. STAMETS: Anything further in this case?

23 MR. KELLAHIN: Mr. Stamets, I would like to correct  
24 my statement awhile ago. I had intended to ask the witness  
25 questions with reference to the East Lusk-Bone Spring Oil

1 Pool and I think I said Casey-Strawn. I would like to correct  
2 the record to that extent.

3 MR. STAMETS: The record should show that correction.

4 If there is nothing further we will take the case  
5 under advisement and that concludes the hearing.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**sid morrison reporting service**  
*General Court Reporting Service*  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

REPORTER'S CERTIFICATE

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,  
do hereby certify that the foregoing and attached Transcript  
of Hearing before the New Mexico Oil Conservation Commission  
was reported by me, and the same is a true and correct record  
of the said proceedings to the best of my knowledge, skill and  
ability.

*Sidney F. Morrish*  
\_\_\_\_\_  
Sidney F. Morrish, C.S.R.

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 5443  
heard by me on 4-29-76 19 76  
*Richard L. Lamb*, Examiner  
New Mexico Oil Conservation Commission

**sid morrish reporting service**  
General Court Reporting Service  
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501  
Phone (505) 982-9212

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25