

NEW MEXICO OIL CONSERVATION COMMISSION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date FEBRUARY 4, 1976 TIME: 9:00 A.M.

NAME	REPRESENTING	LOCATION
J. P. Harris	Harris & Walton	Midland, Texas
H. L. Kendrick	El Paso Natural Gas Co	El Paso
Paul W. Burchell	El Paso Natural Gas Co	El Paso
Ancher Ekholm	El Paso Natural Gas Co.	El Paso
JOHN HUNTER	Amoco Production Co	HOUSTON
GUY BOELL	✓ - - -	- - -
Don C. Cordie	Chaplin Petroleum Co	Midland, Tex
E. F. MOTTER	CITIES SERVICE OIL Co	MIDLAND
DON CATROW	" " "	MIDLAND
Bob Anderson	" " "	midland Tx
NEIL BECK	El Paso Natural Gas Co.	El Paso
Charles Hunter	Bill Ross	Reserve
Tom Kellahan	Kellahan + Fox	Santa Fe
E. H. BAUGH	CHAMPLIN Prod	FT. WORTH
Kerr Bateman	White Oak Kelly & McCarty	Dallas
George Patterson	Texaco	Midland
Carl Matthews	El Paso Natural Gas Co	Fort Worth, Tex.
Walter W. Jones	Waller Prod & Ref Co	Midland
John E. Evans	El Paso Natural Gas Co	Santa Fe

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE
NEW MEXICO OIL CONSERVATION COMMISSION
Santa Fe, New Mexico
February 4, 1976

EXAMINER HEARING

IN THE MATTER OF:)

Application of Champlin Petroleum)
Company for a waterflood project,)
Roosevelt County, New Mexico.)

CASE
5620

BEFORE: Richard L. Stamets, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the New Mexico Oil
Conservation Commission:

William F. Carr, Esq.
Legal Counsel for the Commission
State Land Office Building
Santa Fe, New Mexico

For the Applicant:

W. Thomas Kellahin, Esq.
KELLAHIN & FOX
Attorneys at Law
500 Don Gaspar
Santa Fe, New Mexico

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Page

DON C. CONDIE

Direct Examination by Mr. Kellahin 3

Cross Examination by Mr. Stamets 9

EXHIBIT INDEX

Page

Applicant's Exhibit No. One, Map 9

Applicant's Exhibit No. Two, Well Production 9

Applicant's Exhibit No. Three, Well Production 9

Applicant's Exhibit No. Four, Neutron Log 9

Applicant's Exhibit No. Five, Diagram 9

Applicant's Exhibit No. Six, Water Analysis 9

Applicant's Exhibit No. Seven, Waiver 9

Applicant's Exhibit No. Eight, Waiver -

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 MR. STAMETS: The hearing will come to order, please.
2 We will call first Case 5620.

3 MR. CARR: Case 5620, application of Champlin
4 Petroleum Company for a waterflood project, Roosevelt County,
5 New Mexico.

6 MR. STAMETS: Call for appearances in this case.

7 MR. KELLAHIN: Tom Kellahin of Kellahin and Fox,
8 Santa Fe, New Mexico appearing on behalf of Champlin and I
9 have one witness.

10 MR. STAMETS: Will you stand and be sworn, please?

11 (THEREUPON, the witness was duly sworn.)

12
13 DON C. CONDIE
14 called as a witness, having been first duly sworn, was
15 examined and testified as follows:

16
17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q Please state your name, by whom employed and in what
20 capacity?

21 A I'm Don Condie, I'm employed by Champlin Petroleum
22 Company as the district engineer in West Texas and New Mexico.

23 Q Mr. Condie, have you previously testified before this
24 Commission and had your qualifications as an expert witness
25 accepted and made a matter of record?

1 A. I have.

2 Q. And are you familiar with the facts surrounding
3 this particular application?

4 A. Yes, I am.

5 MR. KELLAHIN: If the Examiner please, are the
6 witness's qualifications acceptable?

7 MR. STAMETS: They are.

8 Q. (Mr. Kellahin continuing.) Mr. Condie, would you
9 refer to what has been marked as Applicant's Exhibit Number
10 One, identify it and state briefly what Champlin is seeking?

11 A. Exhibit Number One shows the proposed waterflood
12 project that consists of a half a section in the east half
13 of Section 30, Township 7 South, Range 33 East, Roosevelt
14 County, New Mexico. This application, in effect, is an
15 expansion of an existing waterflood project and we have
16 denoted the expansion by the red outlined area. The proposed
17 injector is shown in the southeast-southeast quarter. It
18 consists of one injection well, the Number 4 Farrell Federal
19 Number 1. The Farrell Federal lease is owned and operated
20 by Champlin, the ownership fifty percent Champlin, fifty
21 percent Warren-American. The yellow area denotes other
22 Champlin-operated properties.

23 The waterflood project in Section 29 and 32 was
24 established by Order Number 3550 and 3550-A and it consists
25 of five injectors.

1 Another injector, Number 13, in the southeast-
2 southwest of 29, has been proposed and has been approved
3 as another injector.

4 We will show that the east half of Section 30 in
5 effect is a marginally economic project and we hope to expand
6 our waterflood project and make it an economic venture as we
7 have shown in both 29 and 30 as an economic venture.

8 Q Sections 32, 30 and 29 are all composed of Federal
9 leases are they not?

10 A They are, yes.

11 Q Please refer to Exhibit Number Two and identify it?

12 A Exhibit Two shows the Farrell Federal lease production
13 from 1966, which peaked at thirty-eight hundred barrels a
14 month, went to a low of two hundred and eighty barrels a month
15 in 1973, at which point four wells had been shut in. With
16 the advent of the stripper oil price in '73, we put four wells
17 back on, achieved a thousand-barrel-a-month rate. It since
18 has declined to a three-hundred-barrel-a-month level and
19 currently four wells are producing and three wells are shut
20 in.

21 Q Okay. Your proposed injection well is the Farrell
22 Federal Number 4?

23 A Yes.

24 Q What is its current status?

25 A It is currently shut in.

1 Q When was it shut in?

2 A It was shut in in August of '74.

3 Q Please refer to Exhibit Number Three and identify
4 it?

5 A Exhibit Three is an individual well production
6 showing the production from the Farrell Federal lease and
7 the offset wells to the proposed injection well. The asterisk
8 denotes those diagonally and directly offset wells to the
9 Number 4. The production from the Farrell Federal lease
10 currently is ten barrels a day of oil, fourteen of water,
11 three point one MCF of gas.

12 As noted, the three uneconomic shut in oil wells,
13 the State 32 Number 13 Well, offsetting is a water injection
14 well, it's the Lock Federal on the State 32 lease. The other
15 State well operated by Mr. Snider is an uneconomic oil well
16 and the southeast diagonal is an undrilled location owned
17 by Milford Pipe.

18 Q Please refer to Exhibit Number Four and identify
19 it?

20 A Exhibit Number Four shows a portion of a neutron
21 log, which was the only log run on this subject, proposed
22 injection well. It shows the currently perforated interval
23 from forty-one, eighty-eight to forty-three, ninety-nine and
24 it shows the porosity development in that well.

25 Q And that will be converted and those will be your

1 injection intervals?

2 A. That's right.

3 Q. Please identify Exhibit Number Five?

4 A. Exhibit Number Five is a diagram of the proposed
5 injection well, showing the eight-and-five-eighths-inch casing
6 at three hundred and seventy-one feet, the four-and-a-half
7 casing set at forty-four, fifty feet, the San Andres perfora-
8 tions from forty-one, eighty-eight to forty-three, ninety-nine,
9 twenty holes. We have an estimated top of the cement at three
10 thousand feet. Champlin proposes to run two-and-three-eighths
11 internally coated plastic tubing with a tension-type packer
12 and corrosion inhibited fresh water in the annulus space. We
13 will be injecting a minimum of two hundred barrels a day into
14 the well, a maximum of six hundred barrels a day and an
15 anticipated or expected volume of three hundred barrels a day
16 at injection pressures of a maximum of a thousand pounds and
17 expected of five hundred pounds. We will monitor the pressure
18 in the annular and the tubing with pressure gauges.

19 Q. What is the source of the water which you propose
20 to inject into the well?

21 A. Our source of water is the San Andres water produced
22 from the Champlin leases.

23 Q. Okay. Please identify Exhibit Number Six?

24 A. Exhibit Number Six is a water analysis showing the
25 salinity of the water is unfit for domestic use and essentially

1 it is the water from our produced properties.

2 Q Okay. Please refer to Exhibit Number Seven?

3 A Exhibit Number Seven is a waiver, I'm not sure if
4 you have this or not.

5 Q This is from Milford Pipe?

6 A This is a waiver from the Milford Pipe and Supply,
7 waiving any objection to our proposed flood and injector.

8 Q And Exhibit Number Eight?

9 A Exhibit Number Eight is a waiver from Mr. Snider
10 waiving any objection to our application.

11 Q In your opinion, Mr. Condie, will the proposed
12 injection well, as proposed on Exhibit Five, be completed in
13 such a manner as to protect any potential fresh water sources
14 from contamination?

15 A I believe they will.

16 Q In your opinion, Mr. Condie, will the granting of
17 this application be in the best interests of conservation,
18 the prevention of waste and the protection of correlative
19 rights?

20 A Yes.

21 Q And were Exhibits One through Seven either prepared
22 by you or compiled under your direction and supervision?

23 A Yes, they were.

24 MR. KELLAHIN: If the Examiner please, we move the
25 introduction of Exhibits One through Seven.

1 MR. STAMETS: These exhibits will be admitted.

2 (THEREUPON, Applicant's Exhibits One
3 through Seven were admitted into evidence.)

4 MR. KELLAHIN: That concludes our direct.

5

6

CROSS EXAMINATION

7 BY MR. STAMETS:

8 Q Mr. Condie, did you say that the maximum injection
9 pressure will be a thousand psi?

10 A We have a system designed to go up to about seventeen
11 hundred pounds but we haven't hit anything with our existing
12 project above about a nine hundred pound so we anticipate a
13 thousand maximum. Currently we are injecting at five or six
14 hundred pounds or less.

15 Q Even at seventeen hundred pounds that would be less
16 than half a pound for foot of depth?

17 A Yes, it is and the reason the bottom-hole pressures
18 are so low and the volume of water produced to the water
19 injection, we're not making up any additional volumes so the
20 reservoir pressure will not reach a point where we think we
21 will need the fifteen hundred pound range, or even a thousand
22 pound range.

23 Q Have you reviewed the completion records of the wells
24 immediately offsetting this well to determine that the water
25 that you are injecting here won't escape to other formations

1 through those wells?

2 A Yes, essentially they are all completed in the
3 San Andres in four benches of porosity. They vary in the
4 perforated intervals but there are no other perforations other
5 than the San Andres formation.

6 Q There are no deeper wells in the area?

7 A No.

8 Q What about fresh water, are there fresh water wells
9 in the area, to your knowledge?

10 A Very small, two or three barrels a day wells for
11 domestic cattle. There are a few ranches and very shallow water
12 source and very limited.

13 Q Do you have field personnel there regularly who
14 report any problems with this well or the offsetting wells?

15 A Yes, we have a pumper who visits the leases daily.

16 MR. STAMETS: Any other questions of the witness?

17 He may be excused.

18 (THEREUPON, the witness was excused.)

19 MR. STAMETS: Anything further in this case?

20 MR. KELLAHIN: No, sir.

21 MR. STAMETS: We will take the case under advise-
22 ment.

23

24


25

REPORTER'S CERTIFICATE

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,
do hereby certify that the foregoing and attached Transcript
of Hearing before the New Mexico Oil Conservation Commission
was reported by me, and the same is a true and correct record
of the said proceedings to the best of my knowledge, skill and
ability.



Sidney F. Morrish, C.S.R.

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 5620,
heard by me on 2-25-76, 1976.

_____, Examiner
New Mexico Oil Conservation Commission

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25